

0001

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

NUNAVUT WATER BOARD HEARING

RE: DORIS NORTH PROJECT

---

HEARING HELD AT THE  
KULLIK ILIHAKVIK ELEMENTARY SCHOOL  
CAMBRIDGE BAY, NUNAVUT  
AUGUST 13, 2007

---

1 APPEARANCES:  
 2 NUNAVUT WATER BOARD:  
 3 Mr. T. Kabloona Acting Chairman  
 Mr. G. Kusugak Vice Chairman  
 4 Mr. L. Toomasie Member  
 Mr. R. Hanson Member  
 5 Mr. G. Porter Member  
 Mr. G. Kakkiarniun Member  
 6  
 NUNAVUT WATER BOARD (NWB) STAFF:  
 7  
 Mr. W. A. Tilleman, Q.C. Legal Counsel  
 8 and Ms. C. Emrick  
 Ms. D. Filiatrault Acting Executive Director  
 9 Mr. D. Hohnstein Acting Director Technical  
 Services  
 10 Mr. B. Kogvik Secretary/Interpreter/  
 Translator  
 11 Ms. P. Bealieu Manager Licensing  
 Mr. D. Carr Licensing Administrator  
 12 Mr. R. Dwyer Licensing Administrative  
 Trainee  
 13  
 NUNAVUT WATER BOARD CONSULTANTS:  
 14  
 Mr. S. Lines Tunaley Lines &  
 15 and Ms. K. Tunaley Associates  
 Mr. R. Halim, Hatch Ltd.  
 16 Mr. L. Wan Consultant to Director  
 Technical Services  
 17  
 APPLICANT:  
 18  
 MIRAMAR HOPE BAY LTD. (MHL)  
 19  
 -Mr. J. Currie Vice President of Operations  
 20 -Mr. L. Connell General Manager, Environment  
 -Ms. T. Maloof Manager of Permitting & Compliance  
 21 -Mr. A. Buchan Manager of Community Relations  
 -Ms. K. McIvor Tenure & Permitting Coordinator  
 22  
 MIRAMAR HOPE BAY LTD. CONSULTANTS  
 23  
 -Mr. M. Rykaart SRK Consulting Ltd.  
 24 -Mr. J. Chapman SRK Consulting Ltd.  
 -Mr. N. Schmidt Golder Associates  
 25 -Mr. G. Ash Golder Associates  
 -Ms. D. Valiela Lawson Lundell LLP  
 26

1 INTERVENERS:

2 KITIKMEOT INUIT ASSOCIATION (KIA)

3 -Mr. D. Havioyak President

4 -Mr. G. Clark Director of Lands, Environment  
and Resources

5 -Mr. S. Anablak Senior Lands Officer

6 -Mr. K. Tweedle Environmental Technician

7 -Mr. J. Donihee Legal Counsel

8 -Mr. A. Peterson Summer Student

9 NUNAVUT TUNNGAVIK INCORPORATED (NTI)

10 -Mr. G. Hakongak Senior Advisor of Environment,  
Water, and Marine Management,  
Department Lands and Resources

11 KIA/NTI CONSULTANT

12 -Dr. M. McGurk Rescan Environmental Services

13 INDIAN AND NORTHERN AFFAIRS CANADA (INAC)

14 -Mr. C. McLean Director of Operations, Nunavut

15 -Mr. J. Rogers Manager of Water Resources

16 -Mr. D. Abernethy Water Resources Coordinator

17 -Mr. B. Pedersen Resource Management Officer

18 -Ms. M. O'Hearn Manager of Communications

19 INAC CONSULTANTS

20 -Mr. K. Landa Legal Advisor

21 -Ms. L. Gomm Gartner Lee Limited

22 -Mr. H. Hartmaier BGC Engineering Inc.

23 -Ms. L. Barazzuol MESH Environmental

24 -Mr. E. Yaremko Northwest Hydraulic Consultants

25 -Mr. J. Brodie Brodie Consulting Limited

26 ENVIRONMENT CANADA (EC)

27 -Mr. G. Groskopf Mining Issue Specialist

28 -Ms. S. Levenson File Lead for Presentation

29 -Ms. A. Wilson Water Pollution Specialist

30 -Mr. D. Fox Air Issue Specialist

31 DEPARTMENT OF FISHERIES AND OCEANS CANADA (DFO)

32 -Ms. T. Gordanier Environmental Assessment and  
Major Projects

33 -Ms. A. Liu Senior Habitat Biologist

34 -Mr. P. Savoie Habitat Team Leader

35 GOVERNMENT OF NUNAVUT-DEPARTMENT OF ENVIRONMENT  
(GN-DOE)

36 -Mr. M. Atkinson Manager of Environmental  
Assessment and Land Use

0004

1	INTERPRETERS/TRANSLATORS:	
2	Mary Hunt	Inuktitut Language
	Attima Hadlari	
3		
	Edna Elias	Inunniaqtun Language
4	Joe Otokiak	
5		
	Ken Balsillie	Sound Technician
6		
	Karoline Schumann, CSR(A)	Court Reporter
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
26		

0005

1	INDEX	
2		Page
3	Opening Comments and Introductions	6
4	Application History	9
5	PRESENTATION BY MHL	11
6	Procedural Matters	47
7	CONTINUED PRESENTATION BY MHL	48
8	Procedural Matters	87
9	Roll Call	89
10	MHL Response to Major Issues on Intervener Submissions	92
11		
12	Procedural Matters	114
13	KIA Questions MHL	119
14	INAC Questions MHL	124
15	EC Questions MHL	140
16	DFO Questions MHL	158
17	GN-DOE Questions MHL	160
18	NWB Staff Question MHL	166
19	NWB Question MHL	177
20		
21	PRESENTATION BY KIA/NTI	185
22		
23	COMMUNITY PRESENTATION BY MHL	208
24		
25	Community Comments and Questions	228
26		
27	MHL Questions KIA/NTI	242
28	INAC Questions KIA/NTI	247
29		
30	Procedural Matters	249
31		
32	Reporter's Certificate	252
33		
34	Exhibits	253
35		
36		
37		
38		

1 (PROCEEDINGS COMMENCED AT 9:07 A.M.)

2 THE CHAIR: Good morning. My name is  
3 Thomas Kabloona, and I'm the Acting Chairman of the  
4 Nunavut Water Board. Before we begin with the  
5 hearing, let us begin with a prayer, and I would  
6 ask Guy Kakkiarniun to make the opening prayer.

7 (OPENING PRAYER)

8 THE CHAIR: The Nunavut Water Board  
9 is an institution of public gathering created under  
10 Article 13 of the Nunavut Land Claims Agreement and  
11 is responsible for the use, management, and  
12 regulation of fresh water in the Nunavut settlement  
13 areas.

14 On behalf of the Water Board, I welcome  
15 everyone to Cambridge Bay for the purpose of this  
16 hearing to review the application filed by Miramar  
17 Hope Bay Limited for a Type A water license in  
18 accordance with the Nunavut Waters and Nunavut  
19 Surface Rights Tribunal Act.

20 And with me today are Members of the Board. On  
21 my far right is Guy Kakkiarniun from  
22 Kogali (phonetic) and George Porter from Gjoa  
23 Haven, and Geoffrey Kusugak from Rankin Inlet, and  
24 to my left, Rob Hanson, Iqaluit, and Lootie  
25 Toomasie from Taloyoak.

26 We also acknowledge Raymond Kayaksark is

1 present but is not participating in the hearing for  
2 the decision; he has declared conflict of interest,  
3 as he is Vice President of Kitikmeot Inuit  
4 Association, an intervener for this application.

5 Several Staff members and Nunavut Water Board  
6 consultants who have undertaken a technical review  
7 of Miramar's application are present, and I will  
8 highlight key individuals. Dionne Filiatrault,  
9 Acting Executive Director; David Hohnstein, Acting  
10 Director of Technical Services; and Phyllis  
11 Bealieu, Manager of Licensing; and Richard Dwyer,  
12 Licensing Administrative Trainee, Ben Kogvik,  
13 interpreter/translator; and several other support  
14 Staff. Bill Tilleman, legal counsel for the  
15 Nunavut Water Board, will be swearing in witnesses.  
16 In addition, we have several interpreters available  
17 for simultaneous translation, Joe Otokiak, Edna  
18 Elias, Mary Hunt, and Attima Hadlari, and Ben  
19 Kogvik.

20 In the past, parties in other proceedings have  
21 approached the media prior to the release of the  
22 Board's decision, suggesting comments about what  
23 the Board is going to do either procedurally or in  
24 terms of the final result.

25 Since the Board cannot comment on pending  
26 matters either by confirming or denying the

1 accuracy of other statements to the media, the  
2 Board would appreciate if all parties would refrain  
3 from any such comments that may imply a certain  
4 action or decision by the Board.

5 Board Members will not discuss the hearing or  
6 the matters before the Board with any of the  
7 parties or the media. If you have a question about  
8 the Board and its practices or procedures, please  
9 speak to the Acting Executive Director, and she  
10 will assist you.

11 I would like to advise the parties that the CBC  
12 has asked to plug into the taping system. If any  
13 party has any concerns with this request, I ask  
14 that they make such concerns known before we  
15 proceed.

16 If there are no concerns, I would like to move  
17 forward to a roll call. I will begin the roll call  
18 with Miramar, and then go to other intervening  
19 parties: INAC, DFO, Environment Canada, Kitikmeot  
20 Inuit Association, Nunavut Tunngavik Incorporated,  
21 and Government of Nunavut. If any other  
22 interveners would like to speak, please identify  
23 yourself.

24 It is our tradition to give respect to our  
25 Elders. At any time an Elder may speak to the  
26 application on file.



1 Before proceeding, I would like to request that  
2 all parties register with Phyllis and Richard at  
3 the side table.

4 The Board relies on the parties and the  
5 Applicant to ensure that all issues and options for  
6 resolutions are on the record and expects the  
7 parties and the Applicant to provide evidence  
8 accordingly. Failure to ask questions of the other  
9 parties leaves the Board in a position to accept  
10 the other parties' submissions.

11 To ensure an accurate record of the  
12 proceedings, we have with us a court stenographer,  
13 Karoline Schumann. To assist Karoline, I ask that  
14 all parties speak their name before speaking.

15 APPLICATION HISTORY:

16 I will now give a brief history of the  
17 application.

18 In 2002, an initial application was filed by  
19 Miramar Hope Bay Limited, which was immediately  
20 forwarded to the Nunavut Impact Review Board for  
21 environmental assessment in accordance with Article  
22 12 of the Nunavut Land Claims Agreement.

23 The environmental assessment Part 5 review was  
24 completed in 2006, with a project certificate  
25 issued in September of last year.

26 The Nunavut Water Board provided Miramar with

1 guidelines in October 2006 in accordance with  
2 Section 48(3) of Act 13.8.1 of the Nunavut Land  
3 Claims Agreement to assist the Applicant in meeting  
4 the information requirements of the Board.

5 As a result, Miramar filed an application for a  
6 Type A water license in November. Following  
7 consultation and review by interested parties and  
8 direction by the Board, a revised water license  
9 application was submitted to the Water Board on May  
10 4th of this year.

11 Following receipt of this document, the Nunavut  
12 Water Board provided notice to parties on May 9th.  
13 Additional information, including proposed  
14 modifications, was filed by Miramar on June 8th.  
15 Pursuant to Section 12.4.3 of the Land Claims  
16 Agreement, the Nunavut Water Board requested that  
17 the Nunavut Impact Review Board review the proposed  
18 modifications. The Nunavut Impact Review Board  
19 concluded that the proposed modifications did not  
20 require further screening.

21 A pre-hearing technical meeting was conducted  
22 in Cambridge Bay on June 11th and 12th. The  
23 pre-hearing decision was issued setting out the  
24 issue before the Board today. Written submissions  
25 for this hearing have been received from the  
26 Government of Nunavut, Department of Environment,

1 Department of Fisheries and Oceans, Environment  
2 Canada, Indian and Northern Affairs Canada,  
3 Kitikmeot Inuit Association, and Nunavut Tunngavik  
4 Incorporated.

5 Before we proceed, I would like to advise the  
6 parties that any decision of the Board requires  
7 that it be consistent with the project certificate  
8 issued by Nunavut Impact Review Board.

9 Miramar Hope Bay Limited has requested to make  
10 a brief presentation on the current status of the  
11 project. Mr. Connell, how long will you take?

12 MR. CONNELL: Do you want to swear us  
13 in at this point? I asked the question to  
14 Mr. Tilleman whether he would like to swear us in  
15 at this point or give the presentation.

16 MR. TILLEMAN: Thank you, Mr. Chair. I  
17 think that's a great idea, and maybe he could just  
18 introduce the team, and then when they're ready to  
19 give their evidence, I can just swear them all at  
20 once or affirm them, and then they're ready to give  
21 their presentations. That's fine by me.

22 PRESENTATION BY MHLB:

23 MR. CONNELL: Thank you very much,  
24 Mr. Chairman. My name is Larry Connell. I'm with  
25 Miramar Mining. I'm General Manager of Environment  
26 for Miramar Mining.

1           Mr. Chairman, Board Members, Staff, Elders,  
2       community members, representatives of the Kitikmeot  
3       Inuit Association, Nunavut Tunngavik Inc.,  
4       Government of Nunavut, and the Departments of the  
5       Government of Canada, I can tell that you we're all  
6       very happy to be here today to present the Doris  
7       North Project to the Board. It has taken a great  
8       deal of effort by many people to get to this point.  
9       We would like to thank the Board, Board Staff, and  
10      all the interveners who worked very hard to review  
11      this project so that we could present the project  
12      to you today. The input and guidance from these  
13      parties has helped us prepare a water license  
14      application and all the supporting documents.

15           The Proponent of the project is Miramar Hope  
16      Bay Limited. In the application and its supporting  
17      documents, we have used the term "MHBL" to refer to  
18      Miramar Hope Bay Limited. In this presentation,  
19      you will see us introduce the word "MHBL" and  
20      "Miramar" to refer to Miramar Hope Bay Limited.

21           Miramar is a wholly owned subsidiary of Miramar  
22      Mining Corporation, which is a publicly traded  
23      company. When we refer to the parent corporation,  
24      we will use the full name, "Miramar Mining  
25      Corporation". When we refer to "the project", we  
26      mean the Doris North Project, as we described in

1 the revised water license support document.

2 We are very grateful to the Board for granting  
3 us this opportunity to present the project to you.  
4 And on that basis, I'm going to start into our  
5 presentation, and I'll start off with  
6 introductions, Bill, and then come back to the  
7 evidence.

8 The presentation that I'm going to give you  
9 this morning, the outline is here on the first and  
10 second slide. We'll give you a project overview.  
11 We'll go through our planned water use. We'll talk  
12 about the general conditions that apply in the  
13 water license. Then we'll move into description of  
14 waste disposal, specifically dealing with the  
15 disposal techniques for the mill tailings, for  
16 sewage generated by the project, for garbage  
17 generated by the project, and the other hazardous  
18 wastes that are generated.

19 We'll go on to talk about water management, and  
20 water management will specifically break down into  
21 two areas: The management of water for Tail Lake,  
22 and how we manage storm water at the site. We'll  
23 then go on to describe our environmental management  
24 system, how we're going to monitor the performance,  
25 the environmental performance of the project.  
26 We'll discuss the closure and reclamation planning,

1 and then move on to the financial security for that  
2 reclamation and liability.

3 Before I get into it, I'm going to introduce  
4 the Miramar team. We have with us, Mr. Jim Currie,  
5 Vice President of Operations. We have Terri  
6 Maloof, who is Manager of Permitting and  
7 Compliance; Alex Buchan, who is Manager of  
8 Community Relations; and Katheryn McIvor, who is  
9 our Tenure and Permitting Coordinator.

10 We also have a very dedicated team of expert  
11 consultants with us. We have Maritz Rykaart, who  
12 is an engineer with SRK Consulting, geotechnical  
13 engineer; Maritz is right here. We have John  
14 Chapman, who is also an engineer with SRK  
15 Consulting, and John is our principal specialist on  
16 water quality and the water modelling. We have  
17 Nathan Schmidt at the end of the table; Nathan is  
18 also an engineer with Golder Associates, and his  
19 primary area of expertise is hydrology. And last  
20 but not -- two last but not least, we've got Gary  
21 Ash, who is a fisheries biologist and a principal  
22 of Golder and has done the baseline environmental  
23 monitoring for us with his team and also is the  
24 primary group who have done the compensation for  
25 fisheries lost. Now last but not least, we have  
26 Diana Valiela, who is with Lawson Lundell, who is

1 acting as our counsel for the project.

2 So at that phase, I'm ready now to get into the  
3 project overview.

4 MR. TILLEMAN: Thank you, Mr. Chair. So  
5 I'll, in just a moment, go over and swear them in,  
6 and as I'm getting ready to do that, I'm wondering  
7 at the beginning of their presentation, if they  
8 could just indicate how long it would be roughly so  
9 the Board knows.

10 And also, sir, just in case anyone else in the  
11 audience had any questions or motions they wanted  
12 to bring up by way of procedure, now might be a  
13 good time to ask them before we start with the  
14 Proponent.

15 So through you if anyone else who is a party  
16 here has a question today about what we're doing or  
17 a procedure, maybe have them stand and ask that,  
18 and if there is none, then I can go straight over  
19 and swear them in and away they go.

20 THE CHAIR: Does the public have any  
21 questions?

22 ALEX BUCHAN, JIM CURRIE,  
23 TERRI MALOOF, LARRY CONNELL, MARITZ RYKAART, JOHN  
24 CHAPMAN, GARY ASH, NATHAN SCHMIDT, sworn:

25 MR. CONNELL: Thank you, Mr. Chairman.  
26 Thank you, Bill. It's Larry Connell again.

1           Our presentation this morning will take roughly  
2           two to two-and-a-half hours. We'll try to put a  
3           break point in at one hour into the presentation,  
4           and we'll do that at the break hopefully between  
5           the water management piece.  
6           With the Board's indulgence, I'm going to sit  
7           to give this presentation, and I'll do it from that  
8           point, if that's okay.  
9           MR. HANSON:                       Just for the record,  
10          every time you speak and push on your mike, always  
11          say your name first for the record so we know who  
12          you are.  
13          MR. CONNELL:                     Larry Connell,  
14          Mr. Chairman.  
15          THE CHAIR:                       Before you proceed, do  
16          you wish to recess for 10 minutes, or what would  
17          you like to do?  
18          MR. CONNELL:                     I take my leave from you  
19          on that. We're quite happy to take a short break  
20          now and then proceed.  
21          THE CHAIR:                       Does 10 minutes sound  
22          good to you?  
23          MR. CONNELL:                     Yes, sir.  
24          (BRIEF ADJOURNMENT)  
25          THE CHAIR:                       Shall we reconvene. You  
26          may proceed with your presentation.



1 MR. CONNELL: Thank you, Mr. Chairman.  
2 Larry Connell.

3 I'm going to now proceed with an overview of  
4 the Doris North Project. Start off with a location  
5 map. A little difficult to see on that, but it's  
6 approximately 105 kilometres to the southwest of  
7 Cambridge Bay. It's 5 kilometres inland off of  
8 Coronation Gulf, Roberts Bay, and it's on the east  
9 side of Bathurst Inlet.

10 The next slide shows a little closer-in view.  
11 The Doris -- this is the Hope Bay Greenstone Belt.  
12 It's an 80-kilometre long mineralized belt. The  
13 Doris North Project is at the top, the north of it.  
14 This is the Jericho project right here, so it gives  
15 you some sense of where it is, and here's Kugluktuk  
16 here and Cambridge Bay here.

17 Just some quick points of the project. The  
18 project is located on Inuit-owned land. The  
19 minerals are owned by Nunavut Tunngavik Inc., and  
20 Doris North will be a small underground gold mine  
21 with an average mining rate of 720 tonnes per day  
22 of ore. It's expected to produce 311,000 ounces of  
23 gold from 460,000 tonnes of ore over a two-year  
24 mine life. It's going to be a short-term  
25 profitable project but located in an area with  
26 significant future potential for other growth and

1 other mineral deposits. So we anticipate that we  
2 will be back before you to seek further  
3 developments in this belt in the future.

4 The site footprint in the Doris North Project  
5 is approximately 54 hectares. The major components  
6 of the project is an underground mine accessed by a  
7 decline or a ramp from surface; a mill to process  
8 the ore; the mill will have a design throughput of  
9 800 tonnes per day; a power house to house the  
10 diesel generators to generate the power that we  
11 need for the mill and the rest of the facilities; a  
12 maintenance shop with the warehousing; a camp to  
13 house and feed the workers; and a sewage treatment  
14 plant to deal with the sewage generated by our  
15 housing of people at camp.

16 There will be a fuel storage tank farm at the  
17 mill site within a secondary containment facility,  
18 a liner, that will have a capacity of 7-and-a-half  
19 million litres, and another fuel storage tank  
20 located at Roberts Bay within -- again, within a  
21 lined containment, and that will have a capacity of  
22 5 million litres.

23 There will be a tailings containment area and  
24 the associated piping to take tailings to the  
25 tailings containment area and also to bring  
26 reclaimed water back, and we're using a small lake

1 called Tail Lake located about 5 kilometres from  
2 the mill.

3 We're going to have a landfill on site to deal  
4 with our garbage. The putrescible garbage of  
5 the -- the garbage we generate from the kitchen,  
6 that will be incinerated. This landfill is to deal  
7 with the nonhazardous garbage we generate from  
8 operations. We're also going to build within  
9 that -- that landfill will be within one of the --  
10 will be located within one of the construction  
11 quarries, the quarries that we mine out to produce  
12 the rock for construction.

13 We will also construct in that quarry, a  
14 landfarm. This is a lined facility to allow us to  
15 deal with any petroleum-contaminated soils. While  
16 we don't expect to have spills, we know that it's  
17 best to be prudent to plan for them so that we can  
18 actually treat those soils if they occur.

19 There will also be an all-weather airstrip that  
20 will be constructed as a widened section of a road,  
21 the access road, and we'll have a winter airstrip  
22 located on Doris Lake.

23 There will be a rock-filled jetty in Roberts  
24 Bay in the marine environment to offload the barges  
25 as the supplies will come up from -- up the  
26 Mackenzie River around and into Coronation Gulf to

1 the site.

2 At the Roberts Bay, there's also a jetty near  
3 the -- sorry, there's also a lay-down area near the  
4 jetty to accommodate the storage of the containers  
5 and things that they offload the barge prior to  
6 them being hauled up to the mine site about 5  
7 kilometres away.

8 The access road between Roberts Bay and the  
9 mill site is 4.8 kilometres long, and that will be  
10 an all-weather road, and there's also an  
11 all-weather road that goes between the mill and the  
12 Tail Lake, which is 5.8 kilometres long.

13 This is a map that shows those facilities.  
14 This is Roberts Bay out here. This is the jetty.  
15 This is the road that connects up to the mill site,  
16 so the mill site is in this location here. Tail  
17 Lake is out in this location here, and this is the  
18 access road out to Tail Lake.

19 This is a closer-in view of just the plant  
20 site. The camp is located here. Fuel -- the fuel  
21 storage tank farm is here. The mill and the  
22 crushing circuit are over here. This is the ore  
23 stockpile. The portal entry is over in this  
24 direction, and this here is a stockpile for  
25 temporary waste rock coming up from underground,  
26 where we place it with the intent that it go back

1 underground.

2 This is a view from Doris Lake looking to the  
3 north towards the Roberts Bay. This is the mesa,  
4 and the mill is going to be built on this outcrop  
5 of rock here, so this is the mill and camp area,  
6 this general location. The access into the mine,  
7 the decline starts in this rock face here and goes  
8 down this direction.

9 The ore body that we're going after is this set  
10 of lenses up here, inside the red circle. The  
11 system we're on actually continues out into the  
12 lake, but the Doris North Project is this here,  
13 these lenses here. And the point in showing you  
14 this is to make sure that you understand that the  
15 project is not located under the lake; it's  
16 actually in ground, and so it's within permafrost.  
17 This is that outcrop where the portal goes in, and  
18 that was the mesa, that green colour is the mesa.

19 How will the ore be mined? It's an underground  
20 mine, uses opening stoping and mechanized  
21 cut-and-fill methods. The access is by means of a  
22 ramp from surface. That ramp is going to be  
23 4-metres high by 5-metres wide, 900-metres long, at  
24 a 10 percent downgrade. The lowest production  
25 level is 62-and-a-half metres below surface, so  
26 that's as far down as we're going. And the

1 ventilation for the mine is going to be through  
2 three vertical raises, three vertical holes that  
3 come to surface with a fan on top of them. And one  
4 of those will also provide a secondary route of  
5 exit for the miners in case of the -- any accident  
6 to the main ramp.

7 The cycle for mining is basically ore and waste  
8 rock are drilled off. The drill holes are loaded  
9 with explosives and then blasted. Loose rock is  
10 scaled, and then the rock bolts installed to secure  
11 the roof. The broken rock is then loaded onto  
12 underground haul trucks, and they all come -- the  
13 ore comes to surface for milling, and the waste  
14 rock either goes to other underground locations to  
15 be backfilled, is to be used as backfill to fill  
16 the holes, or comes to surface for temporary  
17 storage, pending return to where -- to go -- to be  
18 placed as backfill underground.

19 These are just some shots of general pictures  
20 of other underground mines just to give you a sense  
21 of what that is, so this is underground mining  
22 operations here of our other operations.

23 Next, I'm going to go through the ore  
24 processing. This is -- the mill is the building  
25 where we extract the gold from the ore. This is a  
26 very simplified flow sheet, but basically the ore

1 is brought into the crushing plant, it's crushed,  
2 and then brought into the grinding circuit. The  
3 grinding circuit grinds or breaks the ore down in a  
4 wet system to a very fine sand slurry. We do that  
5 through a tumbling mill.

6 The slurry then goes onto a gravity separation  
7 circuit where we remove those coarse particles of  
8 gold by centrifugal force. We recover about 40  
9 percent of the gold in this circuit here. The  
10 slurry from the gravity circuit then goes on to  
11 flotation. In the flotation circuit, we treat  
12 the -- we recover the gold-bearing minerals and  
13 separate them away from the majority of the ore by  
14 flotation.

15 And I'll describe flotation a little further  
16 along, but this, in essence, what it does is it  
17 takes the remaining gold minerals and puts them  
18 into 10 percent of the total weight, and only that  
19 10 percent of the total weight goes on for cyanide  
20 leaching. So if there's 720 tonnes coming in at  
21 the front end, only 72 tonnes goes on for cyanide  
22 leaching. The remainder goes out to tailings  
23 without ever being in contact with cyanide.

24 The flotation concentrate then goes on to  
25 leaching with a very dilute cyanide solution, and  
26 we recover the gold that's leached into solution.

1 We then take the remaining slurry from the leach  
2 circuit and go through a cyanide detoxification  
3 circuit, where we chemically destroy the cyanide  
4 and precipitate metals at the same time.

5 We're then going to filter that slurry with the  
6 solids going back underground as backfill, and the  
7 water phase going back to the front end of the  
8 leach circuit with a small bleed stream that comes  
9 off and is mixed with the flow tails and goes out  
10 to the tailings impoundment. These solids are  
11 potentially acid-generating, and so we're placing  
12 them underground where they can be encapsulated  
13 within the permafrost.

14 Just to go through the circuits, the ore is  
15 brought to surface by mine dump truck. It's placed  
16 into a stockpile at a crusher. Then it's picked up  
17 by front-end loader and fed into the crusher.  
18 Basically in the crushing plant, the large rock is  
19 just broken into small rock and then put into a  
20 stockpile to go into the mill. This is a down-view  
21 into a large gyratory crusher. This is the actual  
22 crushing bowl, and you see the ore sloping into the  
23 crusher.

24 In the ore processing circuit then, the ore is  
25 mixed with water, and it's milled to break into a  
26 sand-sized wet slurry. This is a grinding mill.



1 This is a large grinding mill, but it's a sample of  
2 what one would look like. The free gold, these  
3 particles of free gold are then recovered using the  
4 gravity circuit.

5 These are some pictures of a typical grinding  
6 circuit. This is a much larger mill than we would  
7 have. Doris North would be more in this size, but  
8 this is a cut-away view. Basically this is a  
9 rotating drum, a rotating drum with steel balls  
10 inside, and those steel balls break up the ore into  
11 a very fine sand.

12 This is the gravity circuit. A typical view of  
13 what a gravity circuit would look like. This is  
14 the centrifugal separator that skims the particles  
15 of free gold, because they're heavier, out to the  
16 outside wall. And then you can see here a table  
17 removing the free gold from that concentrate.  
18 About 40 percent of our gold will come out this  
19 method.

20 The remaining mineral then goes on to this  
21 flotation circuit, where I've said 90 percent of  
22 the weight is separated away and not -- and sent  
23 out to tailings. The remaining 10 percent goes on  
24 to processing.

25 The key point is after we leach, the cyanide  
26 slurry is destroyed. The cyanide that's in this

1 slurry is destroyed using a cyanide destruction  
2 circuit. In this case here, we'll be using sodium  
3 metabisulphate to oxidize the cyanide to break it  
4 down.

5 This is a typical view of a flotation circuit.  
6 This is a -- the flotation cells. Here's a  
7 cross-section view. An agitator, air, is put in  
8 the bottom, and you get these little air bubbles --  
9 sorry, little air bubbles with the particles of  
10 mineral attached to them, and they then float up to  
11 the surface. So here's these bubbles with the  
12 mineral on it. We pull this material off, and  
13 that's the concentrate that then goes on for  
14 leaching.

15 This is the facilities that will be located in  
16 Roberts Bay. Here is the ocean. This is Roberts  
17 Bay itself. This is the shoreline, that line  
18 there. This is the jetty that will be built to  
19 receive the incoming barges. We need it deep  
20 enough, to get enough water to offload the barge.

21 This is a construction quarry, and we will  
22 build the fuel storage tank within the construction  
23 quarry once the quarry is all finished. And then  
24 we have a lay-down area where the material coming  
25 off the barges is stored, pending its being taken  
26 by truck up to the mill site so we can offload the

1 barges in a rapid pace and then move the material  
2 later.

3 This is a photograph of where Quarry Number 1  
4 is going to be located. So we've actually started  
5 work on this. Quarry Number 1 has been opened up.

6 And here are some views, we did some  
7 pre-development work this year under agreement with  
8 the Kitikmeot Inuit Association to prepare  
9 ourselves for receipt of this year's construction  
10 materials. So this is the jetty that's been built  
11 to receive the barges coming this year.

12 This device that you see out here is a silt  
13 fence that was installed around the construction  
14 site to make sure that any of the mud we stir up  
15 during the construction is held within this device,  
16 and then it settles out within a few days. So it's  
17 just like an oil boom to some degree. It's a  
18 curtain that's in the water basically to let the  
19 solid settle out.

20 And this is the -- this is Quarry Number 1, and  
21 here's the lay-down area that's being developed.  
22 That black square you see is actually the geogrid  
23 material that goes under the rock fill as part of  
24 the foundation for the jetty. They pre-assembled  
25 it down here and then moved it out into the ocean.

26 This picture is to show you that the rock that

1 we're using to build the facilities is not coming  
2 from the mine. The rock that we're using to  
3 construct the roads and all the lay-down areas is  
4 coming from four quarry sources: Quarry Number 1  
5 down here, Quarry 2 here, Quarry 3 is here at the  
6 tailings impoundment, and Quarry 4 is just the  
7 levelling of that mill outcrop. All of the waste  
8 rock coming from underground is being placed into a  
9 stockpile on surface and then returned back  
10 underground as backfill.

11 I'm now going to move on to our planned water  
12 use. The Doris North Project is projected to use  
13 the following volumes of water: We project 30,000  
14 cubic metres a year for potable water, the drinking  
15 water. And process water we project to be at a  
16 maximum of 450,000 cubic metres per year.

17 We will and Miramar has a made the commitment  
18 in its application to maximize to the greatest  
19 extent we can, the greatest practical extent, the  
20 use of recycled water from our tailings containment  
21 area in the mill so that we will minimize where we  
22 can the use of fresh water.

23 From a -- potable water or treatment water,  
24 we're going to draw that from Doris Lake. We've  
25 estimated that at 30,000 cubic metres per year. We  
26 will only use what water we need for drinking. The

1 water will only be taken from the lake as it's  
2 required, so this is an upside estimate. We don't  
3 expect that we will reach that point, but we will  
4 practice conservation to keep it as low as  
5 possible.

6 And the water we do draw from Doris Lake will  
7 be measured through a meter, and we will monitor  
8 the quality of that wear, and it will be reported  
9 to the Water Board as part of what we anticipate to  
10 be the Surveillance Network Program reporting.

11 I should at this point explain SNP. I've used  
12 the acronym throughout the slides. "SNP" refers to  
13 a Surveillance Network Program, which is really the  
14 monitoring program that we envision will be part of  
15 the water license that dictates what we monitor,  
16 how often we monitor, and what parameters we  
17 measure, and how those are reported to the Board.

18 This slide here shows the location of the fresh  
19 water pumphouse. It's located on the north end of  
20 Doris Lake. It's a floating pumphouse, so it's  
21 about 4-by-6 metres, floating. It's anchored in  
22 place, and then there's a steel catwalk that takes  
23 it over to the shore. There is a floating dock  
24 here for receiving float planes, and this is the  
25 road that connects it up to shore.

26 The next view shows a cut-away view. So here

1 is the lake bottom, here's the water level, and  
2 here's the floating pumphouse. The pumps are set  
3 here. We have a screen around the pumps to protect  
4 anything being drawn into the pumps, to protect  
5 fish as well, and then a catwalk, a steel catwalk,  
6 that bridges to the shore. The closest to the  
7 bottom is about 2.7 metres. And this system has an  
8 air compressor on it that bubbles air around the  
9 pumphouse to keep the pumphouse from totally  
10 freezing in during the winter months. That's how  
11 we keep it floating during winter. This is not  
12 unique; this is a fairly standard technique.

13 The mill will also use water. We call that  
14 process water. And in the process water category,  
15 we've also included the water that's going to be  
16 used in the underground mine. Processed water will  
17 be a combination of water that's recycled from the  
18 tailings containment area with fresh make-up water  
19 taken from Doris Lake. We expect an average  
20 consumption of about 970 cubic metres per day, with  
21 a maximum of 1183.

22 The amount of water used underground is very  
23 minimal. This is a mine that's operated within the  
24 frozen ground, within permafrost, and so we will  
25 mix a brine solution or a salt water solution in  
26 the mill, send that underground, and that will be

1 recycled underground through sumps. So we will use  
2 a fair small amount of water actually to accomplish  
3 this, and because we're in frozen ground, we don't  
4 expect to receive any groundwater at all. The  
5 annual maximum consumption of process water is  
6 expected to be 450,000 cubic metres per year.

7 As we've stated earlier, we will -- we have  
8 committed to minimize our use of fresh water. What  
9 happens is basically the processed water comes back  
10 to the mill tank from the tailings impoundment, and  
11 we only make up the water required from Doris Lake  
12 as fresh water to make up that tank.

13 The reason we've asked for a larger amount of  
14 fresh water really comes to deal with our first  
15 year of operation. As we recycle water from Tail  
16 Lake in the first year, we will have a very small  
17 pond depth in Tail Lake because of the ice cap and  
18 the fact that we're placing tailings over top of  
19 it, and the lake really hasn't begun to rise yet.  
20 So we have some concerns in that first winter of  
21 operation that our use of fresh water will be  
22 greater than it will be in subsequent years. Once  
23 the level of the lake increases, we're fairly  
24 confident that our use of reclaimed water will  
25 grow, and so fresh water use at that point will go  
26 down and diminish.

1           We'll also practice recycle streams within the  
2 plant itself to, again, minimize our use of fresh  
3 water. And we have three internal recycle streams.  
4 We have a re-grind circuit thickener. That water  
5 is recycled to the front end. There is a thickener  
6 in the carbon and leach circuit, the cyanide leach  
7 circuit, that recycles water back to the front end.  
8 And the water that we remove from filtering the  
9 residue before we send it underground, that water  
10 is also recycled within the mill.

11          So just we will be recycling to the maximum  
12 extent the water that we can to minimize our use of  
13 fresh water. Any fresh water we use will be  
14 metered and reported to the Board as part of our  
15 SNP program, monitoring program.

16          I'm now going to move to some of the general  
17 conditions that we've asked for in our application  
18 to the Board. The first one is the term of the  
19 license. Miramar has asked for an eight-year  
20 license, and that is based upon getting us through  
21 the project, through the reclamation, so the next  
22 license for this project strictly deals with the  
23 environmental monitoring that will go on after the  
24 project's been reclaimed.

25          Year 1 of that eight-year term is actually the  
26 year of construction. Year 2 and 3 is the years of



1 operation. Year 4 and 5 then becomes the years we  
2 would actually physically remove the buildings, and  
3 then we will continue to actually manage Tail Lake  
4 until we can safely reduce Tail Lake, and that will  
5 be somewhere between four and seven years  
6 afterwards. So that eight-year license takes us --  
7 if things are going very well, that will take us  
8 right through to final reclamation. If things  
9 don't go as we expected, we'll be back in front of  
10 the Board for renewal at that period in time.

11 Compensation, just to let the Board know that  
12 in 2006, Miramar signed an Inuit Impact Benefits  
13 Agreement with the Kitikmeot Inuit Association.  
14 And as part of that, there's also a Water Rights  
15 Compensation Agreement that's already been agreed  
16 to with the Kitikmeot Inuit Association.

17 Other compensation we've already entered into  
18 is fisheries compensation. The Fisheries Act  
19 requires that there be no net loss of fish habitat,  
20 and so consequently, we have been working with DFO  
21 to put in front of them an agreeable plan to  
22 compensate for the fish habitat that is affected by  
23 this project. There has been general agreement on  
24 the techniques to be used for that compensation,  
25 and the final designs are due to go -- are  
26 scheduled to go to DFO by September of this year.

1           Those compensation measures are listed here.  
2       Basically the primarily one is to increase fish  
3       accessibility into Roberts Lake. This is Little  
4       Roberts Lake down here. Roberts Lake is up top,  
5       and there's a boulder garden located in the stream.  
6       And basically what we're doing is this boulder  
7       garden becomes an impediment during low water to  
8       Arctic char being able to get up into the system.  
9       They get trapped in the boulders and actually can't  
10      get out. So our intent is to use hand techniques  
11      to excavate small pools to make a way for the char  
12      to get through this, to increase the ability for  
13      char to get up into the system to reproduce and  
14      come back out.

15           And then there's some additional items.  
16      There's some stream enhancement in Roberts outflow.  
17      Sorry, that slide, there's also the creation of  
18      rearing habitat in Doris Lake and some pool habitat  
19      in the tributary of Roberts Lake. There is also  
20      compensation for the small stream at the outflow of  
21      Tail Lake and for the -- compensation for the sea  
22      bottom covered by the jetty.

23           I'm now going to move into waste disposal.  
24      There are a number of types of waste that have to  
25      be managed at the Doris North Project. The primary  
26      one, the largest volume, is the mill tailings

1 slurry. The mill tailings are going to be sent to  
2 Tail Lake. They will be stored underwater within  
3 Tail Lake, and we'll describe that in substantive  
4 detail as we get further into the presentation.

5 There's also this solid residue that comes from  
6 the cyanide leach circuit. That will be filtered  
7 in the mill after we destroy the cyanide, and then  
8 that will be sent underground as a dry solid to be  
9 placed in the underground. By "dry solid", I mean  
10 it's got no free water; it's about 10 percent  
11 moisture.

12 There's also sewage to be treated. We will  
13 have a treatment plant on site to treat the sewage.  
14 The grey water or the treated water from that  
15 sewage treatment plant will go out to Tail Lake  
16 with the tailings. The solids, the sludge from the  
17 sewage treatment plant are going to be filtered,  
18 and then they'll be incinerated.

19 The garbage, as I said before, the kitchen  
20 waste will be incinerated. The nonhazardous other  
21 garbage will go to a landfill in Quarry 2, so there  
22 will be a landfill system built within Quarry 2.

23 We'll also generate some hazardous wastes,  
24 things like spent batteries, spent glycol, solvent.  
25 These will be shipped off site. They'll be  
26 basically put into shipping containers and then

1 stored, and they'll be put into containers, and  
2 then shipped south during the annual season to make  
3 sure that they go back to either a recycling  
4 facility or a licensed disposal facility, but they  
5 will not be left at site.

6 We also will potentially generate some  
7 contaminated soils from the spills, and these will  
8 be excavated. The soil will be excavated and taken  
9 to this landfarm facility where we will try and --  
10 it will actually go through this soil landfarming  
11 technique to remove the oil contamination from the  
12 soils using a landfarming technique.

13 At this point in time, I'm going to turn the  
14 presentation over to Maritz Rykaart for a short  
15 period. He's going to take us through the method  
16 we use to manage the tailings and give you some  
17 details on the tailings impoundment dams.

18 MR. RYKAART: Maritz Rykaart. Thank  
19 you, Larry.

20 Mr. Chairman, Members of the Board, in the next  
21 few slides, I want to describe the tailings  
22 containment system, and specifically the function  
23 of the two tailings dams and how that all fits in  
24 and how that pertains to the water license  
25 application.

26 Before moving into the details of that, I just

1 want to advise you that two of the slides that you  
2 will be seeing will differ slightly from what you  
3 have in the handouts. The information is the same.  
4 We just decided to present it in a different  
5 fashion.

6 Mr. Chairman, what you see on the board in  
7 front of you is the two water bodies that pertains  
8 to the tailings containment system. The large  
9 water body, Doris Lake, is the water body adjacent  
10 to the mill site and the mine facility, which sits  
11 up in this area here.

12 Tail Lake is a small lake in an isolated  
13 catchment, which means that any water that flows  
14 into this catchment only flows into this lake and  
15 then out via this natural outflow stream into the  
16 tail -- northernmost end of Doris Lake. Then the  
17 water flows down Doris Creek towards Roberts Bay.  
18 This isolated catchment is about 450 hectares, and  
19 Tail Lake itself occupies roughly 80 hectares.  
20 This is the lake which will become the tailings  
21 containment facility for the Doris North Project.

22 I'm now going to step you through the stages of  
23 how this facility will be operated. Please note  
24 that I'm going to focus on the physical aspects of  
25 the tailings containment facility, and at a later  
26 time, Mr. John Chapman is going to talk about the

1 water aspects in greater detail.

2 The first thing that's going to happen,  
3 Mr. Chairman, is we are going to construct two dams  
4 to completely contain any water within the Tail  
5 Lake catchment facility. These dams, called the  
6 north dam and the south dam, will be  
7 water-retaining dams that will ensure that any  
8 water that enters the facility can only exit the  
9 facility through engineered and controlled systems  
10 implemented by the mine.

11 The second stage will be after the mine has  
12 been developed and the mill has been commissioned,  
13 a tailings pipeline will be placed long the road  
14 leading from the mill site all along the tailings  
15 facility. This tailings pipeline will be used to  
16 subaqueously discharge tailings into Tail Lake.

17 Mr. Chairman, what that means is that the  
18 tailings pipeline will be underwater and all  
19 tailings will be deposited underwater in the deep  
20 pockets of this lake. This means that at any time,  
21 you will not see tailings. Nowhere throughout the  
22 stage or the life of the mine will you ever see  
23 tailings at surface.

24 As tailings is deposited into Tail Lake during  
25 the open-water seasons, i.e., during the summer  
26 months, tailings water will be discharged via a

1 discharge pipeline into Doris Creek. This will be  
2 a way the water is released from this facility in  
3 an engineered and controlled fashion. The details  
4 of how that will be done will be discussed in a  
5 presentation a little later on this morning.

6 As tailings deposition progresses during the  
7 two years of operation, what is going to happen is  
8 the water level in Tail Lake is going to rise.  
9 That is why you see a larger area occupied by water  
10 in the slide. The objective of the water  
11 management strategy is to control the elevation of  
12 this water level. As this water level rises, new  
13 shoreline is exposed, and that is the shoreline  
14 erosion that you will hear about during this  
15 presentation and by various interveners. Managing  
16 the water level is managing the shoreline erosion  
17 potential around this facility.

18 After two years of mining operation, there will  
19 be no longer any tailings deposited into this  
20 facility. The mill will shut down. The pipeline  
21 will be decommissioned. While this tailings  
22 deposition has ceased, the water level may still be  
23 higher than the original lake level. Therefore,  
24 this water level will continue to be discharged in  
25 an engineered and controlled fashion through the  
26 discharge strategy that will be discussed in

1 greater detail later on.

2 Ultimately, after a number of years, the water  
3 level in this Tail Lake facility will return to its  
4 original level, i.e., that's the level that you see  
5 the lake at today. At this time, all this water  
6 will have been discharged via the discharge  
7 strategy in a discharge pipeline. At this time,  
8 you still will only see the lake water; you will  
9 not see any tailings. All tailings will still be  
10 under a cover of at least 4 metres of water.

11 The final stage in closing the tailings  
12 containment facility would be to breach the dam in  
13 an engineered fashion such that the natural outflow  
14 in Tail Lake can return. At this stage, the  
15 facility will operate as a natural outflow system,  
16 as it is today. The south dam will be left intact,  
17 not being breached, as it sits on the catchment  
18 divide and serves no purpose as a dam anymore and  
19 also is no impediment to any natural water flow as  
20 it is on the catchment divide.

21 So, Mr. Chairman, these two dams that I've just  
22 showed to you are the primary containment -- serves  
23 a primary containment purpose for the tailings  
24 containment facility. These two dams have,  
25 therefore, been engineered to a very high degree  
26 and a very high standard, considering the



1 environment that they're in.

2 In the next couple of slides, I would like to  
3 present to you some of the highlights of this dam  
4 to give you a clear understanding of how the system  
5 works. In the slides, I have highlighted a number  
6 of the main design components of importance.

7 Firstly, the dam itself, the primary water  
8 containment system of the dam, is based on the fact  
9 that this is a frozen core dam. Essentially what  
10 this means, in a nutshell, is that this dam is an  
11 extension of the permafrost environment, and this  
12 frozen wall will prevent any water in the dam from  
13 seeping or leaking out.

14 However, there are two secondary backup systems  
15 to ensure this dam continues to function for a long  
16 time. The first thing is there's a secondary liner  
17 built into the facility. This liner is a  
18 geosynthetic clay liner, and that will ensure that  
19 should, for any reason, the frozen core not  
20 function as designed, there is an alternative way  
21 to prevent water from seeping out of the facility.

22 The next system that's built into this dam is a  
23 series of thermosyphons. These thermosyphons  
24 assist to keep the dam foundation in as cold a  
25 state as practical in this environment. Although  
26 these thermosyphons are not needed to keep the dam

1 frozen, these thermosyphons will extend the life of  
2 the dam far beyond its life capacity.

3 It should be pointed out, Mr. Chairman, that  
4 this dam has been designed with the input of a  
5 number of experts in frozen core designs, as well  
6 as in the type of foundation condition that we  
7 have. We had leading experts assist SRK in the  
8 design of this dam. We've also had the benefit of  
9 having built a similar dam in the last year in a  
10 similar environment, and in that particular case,  
11 we had a peer review panel of six of Canada's  
12 leading dam design experts review all the work.  
13 And that knowledge has been transferred to this  
14 dam, therefore, there's a high degree of review and  
15 confidence in the design.

16 Notwithstanding all of this additional review,  
17 the dam has an extremely high level of contingency  
18 and conservatism built into it. It is built as a  
19 full water-retaining dam to the highest level and  
20 the higher conservatisms that is reasonable for  
21 this environment.

22 In addition, Mr. Chairman, it should be noted  
23 that this design will include a large amount of  
24 instrumentation that will continuously monitor and  
25 verify that the design assumptions are appropriate  
26 and that the dam will be performing according to

1 the design standards.

2 Finally, it should be noted that the design  
3 life of this dam is 25 years. Considering the  
4 life, the expected life of this dam for full  
5 operation, it is only between four and ten years,  
6 depending on the water management strategy.  
7 Therefore, there is ample design conservatism in  
8 the design life of the facility.

9 Now, Mr. Chairman, when we discuss these  
10 things, I often discuss stuff like that to my --  
11 with my wife, and she tells me that nothing makes  
12 sense to her, and I should show her a number of  
13 pictures. So in the next few slides, I'm going to  
14 attempt to give you, in a nutshell, what the  
15 construction of this dam will look like.

16 The first part of construction is to excavate a  
17 key trench. What this key trench is is coming in  
18 and excavating a hole in the permafrost that will  
19 end up being the anchor block for this dam. This  
20 dam, because it's a frozen core dam, we need to  
21 make sure that we completely freeze in the dam  
22 structure with the foundation and building all the  
23 secondary containment systems into the environment  
24 as a one single unit. To do that, we dig a hole  
25 into the permafrost where we can anchor things in.

26 The next part of the dam is to build the actual

1 frozen core. What this is, this is the central  
2 part of the dam that will retain all the water in  
3 the facility. This frozen core will be constructed  
4 from a processed gravel, which has been produced  
5 from the quarried materials. This processed gravel  
6 will be put down in a highly engineered and highly  
7 controlled fashion, such that, once it's in place,  
8 it completely freezes and will stay frozen as a  
9 complete unit for the life of the structure.

10 During construction of this frozen core and key  
11 trench, the secondary containment facilities will  
12 be built into the core. This consists of a liner,  
13 which is built upstream, as well as a series of  
14 thermosyphons in the key trench that will ensure  
15 maximum cold temperatures that will keep this  
16 facility frozen throughout the life of this  
17 structure.

18 This frozen core cannot live on its own. It  
19 needs to be protected from the environment to keep  
20 it functioning. In order to do that, we need to  
21 put an outer protective shell on it. In order to  
22 adequately engineer the shell to ensure that it  
23 functions adequately under all conditions, we put  
24 what we call a transition zone of material around  
25 this outer core. This is a material that is larger  
26 particle size than the core itself. So this is

1 small gravel; this is a bigger material, about the  
2 size of a baseball and smaller. We ultimately  
3 cover this material with an outer shell, which is  
4 what we call run-off quarry material. That's the  
5 material as we drill and blast it out of the  
6 quarry. This outer shell protects the dam and the  
7 core from the thermal environment as well as from  
8 the other hydraulic forces that will play on the  
9 dam.

10 As a last note, Mr. Chairman, when this dam is  
11 in operation, what you'll see under the full supply  
12 condition, in other words, the maximum amount of  
13 water that will ever be in this dam, a water level  
14 up here which is below this core ensuring full  
15 containment. And what is important to note is that  
16 at any given time, there will be no tailings  
17 against this dam; there will be only water against  
18 this dam. The tailings will be in the deeper pools  
19 way back here in Tail Lake.

20 So, Mr. Chairman, to wrap this up, this is a  
21 plan layout of one of the dams, particularly this  
22 is the north dam. So if you look at it from the  
23 top, you'll see an outer shell. If you had X-ray  
24 vision, you would see the key trench and a series  
25 of thermosyphons in the dam, in the base of that  
26 dam, and what you see here is a spillway that will

1 allow engineered outflow from this dam to ensure  
2 that water never overtops this facility in an  
3 uncontrolled fashion.

4 To give you a better idea of what these things  
5 look like in practice, this is an excavated key  
6 trench. All the white you see here is just snow.  
7 These pipes, these straight lines you see are the  
8 thermosyphon pipes being laid. This is an example  
9 of a similar dam that has been constructed. This  
10 is the preparation that's done prior to building  
11 the core and filling up the key trench.

12 This is a view after that key trench has been  
13 filled in after the core has been partly  
14 constructed, and as you can see, these white sheets  
15 here is the liner being placed on the slope. This  
16 is the secondary containment facility that I talked  
17 about.

18 Ultimately, Mr. Chairman, this is what the  
19 facility will look like or very similar to that.  
20 You'll see a very wide crest with an outer shell of  
21 material. Underneath all of this, there's a series  
22 of pipes, and you'll see a series of thermosyphon  
23 radiators sticking up out of the ground keeping  
24 this quarry intact.

25 Mr. Chairman, in conclusion, this dam has been  
26 designed to a very high degree of conservatism with

1 a very large involvement from a number of experts.  
2 In addition, Miramar has appointed a construction  
3 team to construct this dam consisting of an  
4 experienced construction manager and an experienced  
5 contractor, who not only are experienced in  
6 construction in the north but also have constructed  
7 these dams in the past, and therefore, this is  
8 something they are familiar with and understand the  
9 intimacies of it. Thank you.

10 MR. CONNELL: Larry Connell. Thank  
11 you, Mr. Chairman. Thank you, Maritz.

12 Mr. Chairman, this may be a good spot or an actual  
13 spot for a short break, if you'd like to do that.

14 THE CHAIR: Is 10 minutes good for  
15 you?

16 MR. CONNELL: Yes, sir.

17 (BRIEF ADJOURNMENT)

18 THE CHAIR: Before we reconvene, I  
19 have a couple of housekeeping items.

20 In my introduction this morning, I omitted to  
21 mention that we have a couple people from Bay  
22 Chimo. The other parties will be arriving today  
23 from other communities, weather-permitting, and I  
24 was reminded earlier that I omitted to complete my  
25 presentation this morning. I shall finish it  
26 before we proceed again.

1           The Board relies on the parties and the  
2           Applicant to ensure that all issues and options for  
3           resolutions are on the record and expects the  
4           parties and the Applicant to provide evidence  
5           accordingly. Failure to ask questions of the  
6           parties leaves the Board in a position to accept  
7           the other parties' submissions.

8           And we can proceed questioning of the Applicant  
9           by parties respecting the Applicant's  
10          presentation -- my apology, you can proceed with  
11          your presentation.

12         CONTINUED PRESENTATION BY MHLB:

13         MR. CONNELL:                     Thank you, Mr. Chairman.  
14         Larry Connell again.

15          Before I go back to waste management, my  
16          colleagues too have shown me that I need to clarify  
17          three things that I said this morning, just to make  
18          sure.

19          The first one is on Slide Number 33. It's just  
20          to define what I meant by potable water. I think I  
21          said drinking water when I said that. What we're  
22          specifically meaning by "potable water" is all of  
23          the water that's used for showering, for the  
24          kitchen, for bathrooms, and for drinking water, not  
25          just strictly drinking water. Potable water is  
26          that combination of all the water used -- to be



1 used outside of processing. So it includes  
2 showering, cooking, et cetera. So that was  
3 clarification point number 1.

4 Point number 2 was on Slide 47. I used the  
5 term "treated grey water". What we're specifically  
6 referring to is all of the water coming from the  
7 camp and from the sinks, drains, all of that  
8 combined water is collected, as well as the toilet  
9 water, and is combined as sewage. It goes to the  
10 sewage treatment plant, and it's that treated  
11 sewage water that then is discharged to Tail Lake  
12 with the tailings. So it's after it goes to the  
13 treated sewage -- sewage treatment plant, all of  
14 that water is then combined and sent to tailings.  
15 The sludge from the sewage treatment plant is  
16 what's incinerated.

17 And the third item that -- to try and make sure  
18 I got clarification on the record is I talked this  
19 morning about the fisheries compensation measures,  
20 and we are working with DFO on those compensation  
21 measures. However, we would like the Board to  
22 ensure that or to consider that these compensation  
23 measures that we're working with DFO will actually  
24 be part of this water license, and that once we  
25 have designs agreed to with DFO, we would submit  
26 those to the Board, and that those would become

1 authorized as part of this current water license.

2 So the details ultimately will be given to the  
3 Board after agreement has been finalized with the  
4 DFO and Miramar on those compensation items, just  
5 those fisheries compensation measures, such as that  
6 modification to the boulder garden within the  
7 outflow stream from Roberts Lake.

8 Mr. Chairman, that finishes those  
9 clarifications. I'm now going to go on to the  
10 water management component.

11 Sorry, before I proceed, does anybody have any  
12 questions on those clarifications that I just  
13 skimmed over?

14 Okay, moving on to water management. Water  
15 management at the Doris North Project will consist  
16 of two elements: One is the management of storm  
17 water and the snowmelt that runs off from the plant  
18 site, the landfarm, the landfill, and the water  
19 that's collected within our containment facilities  
20 at the fuel tank farms. And the other component of  
21 that management, water management, is the  
22 management of the water that's released from Tail  
23 Lake and how that's managed during the water  
24 seasons (sic). We're going to break them into  
25 those two categories.

26 I'm going to start with the storm water

1 management. So this storm water and snowmelt at  
2 the plant, it basically consists of taking the  
3 noncontact water, that's the water that hasn't  
4 touched any of our facilities, and diverting that  
5 away from the plant site through the use of berms.  
6 In other words, we take the clean water, the water  
7 that's never contacted our materials, our  
8 facilities, and direct it away from our plant site.

9 The runoff and snowmelt from the ore and waste  
10 rock stockpiles will be directed into a pollution  
11 control pond. This will be a lined pond, and the  
12 water collected there will be transferred to the  
13 tailings containment area. So, in essence, all the  
14 water coming into contact with ore and waste is  
15 transferred to tailings.

16 The remainder of the plant site, the water  
17 again is directed, but it's directed this time into  
18 a second pond called the sedimentation pond. We  
19 will monitor the water in that sedimentation pond,  
20 and if the water meets the standard for discharge,  
21 then it would be discharged onto the tundra. And  
22 we've proposed a standard for that checking of this  
23 water that we took from other mining sites across  
24 the north.

25 The water will be discharged in a controlled  
26 manner, so that we don't disrupt the tundra. In

1 other words, we'll spread it out over the tundra in  
2 our primary area. If the water doesn't meet that  
3 standard, it will be held and transferred to  
4 tailings.

5 This is a plan view of the plant site, and just  
6 basically going to show you that there's a series  
7 of diversion berms that direct the noncontact,  
8 clean water away from the plant site. And the ore  
9 and waste rock stockpiles, which are located in  
10 this area, any water draining from that area comes  
11 through and into this pollution control pond, and  
12 that goes to tailings.

13 The water from the remainder of the plant site  
14 is collected and comes into the sediment control  
15 pond, and we'll check the water quality here, and  
16 where it's good, if it meets the standards for  
17 discharge, that will then be discharged onto the  
18 tundra. If it doesn't meet the standard, it will  
19 be taken to tailings.

20 Similarly at the landfill and the fuel storage  
21 facilities, the primary focus is to divert those  
22 waters that don't come in contact with the facility  
23 away from it by using berms. Any water that does  
24 fall within the containment facility or within the  
25 landfill will be collected in the sump. From the  
26 landfill, we will monitor the quality of that

1 water, and if it meets the discharge standard, then  
2 that water will be discharged onto the tundra, and  
3 in our application, we proposed a standard for that  
4 water, that if the water doesn't meet the standard,  
5 then we would put it into a tank truck and take it  
6 to Tail Lake.

7 In the fuel storage containment sumps, these  
8 are the sumps that collect the water that falls  
9 within these liners, these containment liners, that  
10 water will be run through an oil/water separator  
11 unit that's specifically designed for that purpose.  
12 And then the water that comes out of that, the  
13 clean water that's gone through this filtering  
14 process, would then be discharged onto the tundra,  
15 and we will verify that that water is clean by  
16 sampling.

17 At this point, I'm going to turn the  
18 presentation over to John Chapman. John Chapman  
19 from SRK is going to walk us through the strategy  
20 that we will use to manage the annual release of  
21 water from Tail Lake during the summer seasons.  
22 John?

23 MR. CHAPMAN: Mr. Chairman, Members of  
24 the Board, Ladies and Gentlemen, in the following  
25 series of slides, I'd like to provide you with an  
26 overview of the water quality model that was

1 developed. I would like to then go through the  
2 discharge strategy that was developed, and then  
3 explain how the control system will work, will be  
4 implemented to control the discharge. I then  
5 explain how we simulated the control strategy to  
6 ensure that it will work. And then lastly, I want  
7 to provide an overview of how the model will be  
8 utilized during the operational phase of the mine.

9 Now, the primary purpose of the model was to  
10 determine what the changes in the water quality  
11 would be in Tail Lake over time during the  
12 operational period as well as after operations  
13 cease. The secondary purpose of the model was to  
14 also evaluate and develop the discharge strategy  
15 that would meet the requirements of the discharge  
16 system.

17 This slide shows all of the elements that were  
18 included in the development of the Tail Lake water  
19 balance. I'm not going to go through these  
20 elements; I'll explain it in a more simplified way  
21 in the next slide, but this slide just shows that  
22 all of the inputs and outputs for Tail Lake were  
23 accounted for.

24 Now, I'm afraid this slide isn't very legible,  
25 but what this shows is that it takes the sources,  
26 and these are accounted for in the previous slide,

1 that will contribute to the water quality in Tail  
2 Lake. For example, the mill site over here deals  
3 with the storm water management, which Mr. Connell  
4 discussed earlier. All the other components  
5 include the ore stockpile, the waste rock, the  
6 treated sewage, and the tailings that will come  
7 from the mill.

8 The Tail Lake water balance also includes the  
9 background inflow that will occur, and to this is  
10 added the source of the road and rock fill that  
11 will be used for construction and the potential for  
12 shoreline erosion, what solutes will be released  
13 from this shoreline erosion, the greater water and  
14 load balance. It also includes the Doris Lake  
15 system, which includes the road and construction  
16 fill that will be placed within its catchment and  
17 the background loadings that will enter the lake.  
18 It then looks at the mixing of the discharge from  
19 Tail Lake as it will be discharged to Doris Lake  
20 outflow and will mix at the waterfall. And then  
21 finally, it considers the flow confluence of  
22 Roberts Lake outflow in Little Roberts Lake.

23 This slide just shows the information that was  
24 used in the development of the source terms for  
25 each of the components that are included in the  
26 overall water and load balance. I won't go through

1 this in detail; it's all addressed in the reporting  
2 that has been done to date.

3 Now, this slide shows the steps that were taken  
4 in the use of the water quality model. First of  
5 all, we use it to assess the water quality in Tail  
6 Lake. We then looked at evaluating several  
7 discharge strategies and looked at the complexity  
8 of how they operate and how effective they would  
9 be, and then from that, we selected a preferred  
10 strategy, and based on that preferred strategy, we  
11 developed a control strategy to implement that  
12 strategy, so in the next few slides, I'm going to  
13 discuss the control strategy.

14 Two objectives were laid out for the control  
15 strategy: The first is to meet MMER criteria  
16 before any discharge would occur from Tail Lake;  
17 the second is to meet CCME guidelines in Doris  
18 Creek downstream of the waterfall after the  
19 discharge had mixed with the outflow from Doris  
20 Lake.

21 When we evaluated the impacts on Tail Lake, we  
22 saw that the rise of the water in Tail Lake will  
23 affect shoreline erosion. So to minimize the  
24 effects of shoreline erosion, a third objective was  
25 set forth, and that was to minimize the water level  
26 in Tail Lake.



1           Now, this slide is the same one that  
2 Mr. Rykaart had shown earlier, and I'll quickly run  
3 through it just to refresh your memory. The first  
4 step will be to construct the water-retaining  
5 structures, north dam and south dam, around Tail  
6 Lake. Tailings deposition will then commence, and  
7 that will lead to the implementation of the  
8 discharge strategy, and it is mainly this discharge  
9 strategy, the control of the water from Tail Lake  
10 over time, that I'm talking about here.

11          So just going through the rest of the slide,  
12 the water is expected to rise in Tail Lake. Once  
13 tailings deposition ceases and discharge continues,  
14 the water level will again decrease to the original  
15 elevation, and at that time, it will be possible to  
16 breach the north dam and allow the natural outflow  
17 of Tail Lake to be re-established.

18          This photo just shows the waterfall that's  
19 located downstream of Doris Lake. The discharge  
20 will occur somewhere behind where this person is  
21 standing and then downstream of this area here.  
22 After the discharge has fully mixed with the flow  
23 in Doris Lake outflow, it will be monitored on a  
24 regular basis.

25          Now, the key components of the control strategy  
26 is that the strategy allows for full containment of

1 any water that is released to Tail Lake. This will  
2 allow the development of alternate strategies or  
3 adaptive management plans in the event that there  
4 is any constraint on the release of water from Tail  
5 Lake.

6 Other components that are a part of the control  
7 strategy is the continuous flow monitoring in Doris  
8 Lake outflow and the use of a variable discharge  
9 pumping system to release water from Tail Lake.

10 As I mentioned before, the water quality in  
11 Doris Creek will be monitored downstream of the  
12 waterfall, and that monitoring program will be used  
13 to verify that the control strategy is operating as  
14 designed and to make any changes to the control  
15 strategy so that the objectives are met.

16 Now, there will be two phases in the discharge  
17 management of water from Tail Lake. The first  
18 phase will occur during the operational period and  
19 immediately after tailings deposition ceases, and  
20 entails the period from when the water elevation in  
21 Tail Lake will increase from its original elevation  
22 of 28.3 metres to the maximum elevation and then  
23 decreases again to the original elevation.

24 During that time period, as I've mentioned, the  
25 flow in Doris Creek will be monitored continuously.  
26 That's upstream of the discharge point. The water

1 quality will be monitored at Tail Lake intake,  
2 that's where the pipeline takes water from Tail  
3 Lake before it discharges to Doris Creek.

4 To determine the amount of water that may be  
5 released, what we term a maximum allowable  
6 discharge ratio will be calculated, and then that  
7 discharge ratio will be multiplied by the flow in  
8 Doris Creek to determine what the target discharge  
9 rate is. That target discharge rate would be  
10 further corrected by a factor of .8 so that the  
11 discharge is always well below the maximum  
12 allowable discharge rate. The discharge would then  
13 be regulated by a pumping and a computerized  
14 control system, and the water flows and quality  
15 would be monitored continuously.

16 On this page, it shows the calculations that  
17 would be undertaken to determine the allowable  
18 discharge volume ratio and also determining the  
19 target discharge rate. In the handout, there's an  
20 error in this calculation here. This right bracket  
21 is located in the wrong place. It's located over  
22 here, if you can just correct it in your handout.  
23 And as I mentioned before, the factor of .8 is  
24 applied to determine the target discharge rate to  
25 ensure that the release volume is always below the  
26 maximum allowable release volume.

1           This slide is as it is in your handout.  
2       There's a slight error in the -- or rather an  
3       omission. There's an arrow that should go from  
4       this location to this box here, and in the next  
5       slide, I will go through that again and just  
6       highlight it.

7           Now, what this slide does is it shows the  
8       process that will be followed to determine whether  
9       or not there will be discharge and how much  
10      discharge will occur at any one time. First, the  
11      water quality in Tail Lake will be measured, and  
12      then the question will be asked, Is the water  
13      quality -- does it meet the MMER criteria. If it  
14      does not meet the MMER criteria, there will be no  
15      discharge. If it does meet the MMER criteria, the  
16      next step is to measure the water quality in Doris  
17      Creek, and if the water quality in Doris Creek -- a  
18      check is then done to see if the water quality in  
19      Doris Creek meets the CCME criteria. If it does  
20      not for any particular parameter, then it will be  
21      checked against the water quality in Tail Lake.

22           For example, in the case of selenium, we know  
23      that the water quality is elevated in Doris Creek,  
24      the water quality is predicted to be low in Tail  
25      Lake, and that those conditions -- sorry, if the  
26      water quality in both Doris Creek and Tail Lake is

0061

1     above CCME, there will be no discharge allowed.  
2     However, if the concentration in Tail Lake is below  
3     that in Doris Creek, such as I mentioned for  
4     selenium, then that parameter would be excluded  
5     because discharge of Tail Lake water in that case  
6     will not increase the concentration in Doris Creek.  
7     The balance of the parameters then would be used to  
8     determine what the allowable discharge volume is,  
9     and that will be calculated as I explained before.  
10    The next step is then to select the lowest of  
11    the allowable discharge volume ratios, so that's  
12    done for every parameter that is being monitored.  
13    We select the lowest one of those, and that is  
14    carried forward to determine what the target  
15    discharge rate is.  
16    The discharge rate is then calculated based on  
17    the actual flow in Doris Creek, and then there is  
18    another check performed before any discharge is  
19    allowed. To ensure that the amount of volume that  
20    is released to Doris Creek is not going to impact  
21    the flows significantly, the target discharge rate  
22    would be adjusted to 10 percent of the flow in  
23    Doris Creek if it is up above that amount.  
24    And then the final check that is done before a  
25    release is allowed is to see if the water elevation  
26    in Tail Lake is at or above the original elevation.

1 If it is above the original elevation, then  
2 discharge will commence and will be controlled at  
3 the target discharge rate. If it's below the  
4 original elevation, there will be no discharge  
5 allowed.

6 Now, as we can see from this slide, there are a  
7 number of checks built into the decision matrix  
8 that will be followed to determine whether or not  
9 there will be discharge, and all of these checks  
10 will ensure that water will not be released unless  
11 we can meet the objectives of the control strategy.

12 Now, as I mentioned, there are two phases in  
13 the control strategy. The second phase will  
14 commence when the water elevation reaches the  
15 natural outflow -- natural elevation in Tail Lake.

16 During the operations, the water quality model  
17 will be used, as I will explain in later slides, to  
18 estimate when the natural outflow elevation will be  
19 reached. At that time, approximately a year from  
20 that time or before that time, an ecological risk  
21 assessment will be undertaken to determine whether  
22 or not it will be possible to breach the north dam  
23 at that time and then re-establish the natural  
24 outflow from Tail Lake. That condition is expected  
25 to arise about three to seven years after mining  
26 ceases. It's also important to note that

1 environmental effects monitoring will continue  
2 after the breaching occurs.

3 So what we've done up to now is to discuss the  
4 water quality model. We've looked at how the  
5 discharge strategy was developed and how it would  
6 be controlled, and the next step is actually to  
7 simulate the discharge strategy, so that's what I'm  
8 going to talk about next.

9 These results have been presented in the  
10 supplemental information package that was prepared  
11 subsequent to the technical hearing, so I'm just  
12 going to highlight some of the results from that.  
13 These results -- again, I apologize the quality of  
14 the slide, it's not very clear on this projection,  
15 but what it shows here is concentration of copper  
16 on the -- "Concentration" on the 'Y' axis and  
17 "Time" on the 'X' axis, and what I'd like you to  
18 concentrate on are the blue data over here. That  
19 represents the copper concentration over time.

20 Now, that is the predicted water quality in  
21 Tail Lake over time, and that quality will result  
22 in a discharge strategy that looks like this.  
23 Basically it indicates that in Year 1, a certain  
24 amount of water would be released. In Year 2, more  
25 water would be released. In Year 3, somewhat less  
26 water would be released, but by Year 4 or 5, the

1 long-term average is reached where the water that  
2 would be released is equal to the natural inflow to  
3 Tail Lake. This data set represents the base case  
4 assumptions.

5 In the next series of results, again the same  
6 thoughts are presented, but these conditions  
7 represent the low-flow conditions or conditions  
8 that are dryer than the base case. This means that  
9 there's less water that flows into Tail Lake, and  
10 there's less water that flows in Doris Creek.  
11 Under these conditions, the copper concentration  
12 again is predicted and then discharge volumes are  
13 estimated.

14 This plot shows that the amount of water that  
15 would be released is slightly less than in the  
16 previous slide, but as we will notice here, in  
17 Year 4, there's slightly more water released, but  
18 the conclusion is that irrespective, the same --  
19 it's the same time period that is required to  
20 achieve the long-term average outflow condition, in  
21 other words, within -- this active control within  
22 four years, and then subsequent to the four years,  
23 the discharge is at the long-term average inflow to  
24 Tail Lake.

25 This set of slides represent variable rainfall  
26 conditions in Years 1, 2, and 3, and then reverting



1 to average conditions from Year 4 onwards. What it  
2 shows is that there's a slight change in the copper  
3 concentration in Tail Lake, but it also shows that  
4 there's a significant change in the discharge  
5 strategy.

6 Because of the drier conditions, a lot less  
7 water would be discharged in Year 1. Year 2 is a  
8 slightly wetter year, and a lot more water would be  
9 discharged. Year 3 is again a dry year, and we see  
10 that a lot less water would be discharged. And  
11 Year 4 more water would be discharged, and in year  
12 5, basically the long-term average discharge rate  
13 would be very established.

14 What this shows is that the system is designed  
15 to adapt to the actual conditions that will prevail  
16 at the site. In other words, if there's higher  
17 rainfall than average, the system will discharge  
18 water accordingly. If there's less rain than  
19 average, the water discharge will be reduced  
20 accordingly.

21 So just to retrace, the model showed that it's  
22 possible to meet the CCME guidelines in Doris  
23 Creek. The model shows that the discharge strategy  
24 is very flexible and automatically adjusts to suit  
25 the site conditions. The time frame to reach the  
26 point where the water elevation in Tail Lake is

1 changed back to its original elevation is  
2 minimized, that is, minimizing the risk of  
3 shoreline erosion, and it uses conventional methods  
4 to discharge the water.

5 Now, I'm going to talk a little bit about how  
6 the water quality model would actually be used  
7 during operations. The model itself will not be  
8 used to determine or control the discharge volumes.  
9 The volume that will be discharged will be  
10 calculated independent of the model, and the steps  
11 that will be taken I've discussed in previous  
12 slides. The model will be used only to assess the  
13 potential implications for the future requirements  
14 for management. In other words, what the model  
15 will be used for is to project forward to assess if  
16 current changes in climatic conditions will  
17 implicate the term for which active management will  
18 be required.

19 Now, to use the model during the operational  
20 phase, the model will be revised to allow input of  
21 the actual monitoring data into the system, and  
22 then compare that to the base case calculations.  
23 So this slide just goes through the steps that will  
24 be undertaken. Again I apologize, the print is a  
25 bit small, but the slides in the handout, you can  
26 follow in that, and that should be clear.

1           On a monthly basis, the average monitoring  
2 results that will be obtained at the site will be  
3 input to the model. Now, those monthly averages  
4 will represent the prescription, the flows in Doris  
5 Creek, the discharge volumes from Tail Lake, the  
6 discharge -- I'm sorry, the discharge water  
7 quality, as well as the tailings lake water  
8 quality, and the decant body, so, in other words,  
9 the amount of water that is discharged from Tail  
10 Lake. That would be input into the revised water  
11 and load balance, and then various assessments  
12 would be undertaken.

13          The first step would be to compare the  
14 calculated water elevation in Tail Lake to that  
15 that's actually determined or measured in Tail  
16 Lake. If the comparison is not acceptable, in  
17 other words, if there's a significant difference  
18 between the calculated and the measured value, then  
19 the capacity curve, in other words, the volume  
20 rating, for Tail Lake will be recalibrated.

21          In the event that the difference is acceptable,  
22 the next step will be to compare the calculated  
23 water quality to the actual water quality in Tail  
24 Lake. Again, the question will be asked, Is the  
25 calculated value comparable to the actual water  
26 quality values? If it is not, then the next step

1 would be to identify the cause of the deviation; in  
2 other words, we would go back to the sources and  
3 see which source is most out of line and what is  
4 causing the deviation from the calculated value.  
5 In that case, that source term would be revised,  
6 and the model would be recalculated and the  
7 assessment would be repeated.

8 In the event that the water quality comparison  
9 is acceptable, then the model will be used to  
10 predict the discharge schedule into the future, and  
11 the assessment that will be done then is to compare  
12 the predicted discharge schedule to the base case  
13 schedule; in other words, will it take three years  
14 or five years to achieve the steady-state condition  
15 where Tail Lake elevation is lowered back to its  
16 original elevation.

17 If there is a significant impact on the  
18 discharge schedule, at that time, it will be  
19 possible to identify and implement adaptive  
20 management strategies to correct the situation. If  
21 the -- if there is no impact on the discharge  
22 schedule, then the process would be repeated for  
23 the following month. So basically that is how the  
24 water balance and water quality model will be used  
25 during operations.

26 Now, in that evaluation, there are various

1 criteria that need to be assessed to determine  
2 whether the differences are acceptable or not  
3 between the calculated and the predicted values.  
4 To assess whether or not the water elevation is --  
5 the difference is significant or not, we will use a  
6 value of 0.1 metres.

7 With respect to the water quality, it's  
8 important to note that the water quality difference  
9 is a function of the actual conditions that will  
10 occur. Using the water quality model, we can show  
11 that for the low-flow conditions, a difference of  
12 20 percent will increase the water management  
13 period by one year, and the critical number here is  
14 the one year that it pushes the water management  
15 strategy out by.

16 The 20 percent I might mention is the number  
17 that we had submitted in the supplemental  
18 information package as an example of what that  
19 difference might be, and it's based on this  
20 assumption, that it will affect the water  
21 management strategy by one year.

22 In the case of the base case assessment where  
23 we've got higher flow conditions, it's possible  
24 that a -- it's necessary for a 40 percent or more  
25 increase in the copper concentration before the  
26 water management strategy would be affected by one

1 year. So these are examples of how the level of  
2 significance would be determined for the water  
3 quality.

4 And I thank you for your time.

5 MR. CONNELL: Thank you, John.

6 Mr. Chairman, it's Larry Connell again.

7 I'm going to continue on through the  
8 environmental management system.

9 Miramar has developed an integrated  
10 environmental health and safety management plan. We  
11 use the acronym EHSMS to refer to that  
12 environmental health and safety management plan.  
13 And that's designed to encompass all of our  
14 operational activities at the Doris North Project  
15 site.

16 The environmental management system basically  
17 breaks down as follows: We do the planning before  
18 we do anything. We then act; we go and do what  
19 we're going to do. Then we check to see what  
20 happened, what the consequences of what we did is.  
21 If we've done -- we then look at the consequences,  
22 adjust what has worked and what has not worked and  
23 act again, and then repeat that by checking again.  
24 So there's a continual improvement system, and that  
25 is intended to be used in each of our environmental  
26 management plans.

1           At Miramar, this system has been placed on an  
2 intranet so that the plans that make up our  
3 environmental management system are kept the  
4 current plan. You don't have to go find which  
5 version you're dealing with today. It's on the  
6 intranet. Each of our employees has access to that  
7 intranet site. So if they're looking for the  
8 emergency response plan, they know it's there on  
9 the intranet site, and they'll have the most  
10 current version, and it's easy for us to keep the  
11 more current version out there rather than have to  
12 do it through paper.

13          As part of that environmental management  
14 system, we have an environmental protection plan,  
15 and that protection plan encompasses 15 management  
16 plans, and these were all part of the submission  
17 that was given to the Water Board as part of our  
18 application, and as you can see, they cover things  
19 such as the emergency response, air quality, how we  
20 manage waste rock, how we are going to manage  
21 hazardous materials, how we manage explosives, and  
22 et cetera. I won't go through them all. It also  
23 includes a closure plan and a monitoring and  
24 follow-up plan.

25          Each of these plans are meant to be "living"  
26 documents. In other words, we will put them into

1 operation; they will be the tools used to train  
2 employees so the employees know what commitments  
3 they have to make and how they should make those.  
4 But things will change, things will change, we'll  
5 learn as we move forward. So those plans are  
6 intended to be updated on a regular basis, so that  
7 we're always learning from our experience and  
8 improving our management plan accordingly.

9 We also have a program to monitor how we're  
10 doing, how we're doing environmentally. And so as  
11 part of our presentation, we've actually completed  
12 a monitoring and follow-up plan. It includes  
13 monitoring of the following areas: We've got air  
14 quality; climate monitoring; noise; hydrology, how  
15 much water is flowing; the water quality, obviously  
16 water quality is a very large component of that  
17 monitoring plan; we've got geotechnical monitoring,  
18 how we're going to characterize waste rock that we  
19 use in construction and elsewhere; aquatic effects  
20 monitoring, how -- what is the consequences of our  
21 operation on aquatic affect downstream; fisheries  
22 monitoring, to see how well those compensation  
23 measures have taken place; vegetation and soil and  
24 wildlife monitoring.

25 Put together, these will create a management  
26 system specific to the Doris North Project. A



1 management system that's a pants-to-fit design.  
2 Miramar has proposed a surveillance network  
3 sampling program as part of our application that  
4 includes water quality monitoring locations,  
5 frequencies, and the parameters to be monitored.  
6 All of these programs in design meet or exceed  
7 all the legislated requirements, and also they  
8 exceed and meet all of the NIRB project  
9 certificates that are in this file certificate for  
10 the Doris North Project.  
11 As a company, Miramar fully supports the need  
12 for environmental monitoring and reporting to a  
13 level that ensures that the project is meeting all  
14 regulatory requirements and to ensure that impacts  
15 are as predicted during the environmental  
16 assessment. That is, we're confident that our  
17 monitoring can be used to verify that the  
18 mitigation measures that we have implemented as a  
19 company are working and to give us the time frame  
20 and the knowledge to trigger adaptive management  
21 where it's necessary. We are confident that the  
22 proposed monitoring programs we have put forward  
23 have been developed to address all of the risks  
24 associated with this project.  
25 However, some of the interveners have  
26 recommended beyond what we have proposed. We would

1 ask the Board to consider what monitoring and  
2 reporting is required to meet the objectives that  
3 we stated earlier in the slide above and to hold  
4 the line on requiring the collection and reporting  
5 of additional data that may be nice to have but  
6 does not truly influence how the mine is regulated.  
7 We recognize that the Board can always add  
8 additional monitoring and reporting requirements to  
9 the water license Surveillance Network Program at  
10 any time in the future if conditions demonstrate  
11 that there's such a need.

12 I'm now going to move on to closure and  
13 reclamation planning. Mine closure and planning  
14 for reclamation at Doris North has been a critical  
15 part of our application. We have completed a  
16 closure reclamation plan as part of the submission,  
17 and that reclamation plan has now advanced well  
18 beyond the conceptual level, especially given the  
19 short term of the mine life.

20 In summary, this project can be reclaimed so  
21 that there is no requirement for perpetual care.  
22 Specifically what I mean is that there's no -- it  
23 will not be reclaimed in a fashion where there is  
24 long-term water treatment or management required.  
25 The tailing solids at the final end of closure will  
26 be under a permanent 4-metre water cover and won't

1 be exposed to surface. All of the cyanide leach  
2 residue solids will have been placed back into the  
3 underground mine and encapsulated within the  
4 permafrost in the sealed mine.

5 What happens at mine closure? First of all,  
6 all of the ore and waste rock stockpiles will be  
7 removed. All the ore will be milled, and the waste  
8 rock will go back underground. And then we will  
9 seal all access into the underground mine, and the  
10 mine will remain in a frozen condition. That's  
11 within the permafrost.

12 The mine site will then be -- the mill site  
13 then be cleaned out and the -- of all its  
14 contaminated materials, and once that cleaning is  
15 finished, the mill building will be dismantled.

16 All the chemicals, hydrocarbons, hazardous  
17 materials that are left at the time of closure will  
18 be packaged and removed from the site and taken  
19 back south and either recycled or appropriately  
20 disposed of.

21 All of the equipment and buildings no longer  
22 needed will be cleaned and dismantled. Buildings  
23 that we continue to use for the reclamation, they  
24 too will be dismantled once they're no longer  
25 required. The intent is at the end of the day,  
26 nothing is left on the project site. Equipment and

1 building material that has a salvage value will be  
2 removed from site by sea lift.

3 The inert material that has no salvage value  
4 will be buried in the landfill on site. So the  
5 demolition debris that is nonhazardous will be  
6 buried on site in the landfill within Quarry 2.  
7 And Tail Lake will be returned to its  
8 pre-development water level by breaching the north  
9 dam, as you've heard previously.

10 Specifically at Tail Lake, the annual water  
11 discharge that John described will continue once  
12 mining ceases in a managed fashion until it's shown  
13 that there will be no further impact on the  
14 downstream aquatic life from an irregular  
15 discharge. We expect that to be in three to seven  
16 years after mining ceases.

17 The water level at that point is expected to  
18 return to the pre-development level of 28.3 metres,  
19 which is actually expected within the third year,  
20 as you saw in John's presentation. At that point,  
21 the annual discharge will equal the natural runoff  
22 into the lake.

23 We'll still continue to manage the discharge,  
24 but the north dam could be breached at that point.  
25 However, one year before the water level reaches  
26 that 28.3 metre, which is the pre-development

1 level, as John said, we would do an ecological risk  
2 assessment to verify and determine when water  
3 quality is going to be suitable for release in a  
4 unregulated fashion to meet the guidelines of the  
5 standards that we put forward for this discharge  
6 strategy.

7 How long will reclamation take? The physical  
8 removal of buildings, equipment is expected to be  
9 done over two years, two summers following mine  
10 closure. So under a current schedule, that will be  
11 completed by the end of 2010. Reclamation of Tail  
12 Lake will continue, and it was expected at the  
13 worst to be seven years after the cessation of  
14 mining, so by the end of 1015 under our worst-case  
15 scenario. However, post-closure monitoring will  
16 continue until we can demonstrate that the site is  
17 sufficiently stable for a final departure. We  
18 expect that to be at a minimum of something in the  
19 order of ten years.

20 What's left after reclamation? The building  
21 pads and the roadways will still be left. We're  
22 not proposing to remove those, because to remove  
23 those, we would actually damage the underlying  
24 permafrost. We will, however, remove the rock  
25 drains, culverts, and bridges so that natural flow  
26 is re-established.

1           The landfill will be left on site. It will be  
2 within Quarry 2, and it will be covered with a cap  
3 of rock, and that rock will come from the quarry.  
4           The rock quarries that we used for construction  
5 will obviously be left at site, although they will  
6 be stabilized, the walls in those will be  
7 stabilized.  
8           The jetty will still be there, but it will be  
9 below water. We will remove the jetty that's above  
10 water, and so there will be a 1-meter cover over  
11 the remaining piece of the jetty. You won't see  
12 it, but it will still be there, the base.  
13          The tailings containment area, it will remain  
14 as a flooded shallow lake with a breach through the  
15 north dam, but it will look very much similar to  
16 what it does in its current state.  
17          And obviously the fisheries compensation  
18 structures that we've constructed on site would  
19 remain, and those would continue to operate after  
20 the mine closes.  
21          These were just some artist's views to show  
22 what the site would look like after reclamation.  
23 So you see Tail Lake return to its current  
24 elevation, the north dam is -- sorry, the south dam  
25 remains, the north dam remains, but it's breached.  
26 You can still see the quarries. The mill and all

1 the buildings have been removed.

2 Similarly, this is looking from the north to  
3 the south, you can see the jetty is no longer  
4 visible, although the quarry is still there, and  
5 the roads are still visible. It will take a fair  
6 while for nature to overcome those roads, but if we  
7 remove them, we would actually do more damage to  
8 the tundra.

9 Now, I'm now going to move on to financial  
10 security, which is a key point for Miramar. It's  
11 very important that Miramar acknowledges that we  
12 are in a position where we have to bond for the  
13 liability that's left from this site, so that in  
14 the event that Miramar were not to be around to do  
15 its duty to reclaim the site, that there is funds  
16 to do that work.

17 So in calculating what that amount is or what  
18 estimate we should have for reclamation, we have  
19 done two forms, we've done it by two methods.  
20 We -- the Kitikmeot Inuit Association have a  
21 reclamation costing model, and we worked with the  
22 Kitikmeot Inuit Association to use their model to  
23 come up with one estimate, and that estimate was  
24 11.7 million.

25 INAC also have a reclamation costing model  
26 called "RECLAIM" that's got a long experienced life

1 in the north, and we've used that model to come up  
2 with an estimate of reclamation, and we've come up  
3 with an estimate of 11.5 million.

4 Both of those estimates include a discount for  
5 future costs using a discount rate of 3 percent.  
6 What that means is that costs to be incurred after  
7 2012, we have brought back those back to 2007  
8 dollars by using a discount rate at 3 percent so  
9 that we're -- and we've done that with all these,  
10 that we're comparing apples and apples.

11 INAC have prepared, independently prepared,  
12 their own estimate of this cost, and the INAC  
13 estimate is 11.5 million when you use the discount  
14 rate. And INAC's reported their costs, both  
15 discounted and undiscounted, but I've just made the  
16 comparison between them so that you can see the  
17 apples-to-apples comparison.

18 The net outcome is that all parties seem to be  
19 in consensus that the cost of reclaiming this  
20 project is in the range of 11-and-a-half to \$12  
21 million. There seems to be consensus amongst all  
22 parties that that's where the appropriate number  
23 lies.

24 This is just a table showing the breakdown of  
25 our estimate using the RECLAIM model. I won't go  
26 through it in detail, but it just shows the



1 breakdown by area for you.

2 A key issue to Miramar is how security is  
3 obviously held, and there's a unique feature with  
4 this project in that it's on Inuit-owned land.  
5 This is private land. The Kitikmeot Inuit  
6 Association have indicated that they will ask  
7 Miramar for \$11.7 million under the land lease as  
8 reclamation security to protect their interests  
9 because they will be issuing the commercial mining  
10 lease for this property, and they'll have a  
11 security request under that mining lease.

12 INAC have recommended that the total  
13 reclamation security should be 12.3 million, and of  
14 that, 6.1 million of this total is for  
15 water-related reclamation liability, and that  
16 should be held by INAC.

17 Just make the point that this 12.3 million is  
18 not based on any discount. It is the undiscounted  
19 amount, which is different from past practice that  
20 has been applied across the north in Nunavut, and  
21 by not discounting that future cost, it adds about  
22 0.8 million to the estimate.

23 To date -- I'm now going to talk about this  
24 double-bonding issue, and I'm going to explain what  
25 I mean by that. To date, INAC and the Kitikmeot  
26 Inuit Association have been unable to reach some

1 agreement on how security could be held against  
2 reclamation on the Doris North Project or how it  
3 could be jointly administered by the two parties if  
4 we fail to meet our obligations.

5 Since we've got a condition where the Kitikmeot  
6 Inuit Association are asking for full security  
7 under their land lease and INAC is recommending to  
8 the Board that we should also post security to the  
9 Water Board of roughly \$6 million for the -- sorry,  
10 of the water-related liability to the Water Board  
11 under INAC.

12 That means that, in total, the company is being  
13 asked to post total security bonds of \$17.8 million  
14 against what everybody's already acknowledged to be  
15 a liability of 11-and-a-half to 12 million. So  
16 we're being asked to place into the bond or the  
17 combined bonds in excess about \$6 million. That's  
18 a significant amount of money to us.

19 This \$6 million in double bonding is a  
20 significant issue to Miramar, and it's also a  
21 significant issue to the mining industry. It has  
22 the potential to render large projects that are  
23 going to be developed in the future on Inuit-owned  
24 lands to become totally uneconomic, and I'll  
25 explain that a little bit further later on.

26 The reality is reclamation activities take

1 place in a holistic fashion. It's not very  
2 efficient to separate or try to separate the land-  
3 and water-related. These are interrelated items.  
4 When you go to do one piece of reclamation, you  
5 don't separate it by whether it's a land- or a  
6 water-related issue. You just reclaim to ensure  
7 that both are dealt with.

8 So trying to isolate that water-related  
9 reclamation from land-related reclamation, it ends  
10 up leading to a very inefficient reclamation that's  
11 got to cost more. Because you've got two parties  
12 doing two different things potentially doubles the  
13 project management costs, doubles administration,  
14 the mobilization costs. It's very inefficient.

15 On a large scale project, this could add tens  
16 of millions of dollars to a project cost, this  
17 double bonding, and could be enough to render a  
18 project uneconomic. So it disadvantages projects  
19 to be developed on Inuit-owned lands, and  
20 ultimately potentially penalizes Inuit  
21 beneficiaries from getting development on their  
22 land.

23 The double-bonding issue is also unfair to  
24 industry. We're being asked to put an excess into  
25 the bond because there can't be a form of  
26 cooperation between the two parties. We have been

1 asking INAC and the KIA to see if they couldn't  
2 find some method to resolve this for approximately  
3 two years now.

4 Here are some options: We've got a total of  
5 four options we've put on the table for how this  
6 issue could be resolved. In Option 1, INAC would  
7 hold the full reclamation security, and then INAC  
8 and the KIA would have an agreement between them  
9 that covers how they could jointly manage the  
10 reclamation activity if we don't live up to our  
11 obligations. That's a viable option.

12 Option 2, again, INAC would hold full security  
13 for the project, and in return, they would provide  
14 the Kitikmeot Inuit Association with an indemnity  
15 against any future claims or liability against the  
16 KIA from the activities or liability that the  
17 mining company's left behind on the Inuit-owned  
18 land. INAC and the KIA could then have an  
19 agreement on they would jointly manage the  
20 reclamation activity on this private land if the  
21 company were not there to live up to its  
22 obligation. Again, a viable option.

23 Option 3, again, INAC and KIA could each hold  
24 separate reclamation security, but in aggregate,  
25 that reclamation security would represent the total  
26 estimate rather than duplication of the estimates.

1 In other words, there would be no overlap or  
2 excessive bonds. In that case, KIA and INAC would  
3 have an agreement that sets out how they would  
4 jointly manage the reclamation of the project if we  
5 failed to live up to our obligation, and both  
6 parties would provide the other party with an  
7 indemnity against additional claims against each  
8 other resulting from our activities on the private  
9 land.

10 Option 4, INAC and the KIA would jointly hold  
11 the full reclamation security. INAC and KIA would  
12 have an agreement covering how they would jointly  
13 manage the reclamation activity and how they would  
14 spend that money accordingly.

15 There's actually precedent for this already.  
16 This is the way the Boston license is set up, where  
17 that security is jointly held, and there's  
18 agreement that the parties will jointly work to  
19 reclaim the site.

20 We're not taking a position on which option is  
21 best; we leave that to other parties to resolve.

22 This slide is intended to show how difficult it  
23 is in trying to divide land and water. As you know  
24 in the INAC submission, there's been an attempt --  
25 there's been a division of those estimates, and the  
26 net is that INAC's estimate is roughly 50/50 split

1 between what's water-related and what's  
2 land-related. The bottom line is the total remains  
3 the same, the total estimate's the same.

4 We've gone away and done our -- taken our  
5 estimate and also divided it by our own estimate of  
6 what's water and land, and we've come up with a  
7 split that's closer to two-thirds being land and  
8 one-third being water. The reality is if we gave  
9 five professionals this job, you would probably get  
10 five different answers because you're -- it's a  
11 subjective thing to determine what's a  
12 water-related and what's a land-related issue.

13 And I'll just give you one example. Under the  
14 line "Chemicals and Soil Management", under INAC's  
15 estimate, they see that as a water issue, whereas  
16 we see that as a land-based issue. In other words,  
17 the removal of the chemicals that are left at the  
18 end of the day and the clean up of the soils, we  
19 see that as primarily a land issue, that if not  
20 done would become a water issue, where INAC's  
21 saying that it's only a water issue because it's a  
22 water liability. So consequently, it's very, very  
23 tough to separate this water and land liability.

24 In a nutshell, to summarize, we think it's  
25 unfair that Miramar be asked to double bond or to  
26 be asked to overbond for this project, and that

1 really what should happen is the parties need to  
2 hold security in a cooperative manner. And without  
3 this -- such cooperation and without setting such a  
4 precedent as this, it's going to be a significant  
5 disincentive in the future to large-scale  
6 investment on Inuit-owned land. It penalizes  
7 development on private land versus development on  
8 Government Crown land.

9 And that's the end of our submission,  
10 Mr. Chairman. Thank you very much for your time.

11 THE CHAIR: Thank you very much. I  
12 think we're pretty close to lunchtime, so we'll  
13 break for lunch, and be back here at 2. Is that  
14 acceptable? 1:30? The kitchen will be pretty  
15 busy. 2. Thank you.

16 (PROCEEDINGS ADJOURNED AT 11:50 A.M.)

17 (PROCEEDINGS RESUMED AT 2:00 P.M.)

18 THE CHAIR: Welcome back, everyone.  
19 Before we proceed, we have some housekeeping items  
20 to do, and I'll turn it over to legal counsel.

21 MR. TILLEMEN: Thank you, Mr. Chair. My  
22 name is Bill Tillemen.

23 What we'd like to do to keep the order of  
24 written presentations or visuals documented is  
25 propose that they be filed as exhibits, and so I  
26 propose, unless there's an objection, that the

1 application and all of that material not need to be  
2 marked. It's part of the record, and accordingly,  
3 it can be accessed by the Board or the public.

4 However, today, I propose three things do be  
5 marked. The first one then would be the  
6 presentation that is a hard copy that the parties  
7 received, and I suggest that be marked as number 1.  
8 Exhibit number 2, I propose that that be the  
9 electronic version that we saw up on the screen.  
10 It was a little bit different than that. And then  
11 I propose, Mr. Chair, as Exhibit Number 3 is  
12 there's a follow-up document, which is being  
13 distributed now to the audience. Miramar was kind  
14 enough to provide 50 copies of a document that  
15 is -- I'm trying to give it a good name -- maybe  
16 we'll just call it a follow-up to the technical  
17 meeting, dated August 11th, 2007, from Dr. Rykaart,  
18 and that would be number 3, and that's it. Unless  
19 there's objections, I propose they be marked  
20 accordingly. Thank you, sir.

21 EXHIBIT NO. 1:  
22 HARD COPY OF MHL DORIS NORTH PROJECT  
23 PRESENTATION TO NUNAVUT WATER BOARD, AUGUST  
24 13, 2007.  
25 EXHIBIT NO. 2:  
26 ELECTRONIC COPY OF MHL DORIS NORTH PROJECT



1 PRESENTATION TO NUNAVUT WATER BOARD, AUGUST  
2 13, 2007.  
3 EXHIBIT NO. 3:  
4 SRK CONSULTING MEMO FROM DR. RYKAART,  
5 REGARDING DISCHARGE LOCATION AND WATER  
6 QUALITY AND MONITORING PLAN, DATED AUGUST  
7 11, 2007.

8 ROLL CALL:

9 THE CHAIR: Thank you. And this  
10 morning I said I would do a roll call. I apologize  
11 for skipping ahead or sometimes I do get ahead of  
12 myself, so before we proceed on to the agenda  
13 items, I'd like to do a roll call.

14 KIA and NTI, INAC, Environment Canada, DFO, and  
15 GN, what I would like you to do is walk up to the  
16 microphone, introduce yourself and your group so  
17 the Applicant knows who's all involved in this  
18 public hearing. First in order is KIA/NTI.

19 MR. CLARK: Good afternoon,  
20 Mr. Chairperson. My name is Geoffrey Clark, and I  
21 am the Director of Lands, Environment, and  
22 Resources for the Kitikmeot Inuit Association. And  
23 with us here today is KIA's president, Mr. Donald  
24 Havioyak; our Senior Lands Officer, Stanley  
25 Anablak; our Environment Technician, Kevin Tweedle;  
26 our legal counsel, John Donihee; and as well, we

1 have a summer student with us, Angus Peterson.  
2 MR. HAKONGAK: Good afternoon,  
3 Mr. Chair. George Hakongak, Senior Advisor,  
4 Environment, Water, and Marine Management with  
5 Department of Lands and Resources, NTI in Cambridge  
6 Bay.  
7 MR. CLARK: And providing technical  
8 services to both KIA and NTI is Dr. Mike McGurk  
9 from Rescan Environmental Services, and he is here  
10 with us today as well. Thank you.  
11 THE CHAIR: Thank you. Next is INAC.  
12 MR. McLEAN: Yes, good afternoon,  
13 Mr. Chair and Board Members. My name is Carl  
14 McLean, Director of Operations with Indian and  
15 Northern Affairs Canada, Nunavut Regional Office.  
16 And we've brought a very experienced team with us  
17 to participate, and I'll ask them to stand up when  
18 I introduce their names.  
19 We have Jim Rogers, Manager of Water Resources  
20 with INAC; David Abernethy, Water Resources  
21 Coordinator with INAC; we have Baba Pedersen,  
22 Resource Management Officer with INAC out of the  
23 Kugluktuk office; Maria O'Hearn, Manager of  
24 Communications with INAC; we have Ken Landa, Legal  
25 Advisor with Justice Canada, advisor to INAC; and  
26 our team of consultants and our experts. We have

1 Leslie Gomm with Gartner Lee Limited; Holger  
2 Hartmaier with BGC Engineering Incorporated; Lisa  
3 Barazzuol with MESH Environmental; Eugene Yaremko  
4 with Northwest Hydraulic Consultants; and John  
5 Brodie with Brodie Consulting Limited. Thank you.  
6 THE CHAIR: Thank you. Environment  
7 Canada.  
8 MS. WILSON: Good afternoon,  
9 Mr. Chairman and Members of the Board. My name is  
10 Anne Wilson. I'm a Water Pollution Specialist with  
11 Environment Canada in Yellowknife. Our team today  
12 consists of myself doing the water quality work;  
13 Savanna Levenson is the file lead for this  
14 presentation; Dave Fox is here as an Air Issue  
15 Specialist; and Glen Groskopf, who is the Mining  
16 Issue Specialist. Thank you.  
17 THE CHAIR: Thank you. DFO.  
18 MS. GORDANIER: Thank you, Mr. Chair, and  
19 good afternoon, Members of the Board. My name is  
20 Tania Gordanier. I'm with Fisheries and Oceans  
21 Canada with our Environmental Assessment and Major  
22 Projects Group based out of Ottawa. I have with me  
23 here today Amy Liu, who is a Senior Habitat  
24 Biologist based out of Iqaluit, and Mr. Paul  
25 Savoie, who is a Habitat Team Leader also based out  
26 of Iqaluit.

1 THE CHAIR: Thank you. GN.  
2 MR. ATKINSON: Good afternoon,  
3 Mr. Chair, Members of the Board. My name is Mike  
4 Atkinson. I'm Manager of Environmental Assessment  
5 and Land Use for the Government of  
6 Nunavut-Department of Environment. Thank you.  
7 THE CHAIR: Thank you. Anybody else?  
8 Are we ready to proceed with the agenda items?  
9 Number 9, questioning of the Applicant by parties  
10 respecting the Applicant's presentation. First  
11 will be KIA/NTI, I believe.  
12 MR. CONNELL: Mr. Chairman, can I  
13 interrupt?  
14 THE CHAIR: Go ahead.  
15 MR. CONNELL: While we have finished  
16 our presentation, we do have a short number of  
17 slides to respond to some of the major issues on  
18 the interventions, and we would be willing to put  
19 those on the table now if that would be acceptable.  
20 THE CHAIR: Go ahead.  
21 MHLB RESPONSE TO MAJOR ISSUES ON INTERVENER  
22 SUBMISSIONS:  
23 MR. CONNELL: Just got to get the  
24 slides loaded up to the screen, and I'll start from  
25 there. Thank you, Mr. Chairman. Larry Connell.  
26 What we've done here is put together some

1 slides that really just address some of the  
2 critical items in the interventions that will be  
3 coming so that we could put this into the record  
4 before the Board for your deliberations. And some  
5 of these, I will go through them very quickly for  
6 brevity, I won't expand, and I'll go through others  
7 with more detail.

8 The first set of slides deal with the  
9 additional monitoring items that were requested by  
10 Indian and Northern Affairs Canada. And the very  
11 first column on this chart, and you'll see it's the  
12 same way I've set all these slides up, the first  
13 column contains items that were recommend by Indian  
14 and Northern Affairs that were previously committed  
15 to by Miramar either as part of our submission or  
16 through the technical hearings process. So I won't  
17 dwell with that column because there's already a  
18 consensus with the parties that those are  
19 acceptable.

20 The middle column are new recommendations that  
21 Indian and Northern Affairs have put before the  
22 Board where there is consensus that we can agree to  
23 those items being included within the water  
24 license. And then the third column is the one of  
25 key interest to us, are those where recommendations  
26 have been put forward that we do not accept, we do

1 not feel are appropriate, and I will dwell more on  
2 those as I move through them.

3 So the first item on this slide deals with  
4 tailings seepage monitoring, and we have previously  
5 agreed that tailings seepage monitoring should be  
6 incorporated into the license.

7 In this slide here, we're dealing with issues  
8 dealing with the water quality calibration  
9 monitoring. I won't dwell with the items that  
10 we've already previously committed to; you see  
11 those there. And we will get copies of this  
12 printed tonight. We've just completed it and will  
13 get it to everybody overnight.

14 The items in the center column, things to do  
15 with pan evaporation and the volume of the treated  
16 sewage, we agree that those are appropriate to be  
17 included in the license. However, in the far  
18 column, the right-hand side, the items that we find  
19 to be too hard or too great and cannot agree to are  
20 things such as measuring the ice thickness on Tail  
21 Lake on a weekly basis. We would suggest that this  
22 would be more appropriate if it was done, say, once  
23 a month during the winter months, that we believe  
24 that weekly going out to measure that ice thickness  
25 is too much.

26 The same with there was a recommendation that

1 we do a multi-depth water quality sampling on a  
2 regular basis distributed over the whole of Tail  
3 Lake. This water quality will be monitored by  
4 Miramar on a very frequent basis at the intake. We  
5 proposed that as part of our program, to monitor up  
6 to two heights at the intake on a regular basis.  
7 As part of the internal monitoring program, that's  
8 what will get done.

9 Water quality monitoring once per month in the  
10 open-water season in one other location other than  
11 the intake will be part of our internal program so  
12 that we can also check to make sure that the lake  
13 is not segregating, that there's not differences  
14 across the lake. We don't think that's appropriate  
15 to go into the license. That was part of our  
16 internal plan for internal monitoring.

17 The next one deals with geochemical monitoring.  
18 The geochemical monitoring of tailing solids, that  
19 was something we already put into our work plan.  
20 The geochemical monitoring of the leach residue  
21 placed underground on a monthly basis, the  
22 inspection of the freeze back of that leach residue  
23 placed underground, and the seepage water quality  
24 are things that we agree are appropriate. However,  
25 we would suggest, rather than it be monthly, that  
26 these should be something that are done biannually.

1       Geochemical processes in cold weather are very,  
2       very slow, and so this is just a confirmatory check  
3       to make sure that we aren't having something take  
4       place that is not expected, and we believe that  
5       doing this twice a year will be adequate to meet  
6       that need of protection.

7       There was, however, a request by -- in the  
8       Indian and Northern Affairs submission to do a  
9       series of monitoring within the cyanide destruct  
10      circuit. We think it would be much more  
11      appropriate than doing these internal monitoring  
12      checks within the plant. Those are something we  
13      will be doing with operators, but we think it's  
14      much more appropriate for the water license to deal  
15      strictly with the output of that circuit, and so we  
16      suggest that a monthly monitoring of just the  
17      barren bleed solution is what should appropriately  
18      be put in the license and not moving further back  
19      into the plant where the operators work. It's  
20      really the output, what's coming out of the plant,  
21      how good it's doing, and how that's going into Tail  
22      Lake that should be of critical importance in  
23      monitoring to ensure that the performance that is  
24      being committed to is being met.

25      The next one deals with the geochemical  
26      monitoring relating to waste rock. We had



1 previously committed to monitoring of the waste  
2 rock that's placed on surface and the tonnage  
3 placed and reporting that, and we agreed to  
4 segregation of waste rock from the -- of the --  
5 waste rock that's nonmineralized from the waste  
6 rock that's mineralized. In other words, the  
7 nonmineralized rock is likely to be of no harm,  
8 whereas the mineralized rock is the one of major  
9 concern.

10 However, Indian and Northern Affairs have also  
11 asked that we monitor where the waste rock is  
12 placed back underground. We find that a very  
13 difficult thing to live with because we built into  
14 the plans that's gone through the NIRB process a  
15 certain size of stockpile. In order to do  
16 segregation, where we can segregate by lithology,  
17 we would have to create a number of piles that  
18 would then be picked up and placed underground, and  
19 that would be difficult for us to do. We would  
20 actually have to expand the facility and change the  
21 facility from the design in order to achieve this,  
22 and we also don't feel that this is going to add  
23 any additional protection overall.

24 The next two, the subsurface geotechnical  
25 monitoring during the dam construction, that was  
26 previously in our plan, so we agree with it. The

1 quarry rock monitoring, there was a follow-up ABA  
2 monitoring on the rock that's placed. In other  
3 words, we've already characterized the quarries  
4 before we started construction, but we made a  
5 commitment to also do periodic sampling of the rock  
6 that's placed out on the site, so that we confirm  
7 what the quarry is showing.

8 The difference or the addition to this is  
9 Indian and Northern Affairs asked that we do what's  
10 called a shake flask extraction test on 5 percent  
11 of the samples taken. That's to measure the  
12 potential for metal leaching. The test has its  
13 difficulties. It tends to overestimate, and it's  
14 not very -- it's not always perfect, but it does  
15 give you valuable data, so we've agreed that that  
16 should be something that could be added and we  
17 could agree to.

18 The geotechnical inspection, the inclusion of  
19 the Tail Lake shoreline in the annual geotechnical  
20 inspection, that was something that Miramar had  
21 previously agreed and had put into our own plan.

22 Seepage from the downstream, this is a repeat,  
23 it appears twice in the intervention, and so I  
24 won't go through it again. We've agreed that  
25 seepage should be monitored.

26 The annual geotechnical inspection should be

1 extended to all surface facilities, including  
2 instrumentation. That component was already in our  
3 monitoring plan. The new piece that Indian and  
4 Northern Affairs have suggested or recommended is  
5 the inclusion of checking the underground wall rock  
6 temperatures in the Doris Lake pillar, in other  
7 words, the piece of rock that's towards Doris Lake  
8 to ensure that there is no thawing taking place and  
9 to look at groundwater conditions in the annual  
10 inspection, and we believe that is appropriate and  
11 commit to doing that.

12 The Tail Lake discharge standards, Indian and  
13 Northern Affairs had asked us to include BOD and  
14 fecal coliform in the weekly parameters to -- on  
15 Tail Lake discharge. That comes from the fact that  
16 we are discharging the treated sewage together with  
17 the tailings. We don't have a problem with  
18 incorporating those, a periodic check. However,  
19 the difficulty of those two elements is that they  
20 require -- they cannot be preserved, and so in a  
21 remote location, getting those samples to the lab  
22 to meet the analytical requirements is a difficult  
23 thing. It requires that you coordinate the actual  
24 shipping of that sample. So what we're suggesting  
25 is that we do it once per month to confirm that  
26 there's not a problem and that the other three

1 weeks in that month we do not do BOD and fecal  
2 coliform. And that way, we do -- can check and  
3 make sure that these are a parameter problem, and  
4 at the same time, we're not making it impossible to  
5 get the samples to the lab in a timely fashion.

6 This one is a repeat. It does appear twice in  
7 the intervention, that is what we've already talked  
8 about, that we cannot effectively segregate the  
9 waste rock to go back underground into separate  
10 piles without changing the design of our waste rock  
11 stockpile, to create the area for it.

12 The inclusion of nitrates and nitrite from the  
13 camp/mill sedimentation pond is parameters to be  
14 checked. That is something we agreed to through  
15 the technical hearings.

16 The -- there was a request in the intervention  
17 or recommendation intervention that we include  
18 nitrate, nitrite, and ICP-MS metals to the  
19 parameters being monitored at the waste rock  
20 pollution control pond, and we can agree with that  
21 one. That one is acceptable to us.

22 The underground water quality, there was a  
23 recommendation that we should be monitoring. On a  
24 monthly basis, the underground mine water is pumped  
25 to surface and on to tailings impoundment, and we  
26 agree that that's something that makes appropriate

1 sense and should be incorporated.

2 We're also -- during the construction phase, we  
3 had proposed a series of monitoring, environmental  
4 monitoring, to ensure that we're protecting the  
5 environment during that phase, and one of them is  
6 to actually monitor the quality of water that  
7 drains away from these newly constructed roads and  
8 pads. And we have proposed a pH monitoring, and it  
9 was recommended that electrical conductivity would  
10 be an additional easy parameter that would add  
11 value to us. And we agreed that that would be an  
12 addition that would provide additional value, that  
13 we could agree with that one.

14 The next one is a repeat. It's being put there  
15 because it also appears in this section of the  
16 intervention, but I won't dwell on it. You've  
17 already heard me speak on that.

18 Again with waste rock monitoring, with respect  
19 to this quarry rock seep surveys, we had previously  
20 agreed that they would be done on ephemeral seep  
21 sediments. We wouldn't just go out and pick  
22 locations of tundra if there's no water or a sample  
23 there. We're going to -- in this case here, we're  
24 looking for where there's water and then monitoring  
25 that water, so we had agreed to that previously.

26 The new recommendation in the Indian and

1 Northern Affairs submission is that 20 percent of  
2 those samples, even whether they meet good quality  
3 water as measured by pH in the electrical  
4 conductivity should be set for -- sent out for  
5 secondary analysis. We had said that we would  
6 already send out those for secondary analysis where  
7 the pH in electrical conductivity indicated that  
8 there was some reason to believe there was a  
9 problem. And Indian and Northern Affairs has asked  
10 that we extend that to 20 percent, and we think  
11 that is a large number, that can be a very large  
12 number and a high-cost item to us, but we agree  
13 that it's worthwhile doing some, and we have  
14 suggested that 10 percent of the total samples  
15 taken would be more appropriate.

16 And it was also recommended that the survey be  
17 expanded to include the drainage coming out of  
18 these rock drains, so we agreed with that. That's  
19 an appropriate thing to incorporate in the  
20 monitoring.

21 The next item was on tailing solids monitoring,  
22 the monitoring or the measuring of the tonnes of  
23 combined tailings placed in Tail Lake was something  
24 that previously we had agreed to. The monthly  
25 monitoring for the elements shown there was  
26 something we had previously agreed to.

1           On tailings supernatant monitoring, the  
2 monitoring of the combined tailings supernatant  
3 water placed in Tail Lake, initially on a daily,  
4 reduced to weekly after three months. This is an  
5 item that we had previously included in our own  
6 plan, so it's agreeable with us.

7           The new recommendation from Indian and Northern  
8 Affairs is the inclusion of weak acid dissociable  
9 cyanide in total metals by ICP-MS into the list of  
10 parameters, and we agree that that's an appropriate  
11 addition. However, it also went on to request or  
12 recommend, the INAC recommendation was that we  
13 incorporate weekly and monthly monitoring of  
14 cyanate and thiocyanate. These are parameters that  
15 are not key to any of the monitoring or the  
16 management program. We suggest that they're of  
17 interest to know what they are on occasion, but  
18 that they should be checked on a regular basis,  
19 they are just an added cost that won't help us. So  
20 we're suggesting that these parameters be checked  
21 once per quarter.

22           Next, we're into cyanide leach residue  
23 monitoring. We had previously agreed that the  
24 tonnage of cyanide leach residue sent underground  
25 should be monitored and checked and reported on.  
26 The Indian and Northern Affairs submission and the

1 recommendation is that we also include WAD cyanide,  
2 weak acid dissociable cyanide, and total metals by  
3 ICP-MS into a list of parameters on that stream,  
4 and we agree with that, that that's an appropriate  
5 addition.

6 So as I said previously, there was also a  
7 recommendation that we incorporate weekly and  
8 monthly monitoring of cyanate and thiocyanate. We  
9 don't believe that those should be done on a weekly  
10 or monthly phase, that those are less critical  
11 parameters, and that they should just be checked on  
12 a periodic basis. We suggest once per quarter.

13 Also dealing with the cyanide leach residue  
14 monitoring, Indian and Northern Affairs made the  
15 recommendation that we should be monitoring the  
16 moisture content of the backfill going underground  
17 and also total and weak acid dissociable cyanide in  
18 the backfill placed underground. And we agree that  
19 those are acceptable additions of things that would  
20 improve the strength of the monitoring.

21 However, they also recommended that there be  
22 monthly monitoring for acid-based accounting of  
23 those samples and that we deal with total sulphate,  
24 total metals by ICP-MS, totally inorganic carbon,  
25 effective NP, including doing mineralogy on the  
26 cyanide leach residue solids placed underground.



1 On a monthly basis, that would be an extremely high  
2 cost item, and we really don't think that adds to  
3 the long-term performance because this material is  
4 to be frozen within the permafrost, and so we find  
5 that as unacceptable in addition to the SNP  
6 program.

7 There was also a request or a recommendation  
8 for a visual inspection of freeze back of the  
9 backfill in stopes and monitoring of seepage, if  
10 present, on a twice-per-year basis. Actually it  
11 was requested monthly in the INAC submission.  
12 We're suggesting that that is appropriate, but  
13 twice a year would be sufficient to determine  
14 whether there is a problem developing in these  
15 areas.

16 This material will be placed within the stopes,  
17 it will freeze, and the geochemical processes are  
18 slow to evolve, and so it will be pragmatic to go  
19 out and check that our predictions are there, are  
20 what is taking place, but we think that that -- if  
21 we do that on a twice-per-year basis, that will be  
22 adequate to demonstrate that we know what's taking  
23 place and then checked it and confirmed it.

24 And that the seepage be monitored for pH  
25 electrical conductivity, metals by ICP-MS,  
26 alkalinity, acidity, sulphate, total and WAD

1 cyanide, total ammonia, nitrate, and nitrite, and  
2 we can agree with those additions to the seepage  
3 program, just on a less frequent basis.

4 The submission from Indian and Northern Affairs  
5 also recommended that a humidity cell test be run  
6 on the cyanide leach residue, and that that test  
7 should continue throughout the active life of the  
8 mine or until the Water Board approves cessation of  
9 the test. We don't think that's necessary. We  
10 believe that that is not a -- should not be a  
11 requirement of the license.

12 I've already discussed the visual inspection,  
13 so I'll pass on that. This next one, cyanide  
14 destruction circuit monitoring, we've previously  
15 discussed this. It appears twice in the  
16 intervention, so I thought it clear in the  
17 appropriate phase, but I won't repeat it. We've  
18 already given you the logic behind that.

19 So I'll go on to Tail Lake monitoring. Indian  
20 and Northern have proposed or recommended that we  
21 do dissolved oxygen and redox monitoring in situ in  
22 Tail Lake. We agree that that should be done in  
23 Tail Lake. We can accept that, that that's going  
24 to provide some valued information, and we're  
25 recommending it should be done every two months at  
26 SNP point TL1. The change that you see, we

1 believe, is just an error in the INAC submission,  
2 that they intended to be Tail Lake.

3 The next two items, one deals with storm water  
4 discharge monitoring. The recommendation put  
5 forward by INAC was something we've already  
6 previously agreed to. Obviously that's a consensus  
7 there. The same with the discharge of where we're  
8 discharging onto the tundra, that they do daily,  
9 visual monitoring of the discharge points to make  
10 sure that erosion is not taking place, and that  
11 those points be armoured with rock to ensure that  
12 the surface isn't disturbed by the discharge. So  
13 those are previously agreed and are part of our  
14 monitoring plans.

15 The next two are similar. The Tail Lake  
16 shoreline erosion monitoring, this visual  
17 assessment of suspended sediment in the water was  
18 something we had previously come to agreement on  
19 and have incorporated that into our plan. The same  
20 with the shoreline erosion being included in the  
21 geotechnical inspection.

22 Under geotechnical monitoring, the monitoring  
23 of temperature and deformation measurements on the  
24 instrumentation installed in the north and south  
25 dams, as you've heard this morning from  
26 Mr. Rykaart, these were already part of our

1       proposal.

2       Under thermal monitoring, Indian and Northern  
3       Affairs proposed that we install some thermistors  
4       underground to monitor rock temperatures in the  
5       wall rock. We discussed this previously. It's  
6       just repeated in this section, and we agree that  
7       that is a pragmatic approach to make sure that  
8       we're seeing -- to make sure that the permafrost is  
9       staying within that rock. And the north and south  
10      dam seepage is something we've covered again; it  
11      just repeats itself in this section.

12      This next item deals with a condition that was  
13      recommended be put in the license in the case that  
14      we applied for the extension of the mine life  
15      beyond two years. It lists a series of things that  
16      we should be studying and monitoring and doing six  
17      months before we submit an application for any  
18      extension of the mine life. We feel that that  
19      really is irrelevant to this current license  
20      application and suggest that these are issues that  
21      really need to be addressed during the  
22      environmental assessment of any application for  
23      expansion. This information should be required as  
24      part of an EIS submitted under a NIRB review of  
25      such an application. We take note that these are  
26      critical pieces of information that would be needed

1 for the next phase, but we don't think they're  
2 appropriate for this water license.

3 I'm now going to leave the Indian and Northern  
4 Affairs submission and just have a couple of small  
5 items that are -- a short number of items that are  
6 contained within the intervention put in by the  
7 Kitikmeot Inuit Association.

8 The first item, the Kitikmeot Inuit Association  
9 in their submissions suggested that samples should  
10 be taken at more than one depth to ensure that  
11 results are not biased by stratification of the  
12 water column. We've previously discussed that  
13 under that INAC recommendation, that we feel that  
14 we are already, as part of our submission,  
15 measuring water quality at a series -- two points  
16 at the discharge point, and that's what's  
17 appropriate in the water license. We will be doing  
18 additional monitoring to ensure stratification  
19 outside of that, but we don't think that's  
20 appropriate at the monitoring point.

21 The second line item there is detailed monthly  
22 reporting during the first year of operation.  
23 Miramar believes that basically was a request for a  
24 stepped-up list of monthly monitoring during this  
25 first year of operation. We believe that this  
26 really is a duplication of effort. We understand

1 that the water license will contain an SNP program,  
2 that SNP program requires to submit a monthly  
3 monitoring report, and we believe that adding  
4 anything to that really becomes excessive, we're  
5 duplicating effort.

6 The Kitikmeot Inuit Association, in their  
7 submission, have also suggested that we do daily or  
8 twice daily measurements of water quality and flow  
9 during the freshet. Right now our proposed  
10 monitoring is monitoring every second day. This  
11 monitoring twice a day is quite a work load, quite  
12 a basis of a work load. The lake itself, because  
13 it's a lake, tends to attenuate out the  
14 concentrations. Things don't change quickly in a  
15 lake, and so we believe that this is really going  
16 beyond what is going to provide any  
17 environmental -- or additional environmental  
18 protection to monitor twice a day versus the  
19 proposed monitoring rate. The water flow will be  
20 monitored on a continuous basis, as you heard this  
21 morning.

22 The Kitikmeot Inuit Association in their  
23 submission has asked that Miramar provide proof of  
24 a laboratory accreditation prior to discharge of  
25 water from Tail Lake into Doris Creek. There is a  
26 certificate condition that requires that we seek

0111

1 accreditation of our onsite environmental  
2 laboratory, something we've agreed to.  
3       However, we believe it's important to point out  
4 that in accrediting a laboratory, it is not  
5 something you go and apply for, obtain, and then go  
6 and do it. When you accredit a lab, what you're  
7 doing is basically seeking feedback that your lab  
8 is running and receiving appropriate numbers for  
9 each parameter. So what you do is you sign up to  
10 be accredited, and then you send out samples that  
11 you measure in your lab to be measured in other  
12 labs, and you do comparisons to make sure that your  
13 lab is accurate. And after you do this over a  
14 period of years and you do the documentation, you  
15 can then receive the accreditation for your lab.  
16       So this is not something that can be done ahead  
17 of time. It actually has to be done by doing the  
18 actually running of the lab. And so while we're  
19 agreeing that we will seek accreditation and we'll  
20 go through the process, it's not something we can  
21 do prior to the start of operation. It has to be  
22 done during the operating part of the life of the  
23 mine.  
24       We will, despite doing that part, we will have  
25 QC measures in place, including using external labs  
26 to do checks and for verification of our results.

1 Our compliance monitoring is going to be done by an  
2 external lab so that the numbers that the Board are  
3 seeing are going to come from an accredited lab,  
4 and they'll be compared back to what our lab is  
5 saying. And there will also be independent  
6 sampling and verification by the regulatory  
7 agencies.

8 The next issue, moving on from the KIA to  
9 Environment Canada, Environment Canada suggest in  
10 their intervention that targets below the CCME  
11 guidelines should be applied in this water license.  
12 We disagree with that statement or disagree with  
13 that recommendation. Miramar is proposing to  
14 comply with the CCME guidelines for protection of  
15 aquatic life.

16 And this next bullet is actually a quote right  
17 from the guidelines. I'll read it: (As Read)

18 Canadian water quality guidelines are meant  
19 to protect all forms of aquatic life and  
20 all aspects of the aquatic life cycles,  
21 including the most sensitive life stage of  
22 the most sensitive species over the long  
23 term.

24 Those come right from the environmental guidelines,  
25 so environmental quality guidelines. So we believe  
26 that these guidelines are already protective of the



1 environment, that there's no need to go beyond  
2 them; this is how they were set. And so we're  
3 being asked again to set the goal post beyond  
4 what's necessary.

5 Also we point out that Miramar is not aware of  
6 any other water license that's been issued that has  
7 receiving water quality limits set at or below the  
8 CCME guidelines, so we're already proposing  
9 something that's a step forward.

10 Environment Canada suggested that for  
11 parameters which do not have CCME guidelines, such  
12 as chloride and total dissolved solids, that the  
13 targets within the water license should be set to  
14 maintain ambient conditions within two standard  
15 deviations from the current baseline values. We  
16 disagree with this. We believe that this is  
17 overregulatory, and it doesn't add protection.

18 The reason there are no guidelines for those  
19 two parameters in the CCME criteria is because  
20 those parameters are acknowledged to be not  
21 critical parameters of concern, and it only is by  
22 having excessive values of those that any  
23 environmental harm would occur. So that's  
24 acknowledged right in the CCME guidelines. So we  
25 believe that this too is trying to move the goal  
26 post beyond a reasonable spot.

1           And that ends my presentation, Mr. Chairman.

2           Thank you very much for this opportunity.

3           THE CHAIR:                   Thank you.

4           MR. TILLEMAN:               Thank you, Mr. Chairman.

5           It's Bill Tillemann.

6           And by way of keeping track of this and making  
7           sure all of the parties have this, we should  
8           propose that these be marked, and so we can mark  
9           the next one, which would be Exhibit Number 4 as  
10          the supplemental information responding to concerns  
11          of parties in electronic version, and then number 5  
12          is coming, which would be the hard copy, correct?

13          MR. CONNELL:               Correct.

14          MR. TILLEMAN:               So, Mr. Chairman, we  
15          propose number 4 be the electronic version and  
16          number 5 be the hard copy version, and then they'd  
17          be marked accordingly.

18          Now, I would think the parties would want the  
19          hard copy as soon as possible so they could match  
20          up what was said and square up their response or  
21          clarify where they're going, so if the Staff can be  
22          any help to get the hard copies, if we could do  
23          that quickly for the benefit of the audience, and  
24          that's it for me, sir.

25                 EXHIBIT NO. 4:

26                 ELECTRONIC COPY OF MHLB'S SUPPLEMENTAL

1 INFORMATION IN RESPONSE TO INTERVENER  
2 SUBMISSIONS.  
3 EXHIBIT NO. 5:  
4 HARD COPY OF MHL'S SUPPLEMENTAL  
5 INFORMATION IN RESPONSE TO INTERVENER  
6 SUBMISSIONS.

7 THE CHAIR: I think we can keep  
8 moving on. Agenda items: Questioning of the  
9 Applicant by parties respecting the Applicant's  
10 presentation.

11 MR. CLARK: My name is Geoff Clark,  
12 with the Kitikmeot Inuit Association.

13 We have a couple questions. The first  
14 question, I'd like to introduce John Donihee on  
15 behalf of KIA.

16 MR. DONIHEE: John Donihee for KIA,  
17 Mr. Chairman.

18 The material that was just presented, certainly  
19 fair enough for Miramar to respond to the  
20 recommendations made by the parties in their  
21 interventions, I'd simply like to point out that  
22 we'd like to wait and we need to get a hard copy of  
23 it and have a look at it before we're in a position  
24 to decide whether we need to respond.

25 We do have a few other questions I think that  
26 Mr. Clark will present to the Board. I'm not sure

1 procedurally how to handle it, except to say that  
2 once we've reviewed it, perhaps I'll speak with the  
3 Board counsel, and if there is a need for us to ask  
4 any questions about these new tables that have just  
5 been provided, I can work it out with your -- with  
6 Board counsel at that point, if that's acceptable.

7 MR. TILLEMAN: Thank you, Mr. Chair.

8 I think that is acceptable. And as he was  
9 talking, what seems the next step in this would  
10 actually be to take their chart that they presented  
11 and is marked now as 4 and 5 and actually add one  
12 more column, right? I mean, it would seem to be  
13 fair to me, Mr. Chair, that everyone has a chance  
14 to look at that and then respond. They may simply  
15 say if it was modified, we would agree, or they may  
16 say, We disagree. But I think the parties need a  
17 chance to look at the table, think about it, and  
18 then if we could -- if they agree to add one more  
19 column, and then the Board will know exactly what  
20 people think about those 15 or 20 slides.

21 So thinking it through, I think Mr. Donihee  
22 raises a reasonable request, and that is if you can  
23 give us a minute at a break, I can discuss with  
24 counsel and parties and the Proponent how best to  
25 help the Board understand what was just presented  
26 and to be fair to those parties that have to reply.

1           So in summary, I'm recommending to you that you  
2   let the parties wrap their mind around  
3   Mr. Donihee's request, but I'm satisfied we can  
4   come up with something that would benefit everybody  
5   and, at the same time, allow the questioning to  
6   carry on with the major presentation, which was  
7   proposed by Mr. Donihee.  
8   THE CHAIR:                   We will recess for 15  
9   minutes.  
10   MR. TILLEMAN:               It's Bill Tilleman,  
11   Mr. Chairman. You're the boss. I don't need that  
12   long, but if you do, then you're the boss, and we  
13   will do whatever you say.  
14   THE CHAIR:                   10.  
15   MR. TILLEMAN:               10 it is, sir.  
16   THE CHAIR:                   Thank you.  
17   (BRIEF ADJOURNMENT)  
18   THE CHAIR:                   Thank you all for coming  
19   back. Bill, were you able to come to a resolution  
20   on this?  
21   MR. TILLEMAN:               Yes, Mr. Chairman. It's  
22   Bill Tilleman, and thank you very much. I did have  
23   a chance to speak to the parties or some of them  
24   and their counsel, and I'm speaking closer to the  
25   mike because I know that it's hard to hear in this  
26   room, and so actually I'm doing this on purpose so

1 everyone, including me, will try to be better  
2 heard.

3 And so the resolution which I suggest,  
4 Mr. Chair, is that the parties do  
5 cross-examinations as they were prepared to do  
6 before this latest presentation by the proponent.  
7 So we go through all the cross-exams as normal, and  
8 then before the close of the evidence, likely  
9 tomorrow afternoon or whenever we reach that point,  
10 we will put back up a slide like the one that they  
11 put up, only we will have one more column, and that  
12 last column will simply be the final version of  
13 this slide from all parties. That is to say we  
14 may, by tomorrow night, have disagreement on some  
15 points, we may likely still not be in agreement on  
16 some points, there may be modifications. And once  
17 that slide goes up, Mr. Chair, then I recommend and  
18 we've agreed that all the parties will have an  
19 opportunity to ask questions on it, and then that  
20 will end the matter.

21 So, Mr. Chair, that is the agreed-upon  
22 resolution. If I've overstated that or if anyone  
23 disagrees, then I would ask them to come up and  
24 correct me. Failing that, I would just simply  
25 suggest we go to KIA's cross-examination as they  
26 planned it, thank you.

1 THE CHAIR: Thank you. Anybody else?  
2 Okay, if there isn't anyone else, shall we move on  
3 to the agenda item? Questioning by the --  
4 questioning of the Applicant by parties KIA/NTI.

5 KIA QUESTIONS MHL:

6 MR. CLARK: This is Geoff Clark.  
7 Thank you, Mr. Chairman.

8 KIA has one question, and it regards the water  
9 control strategy and the water management strategy,  
10 and in the presentation, information is presented  
11 showing how water management discharged from Tail  
12 Lake can be managed in the case of low  
13 precipitation years, and we're aware in the  
14 submission that there's also been modelling done in  
15 the case of high precipitation years which, in  
16 terms of diluting copper, should not be a problem  
17 because there will be more water in Tail Lake and  
18 more water in the Doris outflow.

19 But recently in Kugluktuk, I believe it was two  
20 or three weeks ago, we got 6 inches of rain in a  
21 24-hour period, and the previous recorded record to  
22 that point in time was about 1-and-a-half inches in  
23 a 24-hour period, and we wanted to ask Miramar how  
24 such an event, if this occurred over the  
25 eight-year -- you know, one time in an eight-year  
26 period of operating the Tail Lake facility, how it

1 would affect the Tail Lake and, I guess, not as  
2 much the water management plan but the ability to  
3 hold water within Tail Lake.

4 MR. CONNELL: Thank you, Mr. Chairman.  
5 I'm going to ask Mr. Chapman to respond to that.

6 MR. CHAPMAN: Mr. Chairman, John  
7 Chapman.

8 The -- if I can just paraphrase the question.  
9 The question is that you want to understand how the  
10 inflow from a 6-inch storm would affect the  
11 water-holding capacity of the dam?

12 MR. CLARK: Mm-hmm.

13 MR. CHAPMAN: Okay, what will happen is  
14 that if you have a stormy event like that, the flow  
15 in Doris Creek will increase as a result. Because  
16 the system is a totally dynamic system, the flow in  
17 Doris Creek is monitored continuously, and the  
18 discharge rate is adjusted according to the flow  
19 rate that occurs in Doris Creek.

20 So when the Doris Creek flow increases, the  
21 discharge rate from Tail Lake will also increase  
22 correspondingly based on the pumping system, and so  
23 that you will draw down the water in a rate  
24 proportional to the effect of the storm.

25 So what will happen is that at the end of the  
26 storm, you will have some accumulation of water in



1 Tail Lake, but most of it will have been taken up  
2 by the increased discharge that will occur  
3 automatically. So there may be some short-term  
4 increases in the Tail Lake water level, but it will  
5 be taken care of by the increased discharge rate.  
6 That's the first point I would like to make.

7 The second point is that because you have a net  
8 increase in the water quality for that short  
9 duration, it will effect a dilution of copper in  
10 Tail Lake. That means the copper concentration  
11 will be less, and that, in time, means you will be  
12 able to discharge more rapidly in the subsequent  
13 period. So ultimately, it will catch up with  
14 itself, and you would end up on the same basic  
15 discharge schedule. So the bottom line is that it  
16 will not affect the holding capacity of Tail Lake  
17 in any way whatsoever.

18 Thank you, Mr. Chairman.

19 MR. CLARK: This is Geoff Clark.

20 Thank you, Mr. Chapman, for your answer to  
21 that. That clarifies the discharge strategy and  
22 how it would affect copper in the water.

23 And how would the infrastructure be affected?  
24 Would the actual dam itself -- would there be  
25 enough -- forgive me, I'm not an engineer, so I'm  
26 using terms that might not be appropriate, but is

1       there enough free-board in the Tail Lake dam to be  
2       able to manage such a rainfall event if it were to  
3       happen or to handle a rainfall event if it were to  
4       happen?

5       MR. CHAPMAN:                       John Chapman,  
6       Mr. Chairman.

7       I will defer that question to Maritz Rykaart,  
8       who is the design engineer.

9       MR. RYKAART:                       Maritz Rykaart.

10      The dam has been designed with a very large  
11      design capacity. We can handle zero release from  
12      this facility under normal conditions for a period  
13      of five years or more. A rainfall event, by  
14      example, the magnitude that you just mentioned for  
15      Kugluktuk, that would, in effect, if you did  
16      nothing else, if you retained all the water, that  
17      would be less than one year of additional rainfall  
18      that's been retained. So this five years will  
19      reduce to four years and a bit. The bottom line is  
20      it would not affect the capacity and not change the  
21      risk factor of the dam in any way whatsoever.

22      MR. CLARK:                       This is Geoff Clark.

23      Thanks a lot for your answer. We have one more  
24      question, Mr. Chairman.

25      MR. DONIHEE:                       John Donihee for KIA. I  
26      would like to ask one question in relation to the

1 double-bonding issue that you raised. It seems to  
2 me that what's different about the Doris Project is  
3 that it's on IOL, and that as a result of that,  
4 there's a suggestion that water -- only  
5 water-related security can be held by INAC under  
6 the water license.

7 And I'm just wondering in Miramar's experience,  
8 I mean as I look at the table up there, there's a  
9 lot of years of involvement with mining in Canada,  
10 and so I'm wondering if you have any information or  
11 any knowledge of the situations from other  
12 jurisdictions where mines are actually developed on  
13 private lands, and whether you could help us in any  
14 way by explaining how the issue of landowner's  
15 liability might be dealt with in those other  
16 jurisdictions so that we could give that some  
17 thought here in Nunavut.

18 MR. CONNELL: Thank you, Mr. Chair.

19 The one case, of course, that we all know about  
20 that we talked about earlier where we do have  
21 precedent for this is Boston, where there is a  
22 joint agreement, where the security is held jointly  
23 for the land and the water.

24 I don't have any experience base on mining both  
25 here in Canada or the U.S., where it's strictly  
26 private land. In Montana, I know of one situation,

1 very small case, but it was a very small incident  
2 where it was a private landowner on a small barite  
3 deposit. The State did hold the bond for that  
4 deposit, and basically the landowner just absented  
5 the situation in the State. We dealt with the  
6 State on the reclamation. So it's not a good  
7 case-in-point for comparison here.  
8 I'm sorry, I can't really shed any analogies to  
9 you from elsewhere.  
10 MR. DONIHEE: Thank you, Mr. Chairman.  
11 That's the only question that I had, and I believe  
12 that's all our questions.  
13 THE CHAIR: Thank you. NTI?  
14 MR. DONIHEE: Mr. Chairman, NTI has no  
15 questions.  
16 THE CHAIR: Thank you. INAC?  
17 INAC QUESTIONS MHLB:  
18 MR. McLEAN: Thank you, Mr. Chair.  
19 It's Carl McLean with Indian and Northern Affairs  
20 Canada.  
21 We have several questions, and I'm going to  
22 defer them to our experts to ask those questions.  
23 First, we'll ask Lisa from MESH Environmental,  
24 she has a couple questions for Miramar.  
25 MS. BARAZZUOL: Lisa Barazzuol.  
26 In Miramar's presentation on Slide 21, there is

1 a flow sheet of the mill process and then  
2 subsequent slides that describe the different parts  
3 of the mill process. And on Slide 27, there's a  
4 description of the mill flotation, and then after  
5 the mill flotation, there's a cyanide leach residue  
6 process and also the cyanide destruction process.  
7 I'd like to ask Miramar to also present and  
8 describe those processes.

9 MR. CONNELL: Larry Connell.

10 Just to paraphrase the question, what's being  
11 asked is just to provide a little more  
12 understanding of the cyanide leach process and the  
13 cyanide detoxification process?

14 MS. BARAZZUOL: That's correct, so we  
15 have a full picture of the ore processing cycle.

16 Lisa Barazzuol.

17 MR. CONNELL: Thank you. Larry  
18 Connell. Thank you.

19 In cyanide leaching, the concentrate --

20 MR. HANSON: Excuse me, just for a  
21 second. Recognize your Chair before you speak. We  
22 want to know who you are. Say your name. Do not  
23 get in a conversation back and forth. That's why  
24 we have a Chair up here. Thank you.

25 MS. BARAZZUOL: Lisa Barazzuol. I  
26 apologize.

1 MR. CONNELL: Mr. Chairman, may I  
2 respond to that one?

3 THE CHAIR: Go ahead.

4 MR. CONNELL: The cyanide leach circuit  
5 basically consists of a -- where we take the  
6 flotation concentrate, we mix it with a solution of  
7 sodium cyanide, and the gold is leached from the  
8 solids into the solution. So we're moving the gold  
9 from the solid phase into the solution phase by  
10 extracting it from the solids.

11 The gold is then absorbed onto activated  
12 carbon. It's like a charcoal that's in an aquarium  
13 filter, and the gold is absorbed onto that surface,  
14 and then the carbon is removed using a screen. We  
15 remove the carbon that way. The carbon is then  
16 extracted. The carbon is then again leached in hot  
17 water or a solution of cyanide to extract the gold  
18 back out, and then it's actually plated onto wire  
19 wool using electrorimming cells. Like plating of a  
20 car bumper except we're doing it onto wire wool  
21 where we're using electrical energy to actually  
22 plate the gold from solution onto this wire wool  
23 from -- we strip back off the carbon. The carbon  
24 is then re-activated by a thermal process; it's  
25 heated back up, and it's recycled back into the  
26 process.

1       The slurry from that process, once it's been  
2 leached, then passes on to the cyanide destruct  
3 circuit. In the cyanide destruct circuit, we  
4 basically have a large agitator with a large input  
5 of compressed air, and we add a chemical called  
6 sodium metabisulphate. This sodium metabisulphate  
7 oxidizes the remaining cyanide. It actually  
8 converts it into a cyanate, so it destroys the  
9 cyanide, takes away its toxicity effects. And at  
10 the same time, it breaks down the weakly bound  
11 complexes of metals in cyanide so that those metals  
12 can be precipitated and removed from solution. The  
13 objective is to make sure that that stream is not  
14 leaving the plant in a highly toxic form; it's to  
15 destroy that residual cyanide that's left.

16       We then take that slurry after we've detoxified  
17 it or destroyed the cyanide, filter it. We'll  
18 thicken it first and then filter it, and the  
19 solutions from those will be recycled back to the  
20 front end of the leach circuit with a small bleed  
21 solution coming off of that, so that we release  
22 these metals that will build up, and that's  
23 combined with the float tails that go out to the  
24 tailings impoundment.

25       The solids that have come from the filter will  
26 be something in the order of 10 percent, so there's

1 no free water on them. There's no water that's --  
2 it's essentially a dry cakey product. That is then  
3 trucked back into the underground mine and used to  
4 backfill the stopes. That's placed into backfill  
5 stopes where it will become frozen, so it's  
6 isolated from the environment at closure.

7 Thank you, Mr. Chairman. I think that answers  
8 the question that I was asked.

9 THE CHAIR: INAC?

10 MS. BARAZZUOL: Mr. Chair, Lisa

11 Barazzuol. I have one more question.

12 Miramar has presented the monitoring plans that  
13 they had, including the waste rock -- sorry,  
14 management plan, including the waste rock  
15 management plan, and in Slide 47, they present the  
16 types of waste to be managed, and I would like to  
17 ask Miramar for clarification why the waste rock  
18 was omitted from this slide as a type of waste to  
19 be managed.

20 MR. CONNELL: Mr. Chairman, it's Larry  
21 Connell. Can I answer that question?

22 The types of -- I discussed waste rock, and it  
23 was an oversight on our part. I did discuss waste  
24 rock, and it should have got incorporated there as  
25 well, so I apologize for that. It should have been  
26 incorporated.



1 THE CHAIR: INAC?  
2 MS. GOMM: Thank you, Mr. Chair.  
3 Leslie Gomm.  
4 I have four questions for Miramar. The first  
5 one relates to site water management and management  
6 of storm water.  
7 In Miramar's presentation, they highlight that  
8 water from the sediment control pond and the  
9 landfarm will be transferred to Tail Lake if it  
10 does not meet the discharge standards. Can Miramar  
11 clarify the intentions of the water from landfarm  
12 and fuel storage and handling areas should that  
13 water not meet the discharge standards?  
14 THE CHAIR: Miramar?  
15 MR. CONNELL: Mr. Chairman, I'll  
16 respond to that.  
17 In the fuel containment facilities and the  
18 landfarm, we anticipate that that water, because  
19 it's in contact with the potential of oil, will  
20 have -- potentially have oil within it. So what  
21 we're using there is an oil/water separator unit.  
22 It's a packaged unit, purchased unit, that  
23 separates oil away from the water before  
24 discharging it. So we're not monitoring ahead of  
25 time there to determine whether it's contaminated,  
26 we're processing it through the oil/water separator

1 before it gets released. So our intent is that all  
2 the water that collects in the sumps within those  
3 facilities will be pumped through this oil/water  
4 separator unit before it's released.  
5 THE CHAIR: INAC?  
6 MS. GOMM: Mr. Chair, thank you.  
7 Leslie Gomm.  
8 I'm just wondering if Miramar could clarify  
9 once that water has gone through that treatment  
10 system that -- and it is sampled, if it meets  
11 discharge standards, it will be applied to the  
12 tundra. If it does not, what will happen with that  
13 water?  
14 THE CHAIR: Miramar?  
15 MR. CONNELL: Mr. Chairman.  
16 If -- that's correct, if the water meets the  
17 standard we will be monitoring, it will be  
18 discharged onto the tundra. If it doesn't meet the  
19 standard, it will either be recycled back into it  
20 because there's something wrong with the oil/water  
21 separator.  
22 Generally these things have a filter system in  
23 them, and that filter will bind, and if we're  
24 not -- that will have to then -- we'll recycle the  
25 water until we replace the filter. And that's the  
26 situation in case of those fuel facilities. So if

0131

1 we're not getting good performance out of our  
2 monitoring system for those -- for that oil/water  
3 separator, the water will get put back in the  
4 system. The system gets shut down until we can  
5 make the separator back into its functioning  
6 purpose -- into its -- into how it's supposed to  
7 function, its functioning purpose.

8 THE CHAIR: INAC?

9 MS. GOMM: Okay, Mr. Chair, now on  
10 to my second question.

11 This deals with the operational use of the  
12 model and specifically Slide 79 of Miramar's  
13 presentation. In that slide, they basically  
14 present a decision tree of when the model will be  
15 recalibrated both with respect to water quantity or  
16 water level and water quality. Can Miramar provide  
17 more information on how they will determine if the  
18 comparison of calculated water quality with Tail  
19 Lake water quality is acceptable?

20 THE CHAIR: Miramar?

21 MR. CHAPMAN: Mr. Chairman, John  
22 Chapman.

23 Can I ask that the question be restated,  
24 please?

25 MS. GOMM: Can Miramar provide more  
26 details on how it will be determined if the

1 comparison of calculated water quality in Tail Lake  
2 with actual water quality is deemed acceptable or  
3 not as shown in that flow chart?

4 THE CHAIR: Miramar?

5 MR. CHAPMAN: Mr. Chairman, John  
6 Chapman.

7 In Slide 80, we present criteria that would be  
8 used to judge whether or not it is acceptable. The  
9 judgment, as shown in that slide, there are  
10 different criteria that would apply for different  
11 climatic conditions. If it's a very wet year, for  
12 example, then the difference can be significantly  
13 higher than if it's a dry year.

14 What we will do is we will judge, based on the  
15 climatic conditions, whether or not -- which  
16 category should be applied, and that would be the  
17 process. Ultimately, it would be what the impact  
18 is on the discharge schedule, whether or not it's  
19 significant, but that is the process that would be  
20 used.

21 MS. GOMM: Mr. Chair, Leslie Gomm.

22 So to clarify, the decision will really be  
23 based on flow conditions if it's an average year,  
24 dry year, wet year, and what the implications on  
25 those changes in water quality are on the timing of  
26 discharge, and specifically, I guess, is it deemed

1 critical if it's going to push the discharge period  
2 for one year longer? Is that kind of the criteria?  
3 So you basically are -- you're going to go  
4 through your process, you're going to compare, and  
5 then you're going to see what that resulting  
6 concentration does to your timing of discharge, and  
7 if that timing of discharge results in an  
8 additional year, that will be deemed critical, and  
9 then you'll go back?

10 THE CHAIR: Miramar?  
11 MR. CHAPMAN: Mr. Chairman, John  
12 Chapman.  
13 That is correct.

14 THE CHAIR: INAC?  
15 MS. GOMM: Mr. Chair, Leslie Gomm  
16 again.  
17 Again, referring to that same slide, Slide 79,  
18 you talk about if we -- it is deemed unacceptable,  
19 you're going to identify the causes and revise  
20 source terms and recalibrate the model. Can you  
21 give us a little bit more detail about what source  
22 terms you're referring to in the revision there?

23 THE CHAIR: Miramar?  
24 MR. CHAPMAN: Mr. Chairman, John  
25 Chapman.  
26 If I can refer you to Slide Number 62, that

1 shows the source terms that are being considered in  
2 the water and load balance, and what we would do is  
3 we would go back to the monitoring data for each of  
4 those source terms and see which ones are causing  
5 the upset condition, and that is basically what  
6 would be considered when we look at the  
7 recalibration.

8 THE CHAIR: INAC?

9 MS. GOMM: Mr. Chair, Leslie Gomm.  
10 Just to clarify, would some of those source  
11 terms also include re-evaluation of nutrient  
12 degradation rates based on actual site conditions?

13 THE CHAIR: Miramar?

14 MR. CHAPMAN: Mr. Chairman, John  
15 Chapman.

16 If nutrients are shown to be a potential  
17 concern, and it cannot be tracked down to the  
18 source term, yes, then we would be looking at  
19 degradation rates and see how it affects. But I  
20 might add that in none of the modelling cases was  
21 the nutrient degradation shown as a problem.

22 THE CHAIR: INAC?

23 MS. GOMM: Thank you, Mr. Chair.  
24 Leslie Gomm.

25 Last question, again pertaining to the  
26 discharge operational use of the model, is it the

1 intention to do these monthly updates of the model  
2 or a recalibration throughout the year or only  
3 during the open-water season?

4 THE CHAIR: Miramar?

5 MR. CHAPMAN: Mr. Chairman, John  
6 Chapman.

7 The intent is to do it through the year, but we  
8 have to recognize that in certain months when it's  
9 frozen, obviously there's no discharge occurring,  
10 so there would be limited implications with respect  
11 to looking at source terms, for example.

12 The other constraint obviously is that if you  
13 have ice conditions on Tail Lake that it will have,  
14 in part, certain changes in concentration beneath  
15 the ice that may not be of any significance until  
16 the ice melt occurs. So it has to be recognized  
17 that there are constraints certain times of the  
18 year, and that during those periods, it would not  
19 be necessarily required to recalibrate the model.  
20 It's only during the open-water period that we  
21 would actually consider recalibrating the model.

22 Thank you, Mr. Chairman.

23 THE CHAIR: INAC?

24 MR. ROGERS: Mr. Chair, Jim Rogers,  
25 Manager of Water Resources for INAC.

26 My question for the Proponents relate to Slides

1 55 to 57 on storm water management. I would also  
2 like to refer to the Kugluktuk storm. Will Miramar  
3 be considering this storm in future analysis of  
4 storm management and runoff off the mine site and  
5 do risk assessments? And if changes are required  
6 in the design for the future, will Miramar provide  
7 those changes to the Water Board? Thank you.

8 THE CHAIR: Miramar?

9 MR. CONNELL: Mr. Chair, it's going to  
10 take me just a moment to do some consultation with  
11 my colleagues.

12 MR. RYKAART: Mr. Chairman, Maritz  
13 Rykaart.

14 Mr. Chairman, under normal mine management  
15 procedures, you would design your storm water  
16 management systems on your mine site for a  
17 particular design event selected by the mining  
18 company.

19 A typical design event is obviously based on  
20 risk, but a fairly common design event would be a  
21 100-year, 24-hour storm event. This is the design  
22 criteria that MHL has selected for their storm  
23 water systems. This design event is obviously  
24 significantly smaller than the Kugluktuk event that  
25 has been mentioned by Mr. Rogers in his question.

26 However, it should be noted that storm events



1 bigger than the particular operational design  
2 intent selected by the mining company can occur,  
3 but it is not normal practice for a company to  
4 design their operational systems for those events.

5 I do not know where the Kugluktuk storm event  
6 fits into the hydrology structure. I do not know  
7 if it's a 1-in-500-year event or if it's perhaps a  
8 PNF, but you wouldn't design your operational  
9 systems like that.

10 It is a risk-based system, and Miramar believes  
11 that their current system of the 100-year, 24-hour  
12 storm event, which is equivalent to 65 millimetres  
13 of rain over 24 hours is adequate, and therefore,  
14 do not intend to change that design criteria.

15 THE CHAIR: INAC?

16 MR. BRODIE: Mr. Chairman, my name is  
17 John Brodie.

18 I have one question for Miramar concerning the  
19 reclamation security matters. On their Slide  
20 Number 106, they present a division of land- and  
21 water-related security. In their estimate, they  
22 include a line item called "Post-closure Site  
23 Maintenance". Insofar as the majority of the  
24 post-closure work is directed at water management  
25 activities, it would be of interest to us if  
26 Miramar could explain why they have assigned all of

1 the liability in this category to land-related  
2 liability and none to water-related liability.

3 THE CHAIR: Miramar?

4 MR. CONNELL: Thank you, Mr. Chairman.

5 This is Larry Connell.

6 In our estimate, when we got to post-closure  
7 site maintenance, the actual post-closure water  
8 management strategy for Tail Lake is covered under  
9 tailings, and so it doesn't appear under  
10 post-closure site maintenance in our estimate.

11 This post-closure site maintenance was more  
12 directed at erosion protection and changes on the  
13 site in an annual basis moving forward, and so  
14 these were perceived by us to be more land-related  
15 than they were water-related. Our water component,  
16 as you're expecting on long-term water management,  
17 in a post-closure period is actually under the  
18 tailings area.

19 Yes, this is -- this just reiterates the fact  
20 that any two or four or five engineers who are  
21 doing this are going to come up with different  
22 answers, because subjectively we look at each  
23 component, we consider it differently, we make our  
24 best judgment, but we're going to get different  
25 answers with different people because it is  
26 subjective; we're surmising where we believe those

1 things are going to move in different ways.  
2 Thank you, Mr. Chair.  
3 THE CHAIR: INAC?  
4 MR. BRODIE: John Brodie,  
5 Mr. Chairman.  
6 That answer is satisfactory. Thank you.  
7 THE CHAIR: Thank you. Go ahead.  
8 MR. McLEAN: It's Carl McLean, INAC.  
9 I just have one more question.  
10 It's a question on one of the pictures that  
11 Miramar is showing on Slide Number 30, and it's a  
12 picture of the jetty with the silt curtain around  
13 it, and I'm a curious guy, so I believe I know what  
14 that black shady area outside of the actual rock  
15 jetty is. Is that the geotextile liner that's  
16 floating to the surface?  
17 THE CHAIR: Miramar?  
18 MR. RYKAART: Mr. Chairman, Maritz  
19 Rykaart.  
20 Mr. McLean, that is correct. That is the  
21 geogrid that forms the foundation. The geogrid  
22 floats on the water, so what you see there is the  
23 outer edge of the geogrid that is actually still  
24 floating. Because of the way it had to be placed,  
25 the low visibility in the water, the outer  
26 perimeter was much wider than needed, and that edge

1 that you around the jetty is the floating leading  
2 edge of the jetty.  
3 THE CHAIR: INAC?  
4 MR. McLEAN: It's Carl McLean, INAC,  
5 Mr. Chair.  
6 Just to follow up then, so in order to complete  
7 the construction, what happens to that floating  
8 geotextile grid?  
9 THE CHAIR: Miramar?  
10 MR. RYKAART: Mr. Chairman, Maritz  
11 Rykaart.  
12 What happens is the limit of the geogrid beyond  
13 the toe of the jetty is measured, and an anchor  
14 system is tied to this portion. The rest of the  
15 excess material is cut off and removed, and the  
16 remainder that needs to be in place is permanently  
17 sunk to the bottom so that you see nothing at the  
18 surface; it all lies on the sediment, as it is  
19 supposed to.  
20 THE CHAIR: INAC?  
21 MR. McLEAN: Thank you, Mr. Chair.  
22 That's all our questions.  
23 THE CHAIR: Thank you. Next, we have  
24 Environment Canada.  
25 EC QUESTIONS MHL:  
26 MS. WILSON: Thank you, Mr. Chairman.

1 Anne Wilson speaking from Environment Canada. I  
2 just have a few questions for the Proponent.  
3 Just to clarify my understanding of the water  
4 management strategy, I'd just like to confirm  
5 Miramar's proposal here. Are you proposing two  
6 sets of discharge criteria or one discharge  
7 criteria and one set of management objectives?  
8 THE CHAIR: Miramar?  
9 MR. CHAPMAN: Mr. Chairman, John  
10 Chapman.  
11 We're proposing one set of discharge criteria,  
12 which is the MMER criteria that would dictate  
13 whether or not we can release water, and then we  
14 propose a second set of criteria, which are the  
15 CCME guidelines, and that would be in the receiving  
16 water downstream of the waterfall.  
17 THE CHAIR: Environment Canada?  
18 MS. WILSON: Thank you, Anne Wilson.  
19 So you would effectively be regulated on two  
20 sets of criteria, correct?  
21 MR. CHAPMAN: John Chapman,  
22 Mr. Chairman.  
23 Yes, that is correct.  
24 MS. WILSON: Thank you. I would just  
25 like to add -- Mr. Chairman, Anne Wilson --  
26 THE CHAIR: May I remind you to move

1 your microphone closer to you. There's lots of  
2 echo in this building and that background noise  
3 here, the translation equipment. Can you speak  
4 closer to the microphone, please? Thank you.

5 MS. WILSON: Anne Wilson, sorry about  
6 that. It sounds really loud from here.

7 I'm just going to mention that it was very  
8 helpful to have the table from Miramar earlier with  
9 some comments on our intervention aspects, and  
10 thinking about the idea of criteria versus  
11 management targets in Doris Creek, we do have  
12 several other licenses which utilize the CCME  
13 guidelines as either hard limits or environmental  
14 targets. The ones that might apply as precedents  
15 here would be Colomac mine has to meet CCME  
16 guidelines in the receiving environment, similar to  
17 this instance.

18 Some of the diamond mines in the NWT have  
19 license limits at end of pipe, which are at or  
20 lower than CCME. That would include Diavik, Snap  
21 Lake, and some of the Ekati. It's mostly zinc and  
22 arsenic and a couple of others, which I could look  
23 up if needed. So that was where I wanted to  
24 confirm my understanding was correct, that we would  
25 indeed be regulating in two points not just on the  
26 one with management targets for the other.

1 THE CHAIR: Miramar?  
2 MR. CHAPMAN: Mr. Chairman, John  
3 Chapman.  
4 I would like to just ask the question of the  
5 intervener, with the Colomac project, the license  
6 limit is actually set for discharge water quality  
7 from the specific tailings lake, and it does not  
8 specify in the water license that water quality  
9 objectives are -- CCME water quality objectives are  
10 not specified in the license. That is my  
11 understanding of their license. Can she please  
12 elaborate on that?  
13 THE CHAIR: Environment Canada?  
14 MS. WILSON: Thank you, Anne Wilson.  
15 The outflow of one lake downstream from the  
16 tailings impoundment area there has limits on it  
17 that while they may not say meets CCME, the numbers  
18 match the CCME or ambient conditions on that, and I  
19 can look up that license afterwards and just note  
20 which is which, if you like.  
21 THE CHAIR: Miramar?  
22 MR. CHAPMAN: Mr. Chairman, that would  
23 be helpful. Thank you very much. This is John  
24 Chapman.  
25 THE CHAIR: Environment Canada?  
26 MS. WILSON: Anne Wilson.

1 I will undertake to do that and provide it to  
2 the Board and to the Proponent by tomorrow morning,  
3 if that's acceptable.

4 THE CHAIR: Miramar?

5 MR. CONNELL: Mr. Chairman, can we ask  
6 Anne to repeat that question, please?

7 MS. WILSON: Mr. Chairman, it's Anne  
8 Wilson.

9 I can provide John with the specific parameters  
10 for the Colomac license, which are relevant here as  
11 being either ambient or CCME. I do have that  
12 information with me, just not in hand, but I can do  
13 that by tomorrow morning, if that's acceptable.

14 THE CHAIR: Miramar?

15 MR. CONNELL: Thank you, Mr. Chairman.

16 Yeah, that would be very helpful. Thank you  
17 very much.

18 THE CHAIR: Environment Canada?

19 MS. WILSON: My next few questions  
20 deal with the monitoring -- oh, sorry, Anne Wilson  
21 again -- in the aquatic environment, and I'm  
22 thinking about the time lines here. More will be  
23 said about this in our intervention, but in brief,  
24 if it turns out that the mine construction proceeds  
25 as planned, discharge occurs in Year 1, which is  
26 June or July of 2009. Under the National



1 Environmental Effects Monitoring Program, there are  
2 very generous time lines for Proponents to submit  
3 first site characterization and study design,  
4 then -- and that would be within 12 months after  
5 the first tap is turned on, discharging effluent.  
6 Then the monitoring starts six months after that  
7 study design is put in, and we would not see an  
8 interpretive report until 30 months after the tap  
9 is turned on. So conceivably that could be as late  
10 as early in 2012.

11 I'm just wanting to ask Miramar if they will  
12 undertake to submit the study design and proceed as  
13 quickly as possible and in the process, as we've  
14 expressed concerns that the short mine life will  
15 mean we don't have information in hand in time to  
16 do anything with it.

17 THE CHAIR: Miramar?

18 MR. CONNELL: Thank you, Mr. Chairman.  
19 I'm going to ask Gary Ash from Golder to respond to  
20 that for us, please.

21 THE CHAIR: I believe we had a  
22 question from over here?

23 MR. TILLEMAN: Thank you, Mr. Chair. I  
24 guess it was just following up on what Environment  
25 Canada had offered, which was to provide examples  
26 of other water licenses that had used CCME criteria

1 in certain circumstances. That would be helpful to  
2 have hard copies, not only for the Proponent but  
3 also for the audience and for the Board. And that  
4 was the question -- or, sorry, that was my request,  
5 sir, from the Staff.

6 MS. WILSON: If I may, Mr. Chairman?  
7 MS. VALIELA: If I may, Mr. --  
8 THE CHAIR: Miramar?  
9 MS. VALIELA: -- Chairman? I wonder  
10 whether we could request Ms. Wilson to also provide  
11 the ones from Diavik, which are at those levels.

12 THE CHAIR: Name? State your name,  
13 please.

14 MS. VALIELA: Very sorry. I'm Diana  
15 Valiela from Miramar.

16 THE CHAIR: Environment Canada?  
17 MS. WILSON: Anne Wilson.

18 I can certainly do so. I will be able to  
19 provide that electrically tomorrow. If the Board  
20 can help us with printing that out, that would be  
21 wonderful.

22 THE CHAIR: Legal counsel?  
23 MR. TILLEMAN: I'm sorry, yes, sir. I  
24 was now onto the second thought, which was that the  
25 time lines are really going to be helpful, and if I  
26 understood from Ms. Wilson, her question, it was

1 tell us how the time lines are going to work here  
2 when we have monitoring that will kick in at a time  
3 when we're into the phasing-down of the operational  
4 cycle. That's important to help the Board also,  
5 should it decide to write a license, write the  
6 proper license. So I don't have any requests, but  
7 I'm certainly interested in listening further, so  
8 I'm sorry, I didn't -- if I indicated I had  
9 anything else. Now I just want to listen.

10 THE CHAIR: Thank you. Miramar?

11 MR. CONNELL: Thank you, Mr. Chairman.  
12 Again, I'm going to ask Gary to comment on that,  
13 thanks.

14 MR. ASH: Thank you, Mr. Chair.  
15 It's Gary Ash with Golder Associates.

16 With regard to the timing of the EEM program,  
17 the first discharge would be in the summer of 2009.  
18 So once that discharge has been completed, that  
19 would give us information for site  
20 characterization, and I would think it would be  
21 reasonable to submit a first study design somewhere  
22 later in that year, which would be probably close  
23 to six months ahead of the one-year requirement,  
24 and that way could probably undertake the initial  
25 study program sampling during the second year,  
26 which would still have the discharge. So I think

1 that's a reasonable request so that the monitoring  
2 could take place during the period when there would  
3 be discharge.

4 THE CHAIR: Environment Canada?

5 MS. WILSON: Anne Wilson here. Thank  
6 you, Mr. Chair.

7 One of my concerns with the monitoring that is  
8 proposed, the national program does not include  
9 measures of productivity. We do expect to see  
10 changes downstream. By "productivity", I mean we  
11 would see more algae and maybe some more of the  
12 little animals that live in the water growing  
13 because of the nutrients from the mine.

14 I'm going to ask Miramar if they would do some  
15 measure of productivity and ask how they would  
16 assess those changes.

17 THE CHAIR: Miramar?

18 MR. CONNELL: Mr. Chairman, I'm going  
19 to need a few minutes to caucus on that, just to  
20 discuss that for a moment. If we could discuss  
21 that, and we'll give a response.

22 THE CHAIR: Environment Canada?

23 Miramar?

24 MR. ASH: Thank you, Mr. Chair.

25 It's Gary Ash from Golder.

26 Yes, you're right. The EEM requirements does

1 not include a measure of productivity, and likely  
2 one of the measures that could easily be added  
3 would be looking at chlorophyll a in, say, Tail  
4 Lake and Doris Lake and downstream. That would  
5 provide a good estimate of increases in algal  
6 productivity within the system, and that's  
7 something that could -- that probably could be  
8 added to the environmental effects monitoring  
9 program that will be developed in consultation with  
10 Environment Canada and submitted for approval by  
11 Environment Canada prior to implementation.

12 THE CHAIR: Environment Canada?

13 MS. WILSON: Anne Wilson. Thank you,  
14 Mr. Chairman.

15 That would be acceptable. We -- chlorophyll a  
16 will give us a good idea, and further details could  
17 be worked out on that as far as timing.

18 My next question is still on the monitoring,  
19 and I'm wondering for the water quality, how  
20 changes will be assessed as far as is it a  
21 significant change or not. So has any thought been  
22 given to what statistical tests will be used to  
23 assess that?

24 THE CHAIR: Miramar? If it pleases

25 Miramar, we will recess for 10 minutes?

26 MR. CONNELL: At your pleasure,

1 Mr. Chairman. We can respond now or wait until  
2 after a 10-minute break.  
3 THE CHAIR: Respond now, and we'll  
4 take a break.  
5 MR. CHAPMAN: Mr. Chairman, John  
6 Chapman.  
7 We just need clarification whether or not EC is  
8 referring to the day-to-day management plan or  
9 whether they're referring to the long-term effects  
10 monitoring plan.  
11 THE CHAIR: Environment Canada?  
12 MS. WILSON: Anne Wilson.  
13 I was referring to the environmental  
14 monitoring, not the day-to-day management.  
15 THE CHAIR: Miramar?  
16 MR. ASH: Thank you, Mr. Chairman.  
17 Gary Ash from Golder Associates.  
18 The statistical analysis that would be done on  
19 data, both water quality and the biological  
20 information, will be collected through the  
21 environmental effects monitoring program would be  
22 outlined in the preliminary study design that would  
23 be submitted to Environment Canada. So at that  
24 time, we would outline how the data would be  
25 handled and the statistical analysis that would be  
26 done on the data.

1 THE CHAIR: Environment Canada?

2 MS. WILSON: Anne Wilson.

3 The frequency of monitoring in the receiving  
4 environment is going to be very delayed under the  
5 EEM program, so I'm just wondering if the proponent  
6 is willing to conduct ongoing monitoring prior on  
7 the same basis as the baseline work has been done  
8 so that changes within the downstream receiving  
9 environment can be assessed prior to the formal EEM  
10 process.

11 And just by way of background on that. Other  
12 mines in the NWT that I deal with have both an  
13 AEMP, or aquatic effects monitoring program, as  
14 well as the national environmental effects  
15 requirement placed on them. And the reason for  
16 that is so that more immediate, ongoing  
17 environmental decisions can be made as needed.  
18 Your SNP is very good and will give us information  
19 in the immediate discharge area, but we aren't  
20 going to necessarily see changes in Little Roberts  
21 Lake in time to know if management decisions need  
22 to be made.

23 So just to recap my question, is the company  
24 willing to do aquatic monitoring in advance of the  
25 EEM being approved?

26 THE CHAIR: We'll take a 10-minute

1 recess.  
2 (BRIEF ADJOURNMENT)  
3 THE CHAIR: Shall we reconvene, and  
4 thank you. Environment Canada?  
5 MS. WILSON: Thank you, Mr. Chairman,  
6 Anne Wilson here with Environment Canada.  
7 I think we're at the point of Miramar was  
8 thinking about my questions, last request, to do  
9 some aquatic effects monitoring earlier than would  
10 be required under the EEM.  
11 THE CHAIR: Miramar?  
12 MR. CONNELL: Thank you, Mr. Chairman.  
13 It's Larry Connell.  
14 Sorry for the delay. We are just taking time  
15 to try and understand what that entailed. The  
16 reality is Miramar has continued to collect its  
17 baseline water quality sampling data through 2004,  
18 2005, 2006, and 2007. So the program's been  
19 ongoing through those years now, and we can commit  
20 to continue collecting that downstream water  
21 quality data as we move into 2008, 2009, that we've  
22 built into the EEM. That's a reasonable request,  
23 and we will commit to that.  
24 THE CHAIR: Environment Canada?  
25 MS. WILSON: Anne Wilson. Thank you,  
26 Mr. Chairman.



1           That's very helpful, and I'm pleased to hear  
2           that the baseline data is ongoing even this year.  
3           That's useful for capturing the range in natural  
4           variability that -- I'm preempting my presentation  
5           and our intervention, but that's good.

6           One of the things that comes to mind is the  
7           timing of results under the EEM is not -- it's kind  
8           of an extended time frame, and it would be nice if  
9           there were some way for the license to be crafted  
10          so that the results could be available before the  
11          30-month interpretive report so that regulators and  
12          the public could be aware of what's being monitored  
13          and what is being seen as it is collected.

14          Would it be reasonable to ask that results are  
15          provided to the Board on that basis, on an annual  
16          or even seasonal basis?

17          THE CHAIR:                               Miramar?

18          MR. CONNELL:                            Thank you, Mr. Chairman.

19          The past practice that we've had is our annual  
20          aquatic effects monitoring programs, Golder's been  
21          doing them for us, and they generally report them  
22          on an annual basis and create an annual report for  
23          aquatic effects, which we then put into the public  
24          domain and have been to the public domain up to  
25          this point in time. We will continue to do that.  
26          You know, we don't want to hold those results back

1 either. They're of no value unless they're put  
2 out, and so we will commit to continue doing that.

3 I must admit that we're late this year. We  
4 haven't got last year's done. Sorry, that's the  
5 baseline water sampling results, not the aquatic  
6 effects. This is baseline, the annual baseline  
7 monitoring of results that we do put out an annual  
8 report right now and will continue on that basis.

9 THE CHAIR: Environment Canada?

10 MS. WILSON: Thank you. Anne Wilson  
11 here.

12 That winds up my questions, and I'll just turn  
13 things over to Dave Fox from Environment Canada.

14 MR. FOX: Dave Fox, Environment  
15 Canada.

16 Mr. Chair, the recommendations agreement table  
17 that Miramar showed earlier today did not discuss  
18 any of the waste disposal concerns raised by both  
19 Environment Canada and the Government of Nunavut.  
20 I'm curious if -- does Miramar agree with  
21 Environment Canada's recommendations 3.2.1,  
22 incineration of waste, and recommendation 3.2.2,  
23 open burning of contaminated wood waste? If  
24 Miramar disagrees with these recommendations, I'd  
25 like to understand why they do.

26 THE CHAIR: Miramar?

1 MR. CONNELL: Thank you, Mr. Chairman.  
2 We specifically didn't address them in our  
3 submission because they weren't water-related  
4 issues. These were air-quality-related issues.  
5 But we definitely can talk to them now if that's of  
6 importance, and we would like to do that.  
7 With respect to the -- I'll start with the  
8 second one -- with respect to the burning of wood  
9 waste, we went back to our cyanide -- to the  
10 proposed cyanide supplier, and he has told us that  
11 this is an issue that they have heard before in  
12 other jurisdictions, not the burning so much but  
13 the long-term use of this wood offsite. And he  
14 assures us that all the sampling they have done,  
15 they have done sampling of this wood for cyanide  
16 residues, and they have great assurance that there  
17 is no transfer of any product into the wood, and so  
18 that does change to some degree. We don't have to  
19 burn them in that case if that's the case.  
20 We were strictly holding that out because we  
21 were concerned about contaminated wood that escapes  
22 our property that we lose control over that could  
23 cause harm to somebody. That was our prime  
24 motivation behind that.  
25 And let me look up your second one on the  
26 incineration. I've got to get the wording

1       precisely. Can you give me the number again,  
2       please?  
3       MR. FOX:                               It was 3.2.1,  
4       incineration of waste.  
5       MR. CONNELL:                        3.2.1. Just one moment.  
6       Mr. Chairman?  
7       THE CHAIR:                        Go ahead.  
8       MR. CONNELL:                        Thank you, Mr. Chairman.  
9       3.2.1 deals with the installation of an  
10      incinerator that complies with Nunavut EPA  
11      standards, Canada-wide standards for dioxins and  
12      furans, Canada-wide standards for mercury  
13      emissions.  
14      In doing our engineering, we have noted that  
15      and it is our intent that the incinerator we're  
16      purchasing is set to meet those standards. We  
17      understand that that's the guidelines that's been  
18      established for Nunavut, and so our purchase of an  
19      incinerator has been done -- or is planned to be  
20      done with that in mind. That's the double-chamber,  
21      higher temperature incinerator unit.  
22      THE CHAIR:                        Environment Canada?  
23      MR. FOX:                            Mr. Chair, I thank the  
24      Proponent for the information on the  
25      cyanide-contaminated wood. That's good to  
26      understand that.

1           EC commends Miramar for committing to purchase  
2 appropriate equipment and the appropriate  
3 incineration technology, but within the  
4 recommendation 3.2.1, the main concern is regarding  
5 the incineration management plan and the  
6 development of that in consultation with  
7 Environment Canada.

8           I'll be talking more about this in our  
9 presentation, but I'm curious to see if Miramar  
10 would agree with developing that plan.

11 THE CHAIR:                           Miramar?

12 MR. CONNELL:                        Mr. Chair, we are -- our  
13 probably only response to that would be that we  
14 don't fully understand what is in that plan. We  
15 went through the Environment Canada submission. It  
16 referred to a plan, but we've never seen a plan or  
17 an example of plans, and we don't know what's in  
18 it, but obviously if it's of benefit, we're intent  
19 on -- we would greatly like to get your assistance,  
20 and we'll see what's involved, but we don't have  
21 enough information at this point in time to  
22 understand what you mean by a management plan.

23 THE CHAIR:                           Environment Canada?

24 MR. FOX:                             Thank you, Mr. Chair.

25 Dave Fox speaking.

26           Perhaps it's a better discussion after our

1 presentation, and things may become more clear. I  
2 thank Miramar for answering the questions.

3 Mr. Chair, Dave Fox speaking, Environment  
4 Canada. That concludes our questions.

5 THE CHAIR: Thank you. Next we have  
6 DFO.

7 DFO QUESTIONS MHL:

8 MS. GORDANIER: Thank you, Mr. Chair.

9 This is Tania Gordanier from Fisheries and Oceans  
10 Canada.

11 I just have a couple of quick questions for the  
12 Proponent, and more a matter of clarification than  
13 anything.

14 My first question relates to Slide Number 45  
15 from the presentation, and on that slide, under the  
16 heading of "Tail Lake", there are four bullet  
17 points outlining compensation measures that will be  
18 undertaken to offset losses to fish habitat. DFO  
19 is only aware of three measures that are on that  
20 list: The first being increasing fish  
21 accessibility to Roberts Lake, the creation of a  
22 rearing habitat in Doris Lake, and the creation of  
23 pool habitat in the tributary of Roberts Lake.

24 Could the proponent just please clarify whether  
25 there are, in fact, additional compensation  
26 measures that are being proposed, or if there are

1 actually only the three that DFO is already aware  
2 of?

3 THE CHAIR: Miramar?

4 MR. ASH: Thank you, Mr. Chair.

5 It's Gary Ash from Golder Associates.

6 In our original no-net-loss plan that we  
7 developed, we had a conceptual design for how we  
8 would do the enhancement in Roberts outflow, and at  
9 that time, it involved creating more of a  
10 pool-and-weir type fish passage facility, and in  
11 doing that, we felt that we would be enhancing the  
12 creek for rearing of juvenile fish by having larger  
13 areas of pool habitat for them.

14 With our revised design that we've developed  
15 this year as a result of doing less work in the  
16 stream, just removing strategic boulders to provide  
17 adequate fish passage, that's probably not as valid  
18 as it was during the original concept, so we'll  
19 take another look at that in our proposed  
20 no-net-loss plan that we're going to be submitting  
21 by September 15th, and we'll work that out with  
22 DFO.

23 THE CHAIR: DFO?

24 MS. GORDANIER: Thanks very much, I  
25 appreciate that clarification.

26 I just have one more question, and it relates

1 to Slide 95 from the presentation, and again this  
2 is just a point of clarification. I believe the  
3 last bullet says that fisheries compensation  
4 structures would be in Little Roberts outflow and  
5 Little Roberts Lake, and I believe that should have  
6 read the compensation structures would be in  
7 Roberts outflow and in a tributary to Roberts Lake.  
8 Can you please confirm if that understanding is  
9 correct?

10 THE CHAIR: Miramar?

11 MR. ASH: Thank you, Mr. Chairman.  
12 Gary Ash from Golder.

13 Yes, that is correct; that is a typo in the  
14 slide, and it should read fisheries compensation  
15 structures in Roberts outflow, a tributary to  
16 Roberts Lake, Roberts Bay, and in Doris Lake.

17 THE CHAIR: DFO?

18 MS. GORDANIER: Thank you, Mr. Chair.

19 It's Tania Gordanier here, and that's all the  
20 questions from DFO at this time. Thank you.

21 THE CHAIR: Thank you. Next, we have  
22 GN.

23 GN-DOE QUESTIONS MHL:

24 MR. ATKINSON: Thank you, Mr. Chair. I  
25 have -- oh, Mike Atkinson, Government of Nunavut.

26 I have just two questions. My first question



1 is a follow-up to Environment Canada. They raised  
2 the issue regarding incineration and management of  
3 waste streams, and the response -- I guess DOE also  
4 raise this as an issue in our intervention because  
5 we see it as managing a waste to avoid  
6 contamination of air, land, and water.

7 In Miramar's response to Environment Canada,  
8 they said they do not believe it's a water-related  
9 issue, and I just -- my question is is that -- is  
10 it Miramar's wish to have this not included as a  
11 condition within the license?

12 THE CHAIR: Miramar?

13 MR. CONNELL: I'm sorry, Mike, I don't  
14 understand the question. Mr. Chairman, could we  
15 ask for a clarification?

16 THE CHAIR: GN?

17 MR. ATKINSON: Yes, okay, I'll try and  
18 rephrase it.

19 So the issue of incineration in compliance with  
20 Canada-wide standards and requirement to submit an  
21 incineration management plan, I take it from your  
22 response to Environment Canada that you do not wish  
23 to see this included as a license condition; is  
24 that correct?

25 THE CHAIR: Miramar?

26 MR. CONNELL: We had not believed that

1       that waste, that the incineration management plan  
2       should be a water license issue. It doesn't mean  
3       that we are -- pleased to work with Environment  
4       Canada to create that, but we did not see that as a  
5       water license condition -- sorry, Larry Connell --  
6       and so we hadn't addressed it as a water license  
7       issue.

8       THE CHAIR:                               I didn't get your name?  
9       MR. CONNELL:                             Sorry, Mr. Chairman.  
10      Larry Connell.

11      THE CHAIR:                             Thank you. GN?  
12      MR. ATKINSON:                          Mike Atkinson, Government  
13      of Nunavut.

14      I guess my response to that is I see it as  
15      analogous to a lot of the discussion that's gone on  
16      today regarding management of things like landfills  
17      or acid rock drainage; you're managing a waste  
18      stream for the purposes of avoiding contamination  
19      of a water cause. And so to conclude that, I  
20      guess, I would say it really depends on the comfort  
21      of the persons deciding the license and the Board  
22      in terms of jurisdiction.

23      THE CHAIR:                             Miramar?  
24      MR. CONNELL:                             Thank you, Mr. Chairman.

25      It's our understanding that these Canada-wide  
26      standards are a GN regulation, and consequently, we

1 would be required to comply with them, irrespective  
2 of what the water license required.

3 THE CHAIR: GN?

4 MR. ATKINSON: Mike Atkinson, Government  
5 of Nunavut. I have no further comments on the  
6 issue.

7 I do have a second question, and it relates to  
8 abandonment and restoration of the mine site. It's  
9 one of the stated objectives to return the site  
10 to -- suitable for wildlife, and although I don't  
11 propose to start raising a whole series of  
12 wildlife-related issues, I'm assuming in order to  
13 achieve the objective of wildlife habitat, you'll  
14 be looking at removing obstructions to migration  
15 and things such as re-vegetation of disturbed  
16 sites.

17 So my question is, having looked at, myself, a  
18 lot of the literature on re-vegetation, it's pretty  
19 sparse. Forgive the pun. So the first part of the  
20 question is do you propose to undertake any  
21 research yourselves looking at re-vegetation, and  
22 do you have any idea of how long re-vegetation of  
23 disturbed sites is going to take?

24 THE CHAIR: Miramar?

25 MR. CONNELL: Thank you, Mr. Chairman.

26 This was actually a subject of some discussion

1 at our technical sessions. The first part is, yes,  
2 we would obviously remove obstacles that would get  
3 in the way of wildlife migration. We would not  
4 leave those behind at the site.

5 With respect to the re-vegetation, requirement  
6 for re-vegetation, in Nunavut there is a  
7 requirement that re-vegetation take place only with  
8 native species, species that come from the north.  
9 So that actually restricts what can be done.

10 At the technical sessions, there was dialogue  
11 between ourselves and the GN, and actually the GN  
12 indicated to us at that point in time that they  
13 would provide us with some informations as to what  
14 they know is going on, and so we're still looking  
15 for that. We're also going to be searching  
16 literature to see what's out there.

17 We will do what we can to reclaim and  
18 re-vegetate the site. We know from our discussions  
19 with the Kitikmeot Inuit Association that they too  
20 are keen to see the site re-vegetated as much as  
21 possible, but we -- we're very reluctant just to  
22 say, yes, it will be done, because it hasn't been  
23 done anywhere yet successfully. We will do our  
24 best efforts to re-vegetate where we can, given the  
25 constraints of what's happened in the north.

26 Being a short-term life, we only have a couple

1 of years to actually achieve it. We have already  
2 done some small scale research on to the  
3 re-vegetation efforts at our exploration site. We  
4 worked with the KIA to some degree on looking at  
5 re-seeding native plants on soils at the Windy  
6 camp, and we've had some success with that. We've  
7 collected seeds using school kids from Kugluktuk,  
8 and we've had some success in that regard.

9 We will continue those kinds of programs, but I  
10 don't want to leave anybody -- that we have some  
11 magic bullet that's going to change that. It's an  
12 industry problem in the north, and we will do our  
13 best to participate. Otherwise, I don't think  
14 re-vegetation is going to recover itself in a fast  
15 period of time. It's going to take decades, and  
16 we've said that all along in our water license  
17 application, in the closure and reclamation plan.

18 THE CHAIR: GN?

19 MR. ATKINSON: Mike Atkinson, Government  
20 of Nunavut. I'm happy with the response from  
21 Miramar. I have no further questions.

22 THE CHAIR: Thank you. Any questions  
23 from the Staff?

24 MR. TILLEMAN: It's Bill Tilleman,  
25 Mr. Chair. Thank you. The Staff may have a couple  
26 of questions, but it would be helpful if the staff

1 could take 5 minutes and just a very short recess.  
2 And maybe even before that, if there were any  
3 other members of the audience that hadn't had a  
4 chance to ask questions, perhaps you could ask  
5 them, and once the audience have their questions  
6 answered, then if you come back after a very short  
7 5-minute break, then we would be ready to go.  
8 THE CHAIR: Any questions from the  
9 public? We'll take a 5-minute break.  
10 (BRIEF ADJOURNMENT)  
11 THE CHAIR: Bill?  
12 NWB STAFF QUESTION MHLB:  
13 MR. TILLEMAN: Thank you, Mr. Chair.  
14 It's Bill Tillemann. So then the Staff have a  
15 couple of questions, and that's it. So  
16 Mr. Hohnstein will take the mike, if that's okay  
17 with you, sir.  
18 MR. HOHNSTEIN: Thank you, Mr. Chair.  
19 Some probably just clarification -- or, sorry,  
20 David Hohnstein.  
21 Some clarification questions for Miramar.  
22 Going back to the project changes list that was  
23 submitted back at the pre-hearing technical  
24 meeting. Just a clarification as to when Miramar  
25 would be planning on constructing the fuel storage  
26 facilities, and I believe on Appendix D, E, it

1 mentioned April 2008, and just a confirmation as to  
2 whether or not that might still be a plan.

3 THE CHAIR: Miramar?

4 MR. CONNELL: Thank you, Mr. Chairman.  
5 Larry Connell.

6 The steel for that tank is on one of the barges  
7 coming up this year. It will be constructed  
8 sometime in -- just after the winter of next year.  
9 The earth works or the containment area will get  
10 done during the late winter, and then the steel  
11 erection would take place early this spring so that  
12 the tank is fully in place for the 2008 sea lift.

13 MR. HOHNSTEIN: Thank you. David  
14 Hohnstein again.

15 Just a question on the construction of Doris  
16 Lake intake. We received some I think it was a  
17 preliminary sketch drawing of the plans for the  
18 intake, and just curious as to when we might  
19 receive final detailed design of that facility if  
20 it -- just as far as the timing, I guess.

21 THE CHAIR: Miramar?

22 MR. CONNELL: Mr. Chairman, as you saw,  
23 the sketch of the pumphouse, SNC are working their  
24 way through detailed engineering on that right now,  
25 to take that design to a detailed design, and it's  
26 probably somewhere over the next eight weeks that

1       those detailed designs will be available.  
2       THE CHAIR:                   Staff?  
3       MR. HOHNSTEIN:               Thank you, Mr. Chair.  
4       David Hohnstein.  
5       So they will be available prior to installation  
6       of the intake facility?  
7       THE CHAIR:                   Miramar?  
8       MR. CONNELL:                 Thank you, Mr. Chairman.  
9       When you're -- just to make sure we're talking  
10      the same thing, we're talking about the floating  
11      pumphouse?  
12      MR. HOHNSTEIN:               (NONVERBAL RESPONSE)  
13      MR. CONNELL:                 Yes, that will be  
14      available before it's installed.  
15      THE CHAIR:                   Staff?  
16      MR. HOHNSTEIN:               Thank you, Mr. Chair.  
17      David Hohnstein.  
18      Would Miramar provide an explanation as to why  
19      copper became a critical parameter again after the  
20      final run with the test results obtained from  
21      Cantest, and will the increase in copper  
22      concentration affect the discharge strategy?  
23      THE CHAIR:                   Miramar?  
24      MR. CHAPMAN:                 Mr. Chairman, John  
25      Chapman here.  
26      I wonder if the question could please be



1 repeated; I didn't fully appreciate what was being  
2 asked.

3 THE CHAIR: Dave?

4 MR. HOHNSTEIN: Thank you, Mr. Chair.

5 David Hohnstein.

6 I believe it went back to the change from the  
7 previous method of cyanide destruction to the new  
8 method of cyanide destruction, and prior to that, I  
9 believe there was selenium that was a key element  
10 in the modelling, and it appears copper now is one  
11 of the significant factors.

12 THE CHAIR: Miramar?

13 MR. CHAPMAN: Mr. Chairman, John  
14 Chapman.

15 I believe that's a misunderstanding. Copper  
16 has always been the limiting factor. Selenium has  
17 never been considered a limiting factor in the  
18 discharge strategy.

19 MR. HOHNSTEIN: Thank you, Mr. Chair.

20 Just a -- David Hohnstein.

21 Just a quick clarification on the change of the  
22 sewage treatment process, and now that the sewage  
23 sludge is being bagged and incinerated, how often  
24 do you foresee that process taking place, and has  
25 the incineration system that's been installed been  
26 considered for taking that into account?

1 THE CHAIR: Miramar?  
2 MR. CONNELL: Thank you, Mr. Chair.  
3 I don't have the specific information as to the  
4 frequency of that incineration. We can get that  
5 from SNC today. It is not very frequent. The  
6 process that we're processing is being used at the  
7 diamond operations, and that's where it's coming  
8 from. We're using the same equipment as they are.  
9 But I can't specifically tell you whether that  
10 takes place once a month or once every week, but I  
11 can endeavour to get that information from our  
12 engineering people as to what they expect and get  
13 back to you.  
14 This is a frequent occurrence. It's something  
15 in that kind of range. The filtering equipment is  
16 built right into the plant so that you filter and  
17 bag it, and then that is then taken over to the  
18 incinerator unit, and yes, our incinerator unit has  
19 had that capacity incorporated in its engineering.  
20 THE CHAIR: Staff?  
21 MR. HOHNSTEIN: Thank you, Mr. Chair.  
22 David Hohnstein again.  
23 Just a further question on the sewage treatment  
24 process that's being planned. In one of the  
25 figures that was provided, there was a note, I  
26 believe it was Note A, that indicated there was an

1 emergency storage pond, or if there was an upset or  
2 problems, it would be -- the effluent would be  
3 diverted to an emergency storage pond. Is there  
4 any plans for such a pond?

5 THE CHAIR: Miramar?

6 MR. CONNELL: Thank you, Mr. Chairman.

7 Those drawings were given to us by Sani-Drain,  
8 which is the supplier, and I didn't notice that  
9 note, but it's definitely not. It's an error.  
10 There is no storage pond planned here. Sewage will  
11 go into the holding tank and then into the sewage  
12 treatment plant. We have no plans and no -- that  
13 holding ponds will be constructed.

14 THE CHAIR: Staff?

15 MR. HOHNSTEIN: Thank you, Mr. Chair,  
16 David Hohnstein.

17 Moving on to the list of commitments that was  
18 developed at the pre-hearing technical conference,  
19 there was a new drawing provided on the bridge over  
20 Doris Creek, I believe it was, with the pipelines  
21 included with it, and it was noticed on the  
22 drawings that the slopes underneath the bridge had  
23 changed from a 2-to-1 slope to a 1-to-1 on this new  
24 drawing, and we were wondering if there was any --  
25 if you could provide clarification on that.

26 THE CHAIR: Miramar?

1 MR. CONNELL: Mr. Chairman, we've got  
2 the drawing here. We're going to look at the  
3 original drawing. We've got SRK, who did the  
4 original design for that slope. They'll pull up  
5 the original drawing. The drawing that you had on  
6 the bridge was an SNC Lavalin drawing, and they're  
7 restricted to the bridge. So we'll just check to  
8 see whether they've arbitrarily changed that or  
9 whether -- what it said in our original drawing,  
10 and we'll get right back to you as soon as we can  
11 on that.

12 THE CHAIR: Staff?

13 MR. HOHNSTEIN: Thank you, Mr. Chair.  
14 David Hohnstein.

15 In Miramar's submission, they indicated  
16 discharge criteria to be set for, I believe it was,  
17 the landfarm sump at 5 milligrams per litre, and we  
18 were just curious as to what -- the sewage, I  
19 guess, was set at a visible sheen, and the landfarm  
20 was set at 5 milligrams per litre. And we were  
21 just curious as to what concentration a visible  
22 sheen might be noticeable at, and whether or not  
23 the 5 milligrams per litre could be applied to both  
24 of them.

25 THE CHAIR: Miramar?

26 MR. CONNELL: Thank you, Mr. Chairman.

1       What we did in coming up with that no visible  
2       sheen, we actually went back and took a look at  
3       what other water licenses across the north have  
4       been written and included in those parameters.

5       So in our submission, there is a table that  
6       actually lays out that study, how we -- the results  
7       we got from that investigation, and that's where we  
8       got the no visible sheen. I do not know what  
9       concentration a no visible sheen refers to. I  
10      don't know, but I would suspect that it's the 5  
11      milligram per litre would work for both of them.

12     MR. HOHNSTEIN:               Thank you, Mr. Chair.  
13     David Hohnstein.

14      Just a couple more quick questions. In  
15      Environment Canada's written submission, they noted  
16      an omission of silver and thallium from the revised  
17      monitoring plan, and I guess I'm just looking for a  
18      comment as to why it wouldn't be included if it's a  
19      CCME parameter; and the second note on that was the  
20      Staff noted that the CCM nitrite should actually be  
21      .06 rather than the .02, based on the calculation,  
22      and it should also read "nitrite nitrogen". I  
23      think there was a footnote on there but...

24     THE CHAIR:                   Miramar?

25     MR. CONNELL:                 Can you give us  
26     clarification, Dave, on where you're reading from

1 so that we can go to that same spot and look at the  
2 table with you?  
3 MR. HOHNSTEIN: Thank you, Mr. Chair.  
4 David Hohnstein.  
5 Sorry, I meant to have mentioned Table 5.2 and  
6 Table 6. -- Revised Monitoring Plan Table 5.2,  
7 Table 6.5 of the June supplementary.  
8 THE CHAIR: Miramar? Please state  
9 your name.  
10 MR. CONNELL: Larry Connell.  
11 We're just looking at that table before we  
12 respond to make sure we're looking at the same  
13 thing.  
14 MR. HOHNSTEIN: Mr. Chair, David  
15 Hohnstein.  
16 I could go on to another additional question  
17 while they're looking up the information, if that's  
18 okay.  
19 THE CHAIR: Is that okay with the  
20 Applicant?  
21 MR. CONNELL: (NONVERBAL RESPONSE)  
22 MR. HOHNSTEIN: Thank you, Mr. Chair.  
23 David Hohnstein.  
24 In Item 27, and I'm not sure where that came  
25 from, there's a reference to a shoreline adaptive  
26 management plan, and we were wondering if this is

1 intended as a stand-alone document or if it's  
2 embedded in another document.  
3 THE CHAIR: Miramar?  
4 MR. CONNELL: Mr. Chairman, that  
5 shoreline adaptive management plan actually shows  
6 up as an appendix in the tailings design report  
7 that's part of the water license application. It's  
8 not a stand-alone; it's attached as an appendix to  
9 that report.  
10 THE CHAIR: Staff?  
11 MR. HOHNSTEIN: Thank you, Mr. Chair.  
12 One final question -- David Hohnstein --  
13 there's mention of using riprap on the sewage  
14 treatment plant discharge, and I think this is  
15 during the construction phase, and it was asked  
16 whether or not the riprap provision would be  
17 provided at other locations of discharge through  
18 the tundra, and what provisions are taking place  
19 for prevention of erosion.  
20 THE CHAIR: Miramar?  
21 MR. CONNELL: Thank you, Mr. Chairman.  
22 Larry Connell.  
23 Yes, Miramar has committed that wherever we are  
24 going to be discharging from the tundra, so for  
25 example, at the landfill sump or at the  
26 sedimentation control pond, that those discharge

1 points would be onto an armoured rock base so that  
2 we didn't just wash or erode away the tundra and  
3 create a hole at that discharge point. And so each  
4 of those -- any point where we're discharging onto  
5 the tundra, we would provide a rock armoury to  
6 prevent that erosion from incurring.

7 THE CHAIR: Bill?

8 MR. TILLEMANN: Thank you, Mr. Chair. It  
9 was just in the interest of time and to be fair to  
10 the Applicant, they might need a few minutes to  
11 answer that one question on Table 5.1 or 5.2, so I  
12 just thought it might be a benefit to them, and to  
13 save you time, to let them look at that over the  
14 dinner hour and come back and answer that later.  
15 That way we can get to Board questions, so I'm just  
16 trying to be fair to the Proponent.

17 THE CHAIR: Miramar?

18 MR. CONNELL: Thank you, Mr. Chairman.  
19 It's Larry Connell again.

20 Mr. Rykaart has the -- can go back to the  
21 question on the bridge while we're looking through  
22 the tables, and I'll pass this on to Mr. Rykaart to  
23 answer that question.

24 MR. RYKAART: Mr. Chairman, Maritz  
25 Rykaart.  
26 I'm answering the question with regards to the



1 bridge drawing that was in supporting document of  
2 supplemental information. The supplemental  
3 information does show a 1-to-1 side slip under the  
4 bridge. That is an error. If you refer to the  
5 original supporting document with all the  
6 engineering drawings, that is a 2-to-1 slope, and  
7 the 2-to-1 slope is based on the engineering design  
8 and the stability calculations.

9 THE CHAIR: Staff?

10 MR. HOHNSTEIN: Thank you, Mr. Chair.

11 That's all my questions.

12 THE CHAIR: Thank you. I'd like to  
13 take this opportunity to welcome an Elder to this  
14 public hearing, Margaret Nakashook.

15 (APPLAUSE)

16 THE CHAIR: Board Member Hanson?

17 NWB QUESTION MHL:

18 MR. HANSON: Robert Hanson. Just a  
19 question for Miramar, to clarify the location of  
20 the sewage discharge during construction and where  
21 the flow will go.

22 THE CHAIR: Miramar?

23 MR. CONNELL: Thank you, Mr. Chairman.

24 During construction, the sewage treatment plant  
25 will discharge onto the tundra at a point a hundred  
26 or so metres on the north end of the plant site so

1       that the flow is upstream of the lake, and then it  
2       will work its way across the tundra, back onto the  
3       plant site, and well before Doris Lake, and we've  
4       committed to an SNP point within Doris Lake to make  
5       sure that none of that is contaminating Doris Lake.

6       THE CHAIR:                       Board Member Hanson?

7       MR. HANSON:                      Thank you. It's Robert  
8       Hanson.

9       Is there a contingency plan in case the slurry  
10      discharge does not meet discharge criteria during  
11      construction, operation, and/or closure especially  
12      during winter?

13     THE CHAIR:                       Miramar?

14     MR. CONNELL:                     Thank you, Mr. Chairman.

15     The -- during the construction phase, if we were  
16     finding that our sewage treatment plant couldn't  
17     accommodate that or live up to that criteria, we  
18     would either have to suspend operations until we  
19     got the sewage treatment plant back into function.

20         Alternatively for a short duration, you could  
21     put it into a tank truck to take to Tail Lake, but  
22     that's not a viable option during construction  
23     because Tail Lake's not viable at that point.

24         So in this case here, if our sewage treatment  
25     plant was not functioning as designed, it would  
26     require us to suspend, bring in the appropriate

1 people to repair that plant before we could restart  
2 operations.

3 And during the operational phase, the same  
4 would apply except in this case, we're not  
5 discharging the water onto the tundra; we're now  
6 taking that treated water and actually putting it  
7 into Tail Lake, but we still would not want to  
8 continue running with a treatment plant that's not  
9 functioning.

10 THE CHAIR: Board member Hanson?

11 MR. HANSON: Robert Hanson. Probably  
12 a three-part question here. How will waste from  
13 Windy and Boston be brought to Doris landfill; will  
14 it be on the winter road or a winter road, and how  
15 many trips do you expect to make back and forth to  
16 have this done?

17 THE CHAIR: Miramar?

18 MR. CONNELL: Thank you, Mr. Chairman.  
19 With respect to garbage from Windy, once we're --  
20 once Doris North is up and operational, it will  
21 have to be through a winter road because there will  
22 be no summer access between the two sites, and so  
23 that would only be during the winter.

24 The volumes of garbage that are generated at  
25 Windy would be stockpiled over the summer-months  
26 operation until the following winter and then

1       hauled on a campaign basis, so we'd be doing it on  
2       a short duration campaign, where you basically use  
3       the equipment that's supplying the exploration camp  
4       and back-haul that garbage back to -- as it's going  
5       past Roberts Bay to put it in, so it would be done  
6       over a period of one or two days.

7       THE CHAIR:                       Board Member Hanson?

8       MR. HANSON:                      Thank you. Robert  
9       Hanson.

10       Have all the SNP monitoring locations and  
11       coordinates been confirmed, and if not, when will  
12       they be?

13       THE CHAIR:                      Miramar?

14       MR. CONNELL:                    Thank you, Mr. Chairman.

15       No, the coordinates have not been confirmed. We  
16       have committed or agreed with INAC in the  
17       submission that what really needs to take place  
18       before they're finalized with a GPS unit is that an  
19       INAC water resource inspector go out to a site and,  
20       together with Miramar personnel, they walk to  
21       those -- each of those location points, choose  
22       what's an appropriate, safe spot that can actually  
23       be monitored on a consistent basis.

24       They then set those SNP coordinates, which we  
25       then put a metal rod or something to indicate that  
26       that's the allocated spot, and that becomes the

1 SNP. What's now been chosen is just based upon our  
2 walking through those sites now, and we've selected  
3 those off maps, but the actual GPS coordinates have  
4 not been selected, and that will be done as soon as  
5 we could with INAC with respect to getting a water  
6 license inspector on site to do those with us.  
7 THE CHAIR: Board Member Hanson?  
8 MR. HANSON: Thank you. Robert  
9 Hanson.  
10 How long will it take for the onsite lab to  
11 return samples results so that the discharge from  
12 the tailing pond can be adjusted in case there's a  
13 problem?  
14 THE CHAIR: Miramar?  
15 MR. CONNELL: The concept or the  
16 objective that this lab is designed for is to be  
17 able to return samples within the same day. So the  
18 same day we take the samples, we get the results  
19 back so that we can adjust our coordinates --  
20 adjust our discharge targets accordingly, and so  
21 our concept is to turn-around in that same day.  
22 THE CHAIR: Board Member Hanson?  
23 MR. HANSON: A final comment,  
24 Mr. Chair -- question, I guess, of Miramar, and  
25 it's concerning the dams and what -- I have a very  
26 big question, and I guess I'm concerned if there's

1 any leakage, and how often do you expect to be  
2 checking for any leakage or seepage out of the  
3 dams? Is that ongoing, weekly, monthly, daily?  
4 Just a concern if something should happen and  
5 something should breach within the dam, especially  
6 onto the land. Thank you.

7 THE CHAIR: Miramar?

8 MR. CONNELL: Thank you, Mr. Chairman.

9 Larry Connell.

10 The visual inspections of those dams would be  
11 done on a daily basis by the site operational  
12 staff, and they would note -- and part of -- one of  
13 their checklist items would be to note if they see  
14 pools appearing. And then of course, the next  
15 phase is, if you see a pool appearing, is what is  
16 that water. Is that water just runoff water that  
17 comes from the upstream side, or is it something  
18 that's seeping through. Because you're right, once  
19 the seepage is starting to occur, it needs to be  
20 addressed as quickly as possible. So during the  
21 summer months obviously, that's going to be on a  
22 daily basis. Even during the winter months, we  
23 will still do a daily inspection, but obviously the  
24 parameters we note will drop back as a result of  
25 the fact that water's not moving.

26 MR. HANSON: Robert Hanson. I just

1 want to say thank you; I have no more questions.  
2 THE CHAIR: Thank you. Any further  
3 questions from Board Members? If not --  
4 MR. CONNELL: Mr. Chairman, could we go  
5 back and answer the question that was left hanging  
6 on the table from the Board's side?  
7 THE CHAIR: Go ahead.  
8 MR. CHAPMAN: John Chapman,  
9 Mr. Chairman.  
10 I believe the question related to, first of  
11 all, the units of the nitrite nitrogen  
12 concentration. The numbers reported in Table 6.5  
13 of the supplemental package is 0.6 milligrams per  
14 litre. That is correct as stated. It is nitrate  
15 nitrogen, and it's 0.6 milligrams per litre.  
16 With respect to -- 0.06, yeah. With respect to  
17 thallium and zinc -- sorry, thallium and silver,  
18 they are both included in the table.  
19 THE CHAIR: Staff?  
20 MR. HOHNSTEIN: Thank you, Mr. Chair.  
21 That's all.  
22 THE CHAIR: Bill?  
23 MR. TILLEMAN: Mr. Chair, yes, sir, I  
24 just notice the time. It's Bill Tillemann, I notice  
25 the time, and it's into the time when the Lodge  
26 prepares dinner; they're probably waiting. You're

1 the boss, but you could go ahead with KIA right  
2 now, but to do that would likely push them a bit  
3 unfairly. And if their presentation is in the  
4 order of 30 minutes, which it likely is, it might  
5 be a good idea to just go to dinner and then let  
6 them do their presentation this evening.

7 I realize that it's scheduled for a community  
8 session at 7, to let the citizens say whatever they  
9 want, ask questions of the Applicant. If there's  
10 time left over after that, sir, then we could go to  
11 KIA and give them a little bit more time to present  
12 and not be rushed. The final call is up to you.

13 THE CHAIR: May I ask KIA how long  
14 their presentation will take?

15 MR. CLARK: This is Geoff Clark. We  
16 estimate, without any questions, that our  
17 presentation is -- we're doing it together with  
18 NTI, and it will be about 35 minutes in length  
19 without any questions.

20 THE CHAIR: Go ahead. Do you need to  
21 be sworn?

22 MR. TILLEMAN: No, I was going to say I  
23 need to eat, but I don't really -- no, sir, I don't  
24 have any other comments.

25 THE CHAIR: Go ahead with your  
26 presentation. Miramar?



1 MR. CONNELL: Just so that we don't  
2 upset Dave Hohnstein, we have a correction that we  
3 should give to him. We have looked at these  
4 tables, 5.2, and there was a re-submission of the  
5 monitoring table -- the monitoring report, the  
6 follow-up report, that came in sometime late July,  
7 and that table does -- is missing -- the two lines  
8 for silver and thallium are missing. There is no  
9 change to those numbers; they were just somehow got  
10 left off that table when it came in on the new  
11 plan. He's not wrong. He's -- we're not driving  
12 you crazy.  
13 PRESENTATION BY KIA/NTI:  
14 DONALD HAVIOYAK, GEOFFREY  
15 CLARK, GEORGE HAKONGAK, sworn:  
16 MICHAEL McGURK, affirmed:  
17 THE CHAIR: We have just received new  
18 information that the restaurant closes at 6 at the  
19 hotel. Would anybody have any objections to us  
20 reconvening at 6:30? We'll reconvene at 6:30.  
21 (PROCEEDINGS ADJOURNED AT 5:19 P.M.)  
22 (PROCEEDINGS RESUMED AT 6:34 P.M.)  
23 THE CHAIR: Shall we reconvene. KIA?  
24 MR. CLARK: Thank you, Mr. Chairman.  
25 My name is Geoff Clark. I'd just like to inform  
26 the Board that KIA and NTI are doing a joint

1 presentation, and so NTI will start with the  
2 presentation, and then we will move directly into  
3 the KIA presentation, and we will take questions  
4 after that. Thank you.

5 MR. HAKONGAK: Thank you, Mr. Chair,  
6 thank you, Geoff. Members of the Board, Miramar,  
7 Water Board staff, interveners, welcome.

8 Good evening, my name is George Hakongak. I'm  
9 the Senior Advisor, Environment, Water, and Marine  
10 Management for the Department of Lands and  
11 Resources of Nunavut Tunngavik Incorporated in  
12 Cambridge Bay.

13 To begin, NTI would like to thank the Nunavut  
14 Water Board for the opportunity to participate in  
15 the final hearing addressing the Miramar Hope Bay  
16 Limited water license application for the Doris  
17 North Gold Project and to allow the views of  
18 Nunavut Tunngavik to be presented.

19 NTI, along with the Kitikmeot Inuit  
20 Association, engaged Rescan Environmental to review  
21 the Miramar Hope Bay Limited water license  
22 application and guidelines as set out by the  
23 Nunavut Water Board.

24 The review carried out by Rescan Environmental  
25 is focussed on evaluating the information submitted  
26 by Miramar Hope Bay Limited to determine the

1 completeness and effectiveness of the proposed  
2 measures to ensure responsible environmental  
3 stewardship.

4 NTI recommends that the following issues be  
5 addressed through terms and conditions of a project  
6 certificate.

7 Critical issues. The issues and concerns  
8 identified by NTI review fall into the following  
9 categories: Those that need to be addressed prior  
10 to the acceptance of a water license application,  
11 namely, the terms of the water license and  
12 monitoring of the stations; NTI would like to see a  
13 five-year water license issued as stated in the  
14 Rescan report; those that need to be addressed and  
15 monitored during the duration of the mine life for  
16 effective environmental stewardship, namely, the  
17 monitoring of discharge water at first be shed from  
18 Tail Lake and hereafter. And "hereafter", I mean  
19 until they close.

20 Monitoring program. Issues identified in the  
21 category of monitoring cover broadly all stages of  
22 mine operation and mine life and include aspects of  
23 the ecosystem and socio-economic impacts of the  
24 project.

25 Additional requirements. The proponent in its  
26 final submission and supplementary documents has

1 requested from the various regulators clarification  
2 of the monitoring variables and directives  
3 required. NTI recommends that all the regulators  
4 involved in this project define their requirements  
5 for effective monitoring and that the NWB include  
6 these as part of the recommended terms and  
7 conditions for acceptance of the water license  
8 application.

9 In addition, the Proponent has committed to  
10 various undertakings with regard to project design,  
11 impacts monitoring, and mitigation issues raised  
12 previously by organizations and others. NTI would  
13 encourage the Proponent to demonstrate its good  
14 corporate citizenship and environmental stewardship  
15 by living up to these commitments.

16 In conclusion, in closing, NTI is in support of  
17 the proposed water license application. NTI is  
18 encouraged by the progress made in the development  
19 of application and requests that the Nunavut Water  
20 Board incorporate the NTI's issues as well as  
21 monitoring variables and directives defined by  
22 other regulators into the terms and conditions for  
23 acceptance of the application. In addition, NTI  
24 encourages the Proponent to operate and undertake  
25 its stewardship role within the letter and spirit  
26 of the NLCA.

1           Once again, thank you for providing NTI an  
2           opportunity to participate in the review of the  
3           Miramar Hope Bay Limited water license application.  
4           We look forward to hearing the Nunavut Water  
5           Board's decisions on this matter and proceeding.

6 Koana.

7 THE CHAIR: KIA?

8 MR. HAVIOYAK: Koana. Thank you,  
9 Mr. Chairman. Thank you for giving us an  
10 opportunity to be participants here. Briefly,  
11 first of all, I'd like to thank you all for coming  
12 to Kitikmeot here, to Cambridge Bay, to hear  
13 presentations and to hear from Miramar as to their  
14 proposed project and for them to be able to give us  
15 an insight into their project. We thank them.

16 I am a chairperson for Kitikmeot Inuit  
17 Association here in Kitikmeot. You will be aware  
18 our staff are also here and our consultants. The  
19 names being today with me are Geoff Clark, Lands  
20 Director, and also Stanley Anablak, Senior Lands  
21 Officer, and also Kevin, who is here new to  
22 Kitikmeot, working out of our Kugluktuk office, and  
23 here with me also is Mike McGurk -- I hope I said  
24 that right -- he's the one that advises us as to  
25 our endeavours as we move ahead. We also have here  
26 with us or legal counsel, John Donihee.

1           Because we are dealing with Miramar's water  
2           license and holding a hearing here in Cambridge Bay  
3           because they submitted their proposal to you and  
4           for them to be able to give us information, the  
5           people information, we at KIA were asked as to what  
6           our thoughts were in terms of the water license  
7           application.

8           I will inform you as to KIA's position and also  
9           KIA's activities as to what KIA thinks of Miramar's  
10          water license in terms of the Doris North Project.  
11          Later on, you'll hear from Mr. Clark on this issue  
12          as to how KIA feels of this proposal.

13          KIA is the Regional Inuit Association for the  
14          Kitikmeot region in Nunavut. We represent Inuit  
15          beneficiaries of the Nunavut Land Claims Agreement  
16          in the Kitikmeot region. The Doris North Gold  
17          Project is an important opportunity for the  
18          Kitikmeot region and for Nunavut. KIA has promoted  
19          appropriate mining development in the Kitikmeot  
20          region in the interest of all Inuit in Kitikmeot  
21          and Nunavut.

22          The KIA supports mining development that  
23          respects the environment because we have  
24          responsibilities to Kitikmeot Inuit to balance  
25          economic development, social development  
26          environmental protection, and to protect the land,

1 wildlife, and Inuit lifestyles.

2 As the Regional Inuit Association, we, the  
3 owners of the subsurface Inuit-owned land in the  
4 Kitikmeot region include parcel BB-60 where almost  
5 all of the project will be built, except for the  
6 jetty that is set into the ocean at Roberts Bay.

7 KIA is also the designated Inuit organization  
8 for purpose of Article 20 of the Nunavut Land  
9 Claims Agreement and is responsible for reclamation  
10 after development on Inuit-owned land.

11 KIA's involvement is subsurface land  
12 management. We issue licenses and lease for  
13 Inuit-owned land. We still need to complete the  
14 land lease with Miramar for Inuit-owned land  
15 parcel, BB-60. This will require more work before  
16 construction of the project can begin on  
17 Inuit-owned land. That lease, when complete, will  
18 address security requirements for the Inuit-owned  
19 land and eventually reclamation on the site.

20 On September 6th, 2006, Miramar and KIA signed  
21 an Inuit Impact and Benefit Agreement. This IIBA  
22 was reviewed and approved by the Minister of Indian  
23 and Northern Affairs Canada and is now in legal  
24 force. The IIBA addresses socio-economic impact of  
25 the Doris North Project and commits Miramar to  
26 action which will reduce those impacts and ensure

1 opportunities for Kitikmeot Inuit to benefit from  
2 this agreement.

3 KIA is responsible for the protection and  
4 management of water in, on, or flowing through  
5 Inuit-owned land under Article 20 of the Nunavut  
6 Land Claims Agreement. A Nunavut-wide water policy  
7 has been developed by NTI, KIA, and the other RIAs  
8 to address Article 20 rights and responsibilities  
9 and to manage water on Inuit-owned land.

10 Separate from the IIBA negotiation, KIA and  
11 Miramar addressed the impact of the project on  
12 Inuit water rights under the Article 20 of the  
13 Nunavut Land Claims Agreement and on the rights set  
14 out in the Nunavut Water Act resulting in a water  
15 compensation agreement between KIA and Miramar.  
16 KIA is satisfied that compensation concerns related  
17 to Inuit water rights has been resolved.

18 The development of the Doris North Project will  
19 directly affect the land and water on Inuit-owned  
20 land, Parcel BB-60. Water flow from the mine  
21 discharge point will flow into Tail Lake, Doris  
22 Creek, Little Roberts Lake, and then to Little  
23 Roberts Creek, and then onward to Roberts Bay. If  
24 the quality or quantity of water is affected beyond  
25 what is predicted in the environmental impact  
26 statement and water license application, then



1 additional water compensation will be paid to KIA.  
2 The area of Hope Bay has traditionally been  
3 used by Inuit for hunting, fishing, camping and  
4 travelling, and the land is owned by Inuit. This  
5 explains why the terms of the water license issued  
6 by the Nunavut Water Board are of considerable  
7 importance to Inuit.

8 KIA has carefully reviewed the evidence  
9 submitted by Miramar and the other parties in this  
10 hearing. And in KIA's review of the Doris North  
11 water license application, KIA has relied on the  
12 expert advice of Rescan Environmental Services.  
13 Rescan worked closely with KIA to prepare  
14 recommendations contained in the submission and  
15 presentation. KIA has set out detailed position on  
16 the water license application in their written  
17 submissions.

18 Based on our review of the Doris North water  
19 license application, KIA recommends to the Nunavut  
20 Water Board that the duration of the water license  
21 be no longer than five years in length. This will  
22 allow for construction, operation, and initial  
23 closure activities to be complete before the water  
24 license is renewed for final closure operations.

25 In this presentation, KIA highlights issues  
26 related to terms of the water license, water

1 management, water monitoring, and aquatic effects  
2 monitoring, amongst others. The KIA also provides  
3 recommendation to address these and other issues.

4 The KIA also provides a reclamation security  
5 estimate for the part of the Doris North Project  
6 that is on Inuit-owned land. The KIA estimate is  
7 based on Inuit values, Inuit reclamation  
8 objectives, and Inuit consultation.

9 You've heard my presentation. Now we're open  
10 to questions, and my staff will be giving short  
11 presentations as to KIA's position as to the water  
12 license application before the Nunavut Water Board.  
13 Here's one of our staff members, Geoff Clark, to  
14 present the remaining points and recommendations  
15 regarding the water license.

16 MR. CLARK: Thank you, Mr. President.  
17 My name is Geoff Clark or Pialak in Inunniaqtun.

18 KIA's comments relate to the term of the water  
19 license, the water management plan, and monitoring.  
20 And specifically, to provide more detail on the KIA  
21 President's presentation, KIA recommends that the  
22 water license not exceed five years before it is  
23 renewed.

24 The company applied for an eight-year license,  
25 and KIA recommends a shorter term because this will  
26 provide the Board with an opportunity to review the

1 water quality monitoring data, and the overall  
2 success of the water and waste management plan at  
3 Doris North before Miramar enters the phase of  
4 post-closure monitoring.

5 During the license renewal process, Miramar  
6 will have to defend their history of environmental  
7 management and propose how they plan to  
8 successfully complete the post-closure phase based  
9 on the information they've generated over the  
10 five-year water license.

11 KIA believes that Miramar can achieve its water  
12 management plan for discharging from Tail Lake and  
13 meeting MMER regulations at the Tail Lake pumping  
14 station and CCME standards a hundred metres  
15 downstream of the discharge point in Doris Creek.

16 However, KIA does have concerns about the water  
17 management strategy, and these concerns are the  
18 success of real-time monitoring of the quality of  
19 water discharged from Tail Lake that will be  
20 required, the accuracy of the water quality model  
21 for Tail Lake that will not be confirmed until  
22 after the tailings facility is operational. There  
23 is potential for background water conditions to  
24 reach CCME standards, which would prevent discharge  
25 of water from Tail Lake. If the water volume in  
26 Tail Lake during winter is lower than expected,

1 this could delay opportunities to decant water from  
2 Tail Lake in the spring. Pumps and other equipment  
3 in Tail Lake will have to be managed so that  
4 tailings are not re-suspended in the water, and if  
5 the mine life is extended for whatever reason, the  
6 entire water management strategy would have to be  
7 re-evaluated.

8 Based on these concerns, KIA recommends that  
9 the Board define any potential exceedences of CCME  
10 guidelines, regardless of their magnitude or  
11 duration, as significant, and this would require a  
12 recalibration of the water quality model and a  
13 re-evaluation of Miramar's discharge strategy from  
14 Tail Lake.

15 The Board should not accept exceedences of CCME  
16 standards by 20 percent as a threshold to forcing  
17 them to standards by Miramar. In the case that  
18 CCME guidelines are exceeded, Miramar should  
19 provide example strategies for achieving CCME  
20 standards and their costs as part of an adaptive  
21 management plan.

22 The onsite laboratory to measure water quality  
23 in real-time will be critical to Miramar's  
24 discharge strategy. And in this point, Miramar has  
25 addressed this issue in their response to our  
26 submission, and KIA has looked at our submission

1 and realized that we had a communication -- or a  
2 miscommunication in our submission, and we support  
3 the original NIRB condition that within the water  
4 license -- or that the Board should require as a  
5 condition of the water license that Miramar provide  
6 proof of application for laboratory accreditation  
7 as required by NIRB prior to discharge of water  
8 from Tail Lake into Doris Creek. Originally in our  
9 submission, we said that it should provide proof of  
10 accreditation, but Miramar's correct, that's a long  
11 process, but they should provide proof of  
12 application for accreditation. And we'll provide  
13 those details in writing or whatever process the  
14 Board wants related to that table that was shown  
15 earlier.

16 The precision and accuracy of the water quality  
17 results measured at the onsite laboratory should be  
18 independently verified by a third-party laboratory  
19 as recommended by NIRB.

20 The water quality model for Tail Lake, which is  
21 the foundation of the discharge strategy, should be  
22 regularly updated during the operational lifetime  
23 of the mine using field data. Updated long-term  
24 model predictions and a comparison of predicted and  
25 observed water quality should be provided in annual  
26 monitoring reports.

1 Overall, it's clear that the key to effective  
2 protection of water at the site is ensuring that  
3 Miramar's discharge strategy actually works as  
4 planned, and this is something that has yet to be  
5 demonstrated. The Board should scrutinize the  
6 discharge operation through the requirement of  
7 frequent reporting, and Miramar should be required  
8 to immediately stop discharge should the discharge  
9 plan not go according to the original plan. In  
10 that case, the Board should require a satisfactory  
11 explanation for what caused the failure of the  
12 discharge plan for Miramar and a proposal for a  
13 method that will prevent failure in the future  
14 before allowing discharge to resume.

15 Miramar also proposes to discharge water from  
16 sedimentation ponds at the camp and mill pad onto  
17 the tundra. The Board should consider requiring  
18 Miramar to monitor the frequency, volume, and  
19 duration from the sedimentation ponds to the tundra  
20 to ensure that these discharges are infrequent and  
21 do not affect the ecosystem. If Miramar do not  
22 meet these criteria, then this water should be  
23 diverted to Tail Lake.

24 In terms of reporting, Miramar proposes that  
25 water quality results will be presented in an  
26 annual report, and KIA suggests that short monthly

1 reports be prepared during the first year of  
2 operations to provide confidence that the water  
3 management plan is being applied successfully.

4 And this is a point that Miramar brought up,  
5 that they felt that monthly reports were too  
6 numerous and onerous for the company. And KIA's  
7 real intent here is that definitely during the  
8 months of freshet, the two or three months when  
9 there's maximum water flow through the system  
10 during melt and runoff, that during these two or  
11 three months, these are the most critical times and  
12 important for the water quality model. And during  
13 this time of the year, there should at least be  
14 more frequent monitoring if the company feels that  
15 year-round monitoring is too difficult.

16 These reports should include all water quality  
17 data, flow measurements from Doris Creek,  
18 discharges from the tailings pond and the water  
19 levels, and all data used in calculating the  
20 discharge rate from Tail Lake should be provided.  
21 KIA also supports the use of comprehensive sample  
22 collection protocols and testing details that are  
23 recommended in the NIRB report.

24 Due to the short mine life, there are  
25 monitoring plans that may not make sense with  
26 regulatory requirements. For example, the MMER

1 requirements or regulations require reporting of  
2 aquatic effects in a time line which results in the  
3 report being submitted after the mine is in the  
4 closure phase.

5 Also if monitoring of slow-growing vegetation  
6 shows any significant uptake of metal during  
7 construction or operation, then KIA recommends that  
8 the Board require Miramar to sample the vegetation  
9 again within five years to determine if there are  
10 any long-term effects of the original sample.

11 With regards to reclamation and closure of the  
12 Doris North mine, as the KIA President said, this  
13 project will almost be in its entirety on  
14 Inuit-owned land, and KIA beneficiaries are the  
15 primary users of all the land around the Doris  
16 North Project site. Thus, KIA has a strong  
17 interest in ensuring that the entire site is  
18 reclaimed to Inuit standards and that KIA does not  
19 incur residual reclamation liability on Inuit-owned  
20 land as a result of the project.

21 The KIA has developed -- in response to this,  
22 the KIA has developed the capacity to independently  
23 analyze and assess reclamation security by  
24 developing its own proprietary method for assessing  
25 reclamation security. This model generates  
26 security estimates that are based on Inuit values



1 and specific reclamation objectives. KIA staff and  
2 board members with the help of computer modelling  
3 and mine reclamation experts developed this model.

4 The guiding principles of KIA's reclamation  
5 security model are to protect the environment, be  
6 sure that the site is safe for future use by people  
7 and animals, restore the site for future use by  
8 people and animals, and that there be no perpetual  
9 care.

10 KIA's process for estimating the security at  
11 the Doris North Project was to orient Miramar how  
12 to use the model, and then Miramar developed an  
13 estimate after consulting with KIA staff. KIA then  
14 used the estimate and the objectives for  
15 reclamation and consulted with Inuit from Bay  
16 Chimo, Bathurst Inlet, and Cambridge Bay, who were  
17 appointed to KIA's community beneficiary committee  
18 for this particular area of Kitikmeot. And the  
19 results of using KIA's reclamation model and  
20 process are included in Miramar's water license  
21 application.

22 Thus, KIA and Miramar have received feedback  
23 from Inuit on reclamation from those who have lived  
24 in the area of the proposed mine site. When  
25 consulting the community beneficiary committees,  
26 the KIA received guidance on several issues related

1 to closure of the project.

2 Some examples of the feedback received include  
3 that the jetty should be dismantled as it will not  
4 be required by Inuit after closure of the mine;  
5 that consultation with Inuit must be part of the  
6 reclamation plan and for post-closure monitoring  
7 and any subsequent closure planning; that after  
8 decontamination and prior to tear-down of any  
9 buildings, Miramar should offer the communities of  
10 Bathurst Inlet, Bay Chimo, and Cambridge Bay the  
11 first right of refusal on any infrastructure that  
12 is scheduled to be dismantled at closure; if the  
13 mine closes unexpectedly while the temporary waste  
14 rock pile remains on surface, the Inuit that we  
15 consulted said that the waste rock should be  
16 transferred to Tail Lake for subaqueous disposal.  
17 We also received feedback that no contaminated  
18 waste should be buried on Inuit-owned land, and  
19 nonhazardous waste must not be buried on  
20 Inuit-owned land unless KIA is compensated and the  
21 waste is disposed in a landfill designed and  
22 approved by an engineer.

23 In Miramar's water license application to the  
24 Board, using KIA's costing model for security, they  
25 estimated that the cost for reclamation will be  
26 about \$11.7 million. This estimate already

1 includes feedback from Inuit on several of the  
2 items that I listed to you earlier.

3 There are some outstanding matters related to  
4 reclamation of the temporary waste rock piles and  
5 burial of waste on Inuit-owned land, but these can  
6 be worked out between KIA and the Proponent as part  
7 of the land use, and these items will not  
8 drastically change the security estimate.

9 An additional item that we will also discuss  
10 with the Proponent in this negotiation relates to  
11 an issue that came up at the technical meetings,  
12 which was the proper design and cover depth of the  
13 engineered landfill, but this can also easily be  
14 dealt with during the lease negotiations and won't  
15 cause a significant change to our reclamation  
16 estimate.

17 Thus, KIA accepts Miramar's security estimate  
18 of approximately \$11.7 million for reclaiming the  
19 land and water on Inuit-owned land, subject to the  
20 changes that KIA will require on the land use.  
21 Because the jetty is not on Crown land, KIA will  
22 not be collecting security for this part of the  
23 mine.

24 And in Miramar's water license application,  
25 they also provide a reclamation estimate using the  
26 RECLAIM model, and it should be noted that in both

1 cases, the reclamation estimate came out to be  
2 similar using both the reclamation model that the  
3 Kitikmeot Inuit Association uses and INAC uses.  
4 And this should be a comfort to the Board that this  
5 amount of reclamation security for the project is  
6 adequate.

7 In regards to any proposed split of  
8 land-versus-water-related reclamation security on  
9 Inuit-owned land, which is private land, KIA's  
10 three goals for setting security occurred in  
11 three -- or there are three goals, and they are in  
12 order of priority.

13 And our first goal is to ensure that all  
14 project-generated liabilities are covered by  
15 security. After that, the second-most important  
16 priority is to ensure that all risks or liability  
17 for Inuit on Inuit-owned land are secured. And  
18 thirdly, the third priority, is that no double  
19 payments, which could act as a disincentive to  
20 mining, should be required.

21 And these three goals, ordered in that  
22 priority, make sense to KIA. Like INAC, KIA wants  
23 to make sure that all liability for reclamation is  
24 covered by security. Secondly, KIA wants to ensure  
25 that all risks on Inuit-owned land that could  
26 include land or water must be secured by KIA.

1           And the reason for this is that KIA is  
2           accepting this development on Inuit-owned land, and  
3           we're expecting to benefit from this project, and  
4           that's why we have given permission through the  
5           IIBA and so on to allow this project to proceed.  
6           And if KIA felt there was risk that this could all  
7           change and KIA could have a lot of financial  
8           liability three or four years down the road for a  
9           cleanup, that would totally change our perspective  
10          on whether or not this project should be allowed to  
11          proceed. So that's why KIA insists that all risks  
12          and liabilities on Inuit-owned land, regardless of  
13          whether they're land or water, are secured by KIA.

14          And in regards to the issue of double bonding,  
15          KIA and NTI's policy encourages mining on  
16          Inuit-owned land, but protecting Inuit interests  
17          are more important than avoiding double bonding.

18          KIA agrees with Miramar on the difficulties in  
19          splitting land and water security. It's very hard  
20          to make sense of where a split would be because  
21          it's -- land and water is all interrelated.

22          And KIA believes that the Nunavut Water Board  
23          has already interpreted this issue properly in 1998  
24          when this issue of land-versus-water  
25          security-splitting was dealt with in front of the  
26          Nunavut Water Board regarding the Boston license

1 renewal, which is in the same area of -- or the  
2 same owners and in the same area of Nunavut.

3 For the Board's information, KIA has cooperated  
4 with INAC and the Proponent to seek a means in  
5 order to avoid double payments. We've talked with  
6 INAC for many years, since -- five or six years  
7 would be a rough estimate about this issue, but to  
8 date, we have been unsuccessful to come to a  
9 resolution.

10 KIA will remain open to searching for a  
11 solution with INAC and the Proponent on this topic,  
12 but it should be noted that we've already spent  
13 several years on this matter, and frankly, we  
14 expect that if there's to be any resolution, it  
15 will likely be an issue for industry, INAC, and  
16 possibly the Board to resolve because we've spent a  
17 lot of time trying to figure this out already and  
18 haven't come to any fruitful result yet.

19 So we believe that this issue will not go away  
20 without the Nunavut Water Board addressing this  
21 issue. We're hopeful that the Minister will  
22 consider alternate and innovative forms of security  
23 as per the INAC reclamation policy.

24 In conclusion, the KIA supports appropriate  
25 mining development in the Kitikmeot because it has  
26 important responsibilities to Kitikmeot Inuit to

1 balance economic development with social  
2 development, environment protection, and to protect  
3 the land, water, wildlife, and Inuit lifestyles.

4 And the KIA continues to support the  
5 development of Miramar's Doris North Gold Mine.  
6 Miramar and KIA have signed an IIBA related to this  
7 project, and this IIBA has already been reviewed  
8 and approved by the Minister of INAC and is now in  
9 legal force.

10 As part of or at the same time as the IIBA  
11 negotiation occurred, KIA and Miramar came to an  
12 agreement regarding Inuit water rights in Article  
13 20, and there's now a compensation agreement  
14 between KIA and Miramar. KIA is satisfied that our  
15 compensation concerns have been addressed.

16 KIA is the landowner and is involved in surface  
17 land management, including licensing and leasing on  
18 Inuit-owned land. The Doris North Project is  
19 almost completely on Inuit-owned land, and an  
20 important item that remains outstanding is  
21 completion of the land lease that Miramar will  
22 require before it can start building its mine at  
23 Roberts Bay.

24 In this presentation, we identified issues and  
25 provided recommendations to the Board related to  
26 the duration of the water license, water

1 management, and monitoring, among others. We have  
2 provided a reclamation security estimate for the  
3 entire site of the Doris North Project based on a  
4 reclamation model, which is based on Inuit values,  
5 Inuit reclamation objectives, and Inuit  
6 consultation.

7 KIA's reclamation estimate for Inuit-owned land  
8 for the land and water is \$11.7 million. This  
9 security is subject to minor adjustments and will  
10 have to be furnished as part of the land lease for  
11 Inuit-owned land, which is yet to be completed.

12 The KIA hopes that our input has been helpful  
13 to the Board, the public, and to the interveners,  
14 and this concludes our presentation, and our panel  
15 is available to answer any questions.

16 Thank you, Mr. Chairperson.

17 THE CHAIR: Thank you, KIA. We will  
18 recess for 5 minutes.

19 (BRIEF ADJOURNMENT)

20 COMMUNITY PRESENTATION BY MHL:

21 THE CHAIR: Welcome back, everyone.  
22 First of all, I'd like to welcome the people from  
23 Bay Chimo, Bathurst Inlet, and Cambridge Bay, and  
24 if you would introduce yourselves, and then once  
25 they're done, the Applicants will introduce  
26 themselves, and the Board Members will also



1 introduce themselves as well.  
2 MR. KANIAK: I'm Logan Kaniak from Bay  
3 Chimo.  
4 MS. KANIAK: Mary Kaniak, Bay Chimo.  
5 MS. KLENGENBERG: Emma Klengenberg from Bay  
6 Chimo.  
7 MR. KLENGENBERG: I'm Clarence Klengenberg.  
8 Good to see you all.  
9 MS. PANEGYUK: I am Ella Panegyuk from  
10 Bay Chimo.  
11 MS. HANILIAK: Lucy Haniliak from  
12 Bathurst Inlet.  
13 MR. HANILIAK: John Haniliak, Bathurst  
14 Inlet.  
15 MS. HANILIAK: Nancy Haniliak from  
16 Bathurst and Bay Chimo area.  
17 MS. KAKOLAK: Eileen Kakolak from Bay  
18 Chimo.  
19 MR. PANEGYUK: George Panegyuk, Bay  
20 Chimo.  
21 MR. CONNELL: Mr. Chairman, thank you.  
22 Thank you for coming. We welcome you here. Thank  
23 you for coming.  
24 My name is Larry Connell. I'm General Manager  
25 of Environment with Miramar Mining, and I'll ask  
26 the people at this table to introduce themselves to

0210

1       you. Can I start with Nathan at this end?  
2       MR. SCHMIDT:               Nathan Schmidt from  
3       Golder Associates.  
4       MR. ASH:                   Gary Ash with Golder  
5       Associates.  
6       MR. RYKAART:               Maritz Rykaart with SRK  
7       Consulting.  
8       MR. MALOOF:               Terri Maloof, Miramar  
9       Mining Corporation.  
10      MR. CHAPMAN:               John Chapman, SRK  
11      Consulting.  
12      MS. VALIELA:               Diana Valiela, Lawson  
13      Lundell.  
14      MS. McIVOR:               Katheryn McIvor with  
15      Miramar.  
16      MR. CURRIE:               Jim Currie, Miramar  
17      Mining.  
18      MR. BUCHAN:               Alex Buchan with Miramar  
19      Mining.  
20      THE CHAIR:               Board Members?  
21      MR. TOOMASIE:              Lootie Toomasie,  
22      Taloyoak.  
23      MR. HANSON:               I'm Bob Hanson from  
24      Iqaluit.  
25      THE CHAIR:               Thomas Kabloona, I'm from  
26      Baker Lake.

1 MR. KUSUGAK: Geoff Kusugak, Rankin  
2 Inlet.  
3 MR. PORTER: George Porter from Gjoa  
4 Haven.  
5 MR. KAKKIARNIUN: Guy Kakkiarniun from  
6 Kogali (phonetic).  
7 THE CHAIR: Now, we have another  
8 Board Member, also a Board Member, he could not  
9 make it due to the bad weather. And if you have  
10 any questions for the water license application,  
11 you can ask them any questions any time right now.  
12 I've changed the menu.  
13 Perhaps the Applicant can give the presentation  
14 to the community members from Bathurst and Bay  
15 Chimo, and they, in turn, can ask questions maybe  
16 after you do your presentation.  
17 MR. CONNELL: Thank you, Mr. Chairman.  
18 Yes, that would be fine. Again, thank you for  
19 coming and joining us.  
20 I'm going to give you a fairly short  
21 presentation of what the Doris North Project is all  
22 about. I'm going to start off with giving you an  
23 overview of what the project is.  
24 The project is located about 105 kilometres to  
25 the southwest of Cambridge Bay. It's located on  
26 the Hope Bay Greenstone Belt at the north end, just

1 off of -- about 5 kilometres inland from the coast.  
2 Here's Umingmaktok, here's the Jericho mine, just  
3 to put things in perspective.

4 The project is all on Inuit-owned land. The  
5 minerals are owned by Nunavut Tunngavik Inc., and  
6 the Doris North Project will be a small underground  
7 gold mine. It's expected to produce 311,000 ounces  
8 of gold from 460,000 tons of ore over a two-year  
9 mine life.

10 This is a short-term but very profitable  
11 project that's located in an area with significant  
12 potential for growth, and we anticipate that this  
13 will be the start of further development in this  
14 area.

15 The footprint for this project is approximately  
16 54 hectares. This is a plan or a map view of the  
17 site. This is the ocean down here. This white  
18 here is the ocean, that's Roberts Bay. Here's the  
19 jetty, which is a rock-filled structure for  
20 receiving our supplies. There's a roadway that  
21 goes about 5 kilometres inland, and here's where  
22 the plant and the camp will be built. The  
23 underground mine is in this location here. It's  
24 under the ground. It will go in the hillside and  
25 then go under. The ore will come to surface, be  
26 milled. The waste from the milling will go to Tail

1 Lake and will be placed underwater in Tail Lake.

2 This is a view looking from Doris Lake looking  
3 to the north, looking out towards Roberts Bay.  
4 This is the Doris mesa. The mill and the camp will  
5 be built in this area here on that rock outcrop.  
6 The entrance into the underground mine will be in  
7 this hillside here and would be by a tunnel going  
8 into the ground, and the ore body is actually below  
9 the ground over here.

10 This is a map showing the facilities that are  
11 down on the ocean, so this is the shoreline, this  
12 is Roberts Bay, and this is the jetty where the  
13 barges will come in. We have a quarry to get some  
14 construction rock here. There will be a fuel tank  
15 here, and this is a big pad for the storage or for  
16 the placement of the supplies that come from the  
17 barges to the site so that they could be put on the  
18 ground here and then trucked up to the plant site.

19 We started development of this project this  
20 year so that we can receive the construction  
21 supplies this coming summer. This was done with  
22 the permission of the KIA.

23 So this is the jetty, this is the rock-filled  
24 jetty being constructed. You can see it's filled  
25 into the -- it's rock placed in the ocean. This  
26 black material is a plastic material that goes

1 underneath the fill in order to help protect the  
2 sediments at the bottom. This that you see around  
3 the edge is a curtain that was put there during  
4 construction so that the mud that we generated by  
5 building this was kept inside this curtain until it  
6 settled out and didn't pollute the water around it.  
7 This is the quarry where the fuel tank will be  
8 built, and this is the lay-down area being prepared  
9 for the arrival of this year's construction  
10 supplies.

11 How will the ore be mined? It will be an  
12 underground mine. It will use open stoping and  
13 mechanized fill methods. The access will be from  
14 surface using a ramp. That ramp will be built  
15 4-metres high by 5-metres wide, about 900 metres  
16 long, and it will go into the ground at about a 10  
17 percent grade.

18 The lowest level within the mine is  
19 62-and-a-half metres below the surface. That's the  
20 lowest point that we're going down to. We will  
21 have three vertical holes that come from the  
22 surface back into the mine to provide fresh air for  
23 the people working there and also to provide a  
24 second route of exit if this hole were to be  
25 blocked for any reason.

26 The cycle for mining underground is that we,

1 first of all, drill off the ore and waste rock. We  
2 then load those holes with explosives and blast it.  
3 The blast rock after the blast is scaled, pulled  
4 off the roof, and then we put bolts into the roof  
5 to make sure that the roof is secure so that the  
6 roof does not fall back onto our heads as we work.

7 The broken rock is loaded into underground haul  
8 trucks and brought to surface. The ore is brought  
9 to surface and goes into the mill. The waste rock  
10 will go into other holes in the underground mine to  
11 be used to fill the holes, or what we can't do  
12 immediately will come to surface, be stored, and  
13 then go back underground.

14 This is -- the next thing I'm going to cover is  
15 the processing of the ore in the mill. The mill is  
16 the plant in which we extract the gold from the  
17 rock. We start off by bringing the ore that's come  
18 up from underground and putting it through the  
19 crusher, and the crusher breaks the larger rock  
20 into smaller pieces of rock, and then that rock is  
21 fed into the mill. So the first phase is to break  
22 the rock up in a crusher.

23 The second phase is to mix the crushed rock  
24 with water and mill it in machines like this,  
25 tumbling mills, that break the rock into a wet  
26 sand. We then recover the particles of free gold

1 using centrifugal force. We spin these particles  
2 at high speed. Gold is heavier, and so it's thrown  
3 out, and we recover about 40 percent of our gold  
4 through this gravity circuit.

5 After the gravity circuit, we then recover the  
6 rest of the gold-bearing minerals by floating them  
7 away. What we do is we treat the ore particles so  
8 that those that contain gold will float off to the  
9 surface. It allows us to take 90 percent of the  
10 weight and send it straight to tailings with no  
11 other treatment or no contact with other chemicals.

12 So if we're milling 720 tonnes per day, only 10  
13 percent of that or 72 tonnes per day goes on to  
14 contact the -- to the leach circuit to be contacted  
15 with cyanide to extract the gold. The remaining  
16 material goes out to tailings.

17 In the leach circuit, we leach the gold from  
18 the rock in this concentrate using a dilute  
19 solution of cyanide. The cyanide puts the gold  
20 into water. We then recover the gold on carbon,  
21 and eventually pull the gold out in the form of a  
22 bar of gold.

23 The slurry after the cyanide leach circuit is  
24 sent on to a cyanide destruction circuit. We  
25 chemically destroy the remaining cyanide so that  
26 it's not released to the environment. We then



1 filter that slurry with a filter cake, a dry filter  
2 cake, going back into the underground mine as  
3 backfill into the holes we've created, and the  
4 solution being recycled in the mill with a small  
5 bleed solution going off and being mixed with this  
6 solution here, which goes out to tailings.

7 Next, I'll cover how much water we're going to  
8 use. The Doris North Project will use about 30,000  
9 cubic metres of water for potable uses; that's the  
10 drinking water, shower water, et cetera, and about  
11 450,000 cubic metres per year for the process.

12 We will try to recover as much of that water as  
13 recycled water from the tailings impoundment, so  
14 that we will try to recycle as much water as  
15 possible from our tailings impoundment to make sure  
16 that we minimize the amount of fresh water we use,  
17 but we will still have to use fresh water. We also  
18 have three internal recycle streams inside the mill  
19 where water is recycled so that we, again, minimize  
20 our use of fresh water.

21 The project is already -- Miramar, through this  
22 project, has already reached an agreement for an  
23 Inuit Impact Benefits Agreement with the KIA that  
24 was signed in 2006 and is now in force. We've also  
25 signed with KIA a water rights compensation  
26 agreement to compensate for Inuit water rights

1 under the Nunavut Land Claims Agreement.

2 In addition, we have been working with the  
3 Department of Fisheries and Oceans to compensate  
4 for the fish that will be lost by the construction  
5 of this project, the habitat for fish, because  
6 we're using this lake as a place to put our waste,  
7 so we're compensating by trying to create places  
8 where fish can better utilize their habitat and  
9 compensate for the loss of fish within Tail Lake.

10 Now, I'm going to go on to waste disposal. The  
11 types of waste to be managed at the Doris North  
12 Project, the largest one is the mill tailings  
13 slurry. And as I said, that's going to be sent to  
14 the Tail Lake and disposed underwater within the  
15 tailings containment area. I'm going to talk about  
16 that a little more in a few minutes.

17 The cyanide leach residues after it goes  
18 through the cyanide destruction circuit we're going  
19 to filter, and that's sent underground as backfill  
20 to fill the holes underground.

21 We also are going to have sewage that we create  
22 from the people that live on site. We will have  
23 the sewage treatment plant. We'll treat that  
24 water, and then that water will be sent to Tail  
25 Lake. The solids from the sewage will be filtered  
26 and incinerated; they'll be burned.

1           The nonhazardous solid waste, the garbage of --  
2           two types of garbage, one is the kitchen garbage.  
3           The kitchen garbage will be incinerated. The  
4           material that's not kitchen garbage will be sent to  
5           a landfill. It will be on site, and we're building  
6           that landfill in one of the quarries that we use to  
7           build to get our construction rock.

8           We'll also generate other hazardous waste,  
9           things like batteries, solvents. Those will be  
10          packaged, held on site, and then shipped off site  
11          with the annual sea lift to be either recycled or  
12          to be disposed of in the south.

13          While we don't plan for spills, we know that we  
14          have the opportunity, there is going to be the  
15          chance that we're going to spill some oil onto  
16          ground, and so we're building within the landfill a  
17          lined facility where we can take these soils and  
18          treat them so that they can be returned to the  
19          land, so we can remove whatever contamination we  
20          have put into the soil using -- from petroleum  
21          products.

22          I'm going to now talk about the tailings  
23          containment system. The mine site is located on  
24          Doris Lake. It's at the north end. This is Tail  
25          Lake, and we're going to place the tailings below  
26          water in Tail Lake. So to do that, the first thing

1 we're going to do is build two dams, one at this  
2 end and one at this end, so that Tail Lake is  
3 isolated from the rest of its watershed. If we're  
4 going to put tailings in it, we're going to isolate  
5 it so we can manage and control what goes on within  
6 that lake during our time there. Then after the  
7 mill is started and things are running, we have  
8 tailings, it comes by pipeline, and it's deposited  
9 underwater in the lake. It goes into the deep  
10 holes under this lake.

11 Once we start discharging tailings into the  
12 lake, we'll start to have the water rise in the  
13 lake. So each summer season, we will discharge  
14 water from the lake through a controlled system,  
15 through a pipeline, and discharge to this -- into  
16 Doris Creek outflow, the little creek that flows  
17 from Doris Lake right at the top of the waterfall  
18 so that you get good mixing of our discharge water  
19 with the natural water coming out of Doris Lake.

20 So as the mine operates, the water level in  
21 this lake will rise because we're putting solids on  
22 the bottom of it. After the life of the mine,  
23 after two years, we will stop putting tailings in  
24 the lake, but we will continue to discharge water  
25 through this controlled system. So over time, we  
26 will lower Tail Lake back to its original water

1 level, but the solids will remain below the water,  
2 and that will take somewhere in the order of three  
3 to five years.

4 After the lake has returned to its natural  
5 level, we'll ensure that the water quality here is  
6 adequate for discharge now without using the  
7 managed pipe system, and when we determine that is  
8 the case, we will then breach this dam and allow  
9 the water to then flow in an unregulated fashion  
10 back to the way it was. At no time will tailings  
11 solids be visible. They will always be below  
12 water.

13 I'm going to now pass on to water management,  
14 how we manage water at the project. We have two  
15 types of water to manage. The first is the storm  
16 water, the rain water, and the snowmelt at the  
17 plant site, at this landfarm, and our landfill, and  
18 also within the containment liners of our fuel  
19 tanks. And the second water we have to manage is  
20 that water released from the tailings containment  
21 area from Tail Lake.

22 For the -- just going back. For the storm  
23 water what we do is basically through berms make  
24 sure that water that falls on the land is diverted  
25 away from our buildings and our structures so that  
26 we don't contaminate that water. Water that comes

1       into contact with the waste rock and the ore on  
2       surface will be collected in a pond and sent to  
3       Tail Lake so it doesn't escape into the  
4       environment. Water that collects within the fuel  
5       containment facilities will be pushed through --  
6       will be pumped through the treatment system, an  
7       oil/water separator to remove any oil, and then it  
8       will be discharged onto the tundra.

9       Looking at Tail Lake, the management for the  
10      way we would release water from Tail Lake is set up  
11      to meet two criteria. The first criteria is the  
12      metal mine effluent regulations set under the  
13      Fisheries Act. If our water quality does not meet  
14      that criteria, we will not discharge. We will only  
15      discharge when it meets this criteria under the  
16      Fisheries Act, and that includes the requirement  
17      that the water be not toxic to fish.

18      But we're also committing that the water that  
19      we discharge into Doris Creek at a point below the  
20      waterfall, that this waterfall within Doris Creek  
21      will meet what's called the CCME guidelines. This  
22      is the Canadian Council of Ministers of the  
23      Environment. And these are guidelines that have  
24      been set right across Canada to ensure protection  
25      in the receiving environment of all aquatic life.

26      The other objective of our management strategy

1 is to keep the rise of water in Tail Lake to a  
2 minimum, because as the water rises, we increase  
3 the risk of shoreline erosion. So we want to keep  
4 that rise of water in Tail Lake to a minimum.

5 So you've seen this picture before, and I'll  
6 just quickly go through it again. The dams are now  
7 built. We now have the pipeline constructed, and  
8 the tailings have now been discharged into Tail  
9 Lake. In the first year, once the open-water  
10 season occurs, we will measure the flow of water  
11 down this creek. We will measure the water quality  
12 of the creek. We will measure our water quality  
13 here, and we will determine how much water we can  
14 safely discharge to meet those criteria I gave you  
15 in the last slide. We will then actively pump  
16 water in a managed and controlled fashion to meet  
17 those criteria. And that will go on each summer  
18 during the open-water season only. During the  
19 winters, there will be no discharge. The system  
20 will sit dormant. The tailings will collect until  
21 the following open-water season.

22 So as I said before that over time, the Tail  
23 Lake water level will rise, and after mine closes,  
24 the water level will -- we'll continue to discharge  
25 the same system to meet those same criteria, and  
26 the water level will, in time, drop. Once things

1 have returned to the same level and condition and  
2 we know that this water can be safely discharged,  
3 we will breach the dam and allow the system to go  
4 back to the way it is right now.

5 This is a picture of the waterfall that you saw  
6 on the last slide. Our discharge from Tail Lake  
7 will be discharged behind this person into this  
8 creek in a spot where there's bedrock so that we  
9 don't cause bank erosion. The water will then mix  
10 with the water coming out of Doris Lake, and we  
11 will monitor below this point to ensure that the  
12 water meets those CCME criteria.

13 So the two guidelines we're meeting is, one,  
14 our water has to meet the MMER guidelines set in  
15 the Fisheries Act, and downstream here, the  
16 monitoring will show that we meet the CCME  
17 guidelines to protect aquatic life. Both of those  
18 will be monitored and reported to the Water Board  
19 as part of our ongoing monitoring programs to  
20 ensure that we have successfully met the criteria  
21 to protect the environment.

22 Miramar has created an environmental management  
23 system for the project that's designed to help us  
24 train employees on how to meet the commitments and  
25 things that we have put forward as a company to  
26 meet these objectives.



1           An environmental management system is a  
2       systemized program that's based on the principle of  
3       before you do something, you plan it. You plan it  
4       out, and then you go and do it. But after you've  
5       done it, you then check to see what happened. If  
6       everything's okay, you act again. If it's not  
7       okay, you make a change before you act, and then  
8       you act and do it again, but you check again. And  
9       you continually do this on an environmental  
10      performance in a circle to make sure that we're  
11      continually improving our performance and that  
12      we're checking what is happening.

13         The environmental management system consists of  
14      a whole series of management plans that we've  
15      already written and have presented to the Water  
16      Board, and these are the guidance documents that  
17      employees will use to make sure that they operate  
18      the mine in accordance with these procedures so  
19      that we protect the environment. These plans will  
20      be updated on a regular basis so that the things we  
21      learn, the experience we gain is being built back  
22      into these plans so that the employees have the  
23      best information to keep the system working as it's  
24      designed.

25         We also, as part of that system, have a  
26      monitoring plan, and the monitoring plan includes

1 monitoring all of these areas. Obviously water  
2 quality is a critical one, but there's also a lot  
3 of other areas we're also doing monitoring on a  
4 regular basis, and that will be part of our water  
5 license monitoring and reporting of the water -- of  
6 these -- of the outcome of this monitoring to the  
7 Water Board to make sure that we are performing in  
8 accordance with the commitments we've made.

9 This program has been set so that we exceed all  
10 legislative requirements and so that we meet the  
11 project certificates that were set in the NIRB  
12 project certificate.

13 Now, I'm going to go into planning for  
14 reclamation, when we close the mine. What happens  
15 at mine closure? The first thing is all of the  
16 waste rock and ore that's left on surface will be  
17 removed. We'll mill the ore. The waste rock will  
18 go back underground to fill the holes, and then we  
19 will seal the underground mine.

20 This underground mine is in the permafrost.  
21 It's a frozen condition, so once we seal the mine  
22 up, it will remain in a frozen condition.

23 The mill building itself will be cleaned out to  
24 remove all the chemicals and all the slurry in it,  
25 and then we'll dismantle the building and remove  
26 it. All the chemicals, hydrocarbons, the fuels,

1 hazardous materials, they'll be removed from the  
2 site and taken back south for recycling or for  
3 alternate disposal.

4 Equipment and buildings that are no longer  
5 needed, they'll be cleaned up and then dismantled.  
6 The buildings that we need during this reclamation,  
7 they'll ultimately be removed as well. So the  
8 intent is that all structures and buildings that we  
9 put on the site will ultimately be removed.

10 The equipment and buildings that has no  
11 salvage -- or has salvage value, that will be  
12 shipped back south by sea lift. Material that has  
13 no salvage value that we take down from the  
14 demolition will be buried in a landfill, and that  
15 landfill will be located in one of the quarries.

16 As we said before, Tail Lake will be returned  
17 to its pre-development level. The tailings will be  
18 at the bottom of the lake where the lake will  
19 return to its current water level. You will not  
20 see the tailings on surface.

21 These are just two views on what the site would  
22 look like after closure. This shows Tail Lake back  
23 to its normal present level. The south dam will  
24 still be there, the road will still be there, and  
25 these quarries will still be here, but the mill  
26 site, all the buildings have been removed, the

1 bridge across the creek has been removed.

2 This is a similar view, now looking from  
3 Roberts Bay looking to the south. So here's Doris  
4 Lake. Here's Tail Lake. The jetty is gone. It's  
5 been removed down below water level. And the roads  
6 though, the trace of the roads still remains. We  
7 haven't picked the roads up because to actually dig  
8 these roads back up, to dig the rock back up, we'd  
9 actually disturb the surface of the ground, and so  
10 we've left the rock in place, and that will grow  
11 over with time.

12 That gives you a quick overview of the project,  
13 and we'd be very happy to answer questions, any  
14 questions you have on our application for a water  
15 license. Thank you very much.

16 Mr. Chairman?

17 THE CHAIR: Thank you. Any  
18 questions? If there's any questions and if you  
19 have any questions to Miramar, this is the time to  
20 ask them.

21 COMMUNITY COMMENTS AND QUESTIONS:

22 MS. HANILIAK: I'm Nancy Haniliak from  
23 Bathurst and Bay Chimo area. That Doris North,  
24 when is it going to be open? And if before it  
25 open, maybe you could let the Elders of Bathurst  
26 and Bay Chimo area go to that area, and maybe you

1 guys could show us whereabouts it's going to be.  
2 THE CHAIR: Miramar?  
3 MR. CONNELL: Thank you, Mr. Chairman.  
4 I'm going to let Alex Buchan answer that question.  
5 He's our community liaison person. I'm going to  
6 let him answer that question.  
7 MR. BUCHAN: Thank you, Mr. Chairman.  
8 We have a regular schedule of visits, annual visits  
9 to site that we have in place, and last year,  
10 Elders from across the Kitikmeot were invited to  
11 attend and take a look at the campsite and take a  
12 look at the area where the mine is proposed to be  
13 built, and we plan on doing that again this year.  
14 In addition to that, bringing in KIA staff that  
15 talk to the Elders in their communities. So that  
16 is part of our plans.  
17 Thank you, Mr. Chairman.  
18 MS. HANILIAK: We're close to that area.  
19 We would like to see what part and what area it's  
20 going to be done and worked at. We would like to  
21 see where it is and where it will be done, so it  
22 would be really a pleasure for us Inuit from  
23 Bathurst and Bay Chimo area to see where it's going  
24 to be done.  
25 THE CHAIR: Miramar?  
26 MR. BUCHAN: Yes, thank you,

1 Mr. Chairman. We totally agree with that, and that  
2 work is being done in order to show the Inuit where  
3 we plan to do the development work, and I thank you  
4 for bringing that up. That is an important  
5 consideration. Thank you.

6 MR. CONNELL: Mr. Chairman, there was a  
7 first part of that question that we didn't answer,  
8 and I -- just give me a sec.

9 You asked us though when things would happen,  
10 when things would start. If we get a water  
11 license, and that's up to the Board, construction  
12 would actually start early next year in the winter,  
13 and operation of the mine would start underground  
14 late in 2008, next year, and the mill will start up  
15 actually late in 2008. The mining underground will  
16 start up earlier in the year. So we're looking at,  
17 if we get a water license, construction would start  
18 this coming winter, and the operation would start  
19 late next year.

20 MS. HANILIAK: Thank you, Mr. Chairman.  
21 Like when Miramar first opened Windy Lake and  
22 Boston, they kind of promised us everything, and we  
23 kind of never see everything yet, and we would like  
24 to see what's happening when this project is  
25 opening. And for our Elders, especially for our  
26 Elders, they would like -- they want to kind of

1 understand what's going on, and we'd like to see  
2 you people bring us up there and show us -- kind of  
3 show us where it's going to be really done.  
4 THE CHAIR: Miramar?  
5 MR. BUCHAN: Thank you, Mr. Chairman.  
6 We're working actively through the Kitikmeot Inuit  
7 Association community liaison officers in order to  
8 coordinate these trips, and once a date has been  
9 set, the communities and the Elders will be  
10 informed when those trips occur. Thank you.  
11 THE CHAIR: Any more questions?  
12 MS. HANILIAK: Thank you, Mr. Chairman.  
13 Ever since Miramar opened, we kind of like, I  
14 mean -- like they promised us everything, and we  
15 never see what they promised us, and we'd like to  
16 see what goes on this time.  
17 THE CHAIR: Miramar?  
18 MR. BUCHAN: Maybe just a point of  
19 clarification, what sort of promises are being  
20 mentioned, just for our information? I just wanted  
21 to know what sort of promises are involved. Thank  
22 you, Mr. Chairman.  
23 MS. HANILIAK: Thank you, Mr. Chairman.  
24 Like they promised us they would like to -- they  
25 would come to our communities once in a while, like  
26 maybe once a month or twice a month, but we never,

1 ever did see that from Miramar. They don't ever  
2 come to Bathurst and Bay Chimo area. Sorry,  
3 Mr. Chairman. They kind of want to go to Bathurst  
4 and Bay Chimo for a meeting or, you know, come and  
5 talk to us and hire from our area, but they kind  
6 of -- I don't know, whatever, sorry.

7 THE CHAIR: Miramar?

8 MR. CURRIE: As the senior Miramar  
9 representative here, I can assure you that Alex  
10 Buchan here will come to visit you in Bathurst and  
11 Bay Chimo before October; would that be fair?  
12 Thank you, Mr. Chairman.

13 MS. HANILIAK: Like, I'm saying they  
14 always promise to come and visit us, but we don't  
15 ever see anybody come around to visit us from  
16 Miramar or wherever.

17 THE CHAIR: Miramar?

18 MR. CURRIE: If Mr. Buchan does not  
19 come to visit you, he will be in big trouble with  
20 me, so I promise you he will come.

21 MS. HANILIAK: My husband worked for  
22 Windy Lake for -- ever since it opened, and they  
23 promised to visit us, but they don't ever come and  
24 visit us to have meetings. They promised to come  
25 and have a meeting with us and everything, but they  
26 don't ever show.



1 THE CHAIR: Miramar?  
2 MR. BUCHAN: Mr. Chairman, there's  
3 been a number of points of contact with the  
4 communities in the Kitikmeot with regards to our  
5 project. I guess a lot of these points of contact  
6 are in relation to the development of specific  
7 plans related to Doris North, and as far as I'm  
8 aware, in the case of the development of our plans,  
9 the community of Umingmaktok has been consulted  
10 with, so I don't know how to respond other than  
11 that.  
12 I understand we've received input from  
13 community members. We've received input from the  
14 harvesters in that area. We've spoken to the  
15 people that have used that particular piece of area  
16 or land for harvesting purposes in the past, so I  
17 don't know how to respond other than that,  
18 Mr. Chairman.  
19 THE CHAIR: Thank you. Any more  
20 questions?  
21 MR. HANSON: Thank you, Mr. Chair.  
22 Nancy, I think the most important thing to know,  
23 from what I've just heard, is that this  
24 organization has offered to come and send somebody  
25 to your community, and you've stressed that point  
26 over and over again.

1           And I guess now it's something that they have  
2       said they were going to do, and maybe there's other  
3       people that said they were going to come and didn't  
4       come. They are. And I appreciate what they're  
5       saying is they talked to the people of the  
6       Kitikmeot area.

7           You're here, you want to be heard, and that's  
8       what you want. Make sure they understand that.  
9       We're listening to you. You tell us what the  
10      problem is, and we'll make sure hopefully it can  
11      get fixed, but we appreciate what you're telling  
12      us, thank you very much, but I do appreciate what  
13      Alex is saying and what the Vice President is  
14      saying, he will be there; if he doesn't, he will be  
15      in trouble, so I think he will be there for sure.

16          So what we want to do now is hear from all of  
17      you, and basically every one of you. If you want  
18      to talk to us, this is your opportunity to talk to  
19      us. You came by charter; please tell us what your  
20      concerns are.

21          Any other concerns on what's happening with the  
22      animals, with anything? I mean, we have to hear  
23      from you. That's why we're here, and our decision  
24      will be made once we hear all the evidence, not  
25      until. So you must tell us. Thank you.

26      THE CHAIR:                      Any more questions?

1 MS. KLENGENBERG: Can we have a few  
2 minutes? Hi, I'm Emma Klengenberg, daughter of  
3 Clarence. I'm just wondering if they can have at  
4 least 5 minutes to themselves to see if they come  
5 up with anything, any other problems, or something  
6 to do with wildlife.  
7 THE CHAIR: We'll recess for 5  
8 minutes.  
9 (BRIEF ADJOURNMENT)  
10 THE CHAIR: Shall we reconvene? Do  
11 we have any questions from the public to the  
12 Applicant?  
13 MS. HANILIAK: Thank you, Mr. Chairman.  
14 We just had a short break. I will take Bathurst  
15 and Bay Chimo. We would like to keep our water  
16 clean, be careful with our fish or wherever you are  
17 blasting.  
18 THE CHAIR: Miramar?  
19 MR. CONNELL: Thank you, Mr. Chairman.  
20 We understand that, and our work plans that we have  
21 are intended to provide that. The blasting for the  
22 operational applies -- will all be underground. We  
23 won't be doing the blasting on surface. The  
24 blasting on the surface will just be during that  
25 construction phase, in this first part of the  
26 phase.

1           We actually did some blasting on site this  
2       spring, and we had a team of people on site who  
3       actually had devices on the site to monitor the  
4       vibration because we were close down to the Roberts  
5       Bay, and we wanted to measure that vibration to  
6       make sure that we didn't harm the fish, or if we  
7       were getting too much vibration, that we could  
8       reduce the size of blast or change our blast, so we  
9       have built that into our plan to make sure that  
10      when we blast, we're being as protective as we can  
11      of the resources.

12           And our work plans, as we presented to the  
13      Board, are intended to keep the water clean.  
14      That's our intent too. We understand that that's  
15      very important, and our system is intended to work  
16      to that aim, to keep the water as clean as we can,  
17      and to limit the amount of water that we actually  
18      use. Where possible, we'll try to recycle water  
19      from our Tail Lake rather than take new water.

20      MS. HANILIAK:                      Thank you, Mr. Chairman.  
21      The materials you use and whatever you guys using  
22      with -- are they harmless to our water?

23      THE CHAIR:                          Miramar?

24      MR. CONNELL:                        Thank you, Mr. Chairman.  
25      For the large part, a lot of the materials used are  
26      harmless, but we do have materials that are harmful

1 to water, and those are the materials that we have  
2 to manage in such a way that they are protected  
3 from the water, and that is why we have the -- in  
4 the milling process, where we use some harmful  
5 chemicals, that's why we have this cyanide  
6 destruction circuit, where we actually chemically  
7 treat that water so that we don't damage the water  
8 that we release to the environment.

9 And we spent this whole period of designing  
10 this strategy for how we manage the water in Tail  
11 Lake to be protective of the water downstream.  
12 Those criteria that I mentioned, the CCME guidance,  
13 those are numbers that are set not by us but set by  
14 the Government of Canada in consultation with all  
15 the provinces and the territories that are meant to  
16 ensure that if we meet those levels in water, that  
17 that will be protective of all aquatic life, and  
18 that's -- what we're asking the Board to set is  
19 what we must adhere to.

20 MS. HANILIAK: Thank you, Mr. Chairman.  
21 Do you guys blast underwater, or what kind of  
22 materials do you use to do your work in the water?

23 THE CHAIR: Miramar?

24 MR. CONNELL: Thank you, Mr. Chairman.  
25 We do not do any blasting; this project doesn't do  
26 any blasting underwater. We don't do any mining

1 under the water. The only construction work that's  
2 going on with the water was that jetty that you saw  
3 being built, and you saw what we did to it, put the  
4 curtain around to make sure that the mud that we  
5 stirred up was kept in place and didn't get a  
6 chance to go out beneath the water. That's the  
7 only activity we have that's actually in water.  
8 The other use of water, of course, is our  
9 tailings. We're putting tailings in Tail Lake, and  
10 as you saw, we're building dams there to make sure  
11 that no water gets out of that Tail Lake until it's  
12 on a managed system, and that's what part of the  
13 application is with the water license. Thank you.  
14 MS. HANILIAK: Thank you, Mr. Chairman.  
15 THE CHAIR: Any further questions?  
16 MS. KANIAK: Thank you, Mr. Chairman.  
17 I don't fully understand, but I have heard the  
18 water, it's hard to -- if water has fish, and I'm  
19 sure you know how to relocate fish by now. The  
20 work site, the project, perhaps maybe some -- I'm  
21 just commenting on some of the stuff that I heard,  
22 that some of the rocks may be dangerous or  
23 contaminated.  
24 THE CHAIR: Miramar?  
25 MR. CONNELL: Thank you, Mr. Chairman.  
26 The materials that we produce that could be harmful

1 to water are not stored where they can come in  
2 contact with fish or with water. The milled rock,  
3 the rock we mine goes into the mill. It's  
4 processed through the mill, and it's turned into a  
5 fine sand. That sand is our tailings; that's our  
6 waste product. That's placed underwater in Tail  
7 Lake, and Tail Lake is sealed off, so that during  
8 the life of the mine, Tail Lake is isolated from  
9 the downstream environment, and we only release  
10 that water when it meets the criteria that I had on  
11 the slide. And that's intended to make sure that  
12 the water that comes out of our system is  
13 protective and safe to fish. So we do have in  
14 place the plans to protect fish.

15 We also are required under the Fisheries Act to  
16 take the fish out of Tail Lake because Tail Lake is  
17 going to be used as a tailings impoundment, and we  
18 have to do measures in other waters to compensate  
19 for the loss of the fish in Tail Lake because that  
20 we'll be using for tailings. That's no longer  
21 viable for fish, and so we have to compensate  
22 elsewhere for that fish, and we've worked with the  
23 Department of Fisheries and Oceans to put on the  
24 table things that we will do in order to compensate  
25 for that fish. And it's not monetary compensation.  
26 What it is is to replace habitat or create

1 techniques for fish to pass through places they  
2 can't pass now so that there's not an overall loss  
3 of fish in the area.

4 THE CHAIR: Any more questions? If  
5 you don't have any more questions, thank you for  
6 coming here.

7 MS. HANILIAK: Thank you, Mr. Chairman.  
8 When are you guys planning to start this project on  
9 doing -- checking on water and stuff like that?

10 THE CHAIR: Miramar?

11 MR. CONNELL: Thank you, Mr. Chair.  
12 Some very good questions.

13 We have already started checking on water.  
14 We've been doing it in 2004, 2005, 2006. We're  
15 doing it again this year, and we will continue to  
16 do that through the construction phase, and we have  
17 a program of monitoring that will continue during  
18 the life of the mine and after the life of the  
19 mine, with the results from those all being given  
20 to the Water Board so that they too can confirm  
21 that the monitoring we're doing is truly protective  
22 of the water. So we've already started on  
23 monitoring water, and that will continue through  
24 construction, it will continue through the  
25 operations, and it will continue until we -- into  
26 closure, until we can demonstrate that we can now



1 leave the site, and the water quality won't -- is  
2 not harmed.

3 MS. HANILIAK: Do you have any Inuit  
4 working with you or just Kabloonas?

5 THE CHAIR: Miramar?

6 MR. BUCHAN: Thank you, Mr. Chairman.  
7 As mentioned previously in our presentations, we do  
8 have an Inuit Impact and Benefit Agreement that we  
9 have negotiated and successfully concluded with the  
10 Kitikmeot Inuit Association. Part of that  
11 agreement calls for Inuit employment, promotion of  
12 Inuit employment and promotion of contracting to  
13 Inuit business.

14 As part of our exploration program thus far,  
15 excluding activities related to Doris North, I  
16 believe that we have a fairly strong record in  
17 terms of using Inuit companies and employing Inuit.

18 As I understand right now, as of last year in  
19 our exploration program, we've approached around 30  
20 percent Inuit employment in our exploration program  
21 with a lesser amount of Inuit content on the  
22 business side of things.

23 So to answer the question, there is Inuit  
24 involvement in our project, and we hope to see more  
25 Inuit involvement in the future. Thank you.

26 THE CHAIR: Thank you. Any more

1 questions?

2 MS. HANILIAK: Thank you, Mr. Chairman.

3 It would be really nice if Bathurst and Bay Chimo  
4 could get -- if you guys could get somebody from  
5 Bay Chimo or Bathurst to join this project because  
6 it's so very close to Bathurst and Bay Chimo.

7 THE CHAIR: I need to remind that  
8 this is a water application, and as I indicated  
9 earlier, our mandate is water and water only, and  
10 it would be unfair for us or any Member to make any  
11 comments on this matter. Thank you. Thank you  
12 very much for coming.

13 We would like to reconvene with the  
14 interveners, KIA/NTI. Shall we proceed with the  
15 Applicant questioning to the interveners?

16 MHLB QUESTIONS KIA/NTI:

17 MR. CONNELL: Thank you, Mr. Chairman.

18 We have four questions we wanted to ask the KIA.

19 I'm going to ask the first two and then pass it to  
20 John.

21 The first one a question really that I think is  
22 hopefully to get to a point of misunderstanding  
23 between us, rather than a point of disagreement,  
24 and it's related to Slide 31, which was labelled  
25 "Reporting Requirements". In that slide, it was  
26 indicated the KIA suggests that short monthly

1 reports be prepared during the first year of  
2 operations to provide confidence that the water  
3 management plan is being applied successfully.

4 Miramar, in its submission, has always believed  
5 that under the water license, we would also be  
6 required to submit monthly reports as part of our  
7 surveillance network monitoring program. We would  
8 have to supply monthly reports and annual reports.

9 So my question basically is could, in KIA's  
10 view, these monthly reports that are required under  
11 the water license for the SNP program also satisfy  
12 the KIA's recommendation under their presentation  
13 for these monthly reports on how we're performing  
14 with the water management plan?

15 MR. MCGURK: This is Michael McGurk.

16 The short answer is yes.

17 MR. CONNELL: Thank you. My next  
18 question is with regards to reclamation security.

19 THE CHAIR: Excuse me, I didn't get  
20 your name.

21 MR. CONNELL: Sorry, Mr. Chairman. The  
22 name is Larry Connell.

23 Second question is with respect to reclamation  
24 security. If INAC provided an indemnity to the KIA  
25 against the liability on the mine activity on  
26 Inuit-owned land, would the KIA then be satisfied

1 with INAC holding the full reclamation security?  
2 THE CHAIR: Interveners?  
3 MR. CLARK: This is Geoff Clark from  
4 KIA.  
5 And our answer is yes.  
6 THE CHAIR: Miramar?  
7 MR. CONNELL: Thank you. John Chapman  
8 is going to ask just a couple of questions with  
9 respect to the water management system.  
10 MR. CHAPMAN: Mr. Chairman, John  
11 Chapman.  
12 In the written submission that was provided by  
13 the KIA, they state that the Board should not  
14 accept exceedences of CCME standards by 20 percent  
15 as a threshold for significance. Based on the MHL  
16 presentation this morning, does the KIA agree that  
17 the level of significance applies to Tail Lake and  
18 not to Doris Creek?  
19 THE CHAIR: Interveners?  
20 MR. MCGURK: Michael McGurk.  
21 Can you elaborate, please, so that I understand  
22 the full context of your question?  
23 THE CHAIR: Miramar?  
24 MR. CHAPMAN: John Chapman,  
25 Mr. Chairman.  
26 In the written submission, there was reference

1 to the standards -- exceedence of the CCME  
2 standards by 20 percent, and the reference is with  
3 regard to the water quality in Doris Creek, but in  
4 the Miramar presentation this morning, it was  
5 explained that that 20 percent applies to Tail  
6 Lake, not to Doris Creek, and the 20 percent  
7 significance would be used in the recalibration of  
8 the model. Does the KIA agree with that?  
9 THE CHAIR: KIA?  
10 MR. MCGURK: Michael McGurk.  
11 The key issue is ensuring that the water  
12 quality in Doris Creek does not exceed CCME  
13 guidelines. If that can accomplished, then the  
14 aquatic ecosystem can be protected. And if I  
15 misunderstood the application of the 20 percent  
16 significance, that was my fault.  
17 THE CHAIR: Miramar?  
18 MR. CHAPMAN: Thank you, Mr. Chairman.  
19 The second question --  
20 THE CHAIR: I didn't get your name.  
21 MR. CHAPMAN: Thank you, Mr. Chairman.  
22 This is John Chapman. I apologize.  
23 In Slide 26 of the -- sorry, I'm referring to  
24 Slide 26 of the presentation and, again, also I'm  
25 referring to the written submission. In the  
26 written submission, there is talk of the -- there

1 should be no exceedence of CCME in Doris Creek, but  
2 in the presentation, in Slide 26, the KIA state  
3 that any potential exceedence of CCME should not be  
4 accepted in Doris Creek. Can the KIA please  
5 clarify what is meant by "potential"?  
6 THE CHAIR: Interveners?  
7 MR. MCGURK: Yes, this is Michael  
8 McGurk.  
9 And I think I was using "potential"  
10 promiscuously. What I meant was that for the  
11 purpose of writing the water license, it should be  
12 simply exceedence of a CCME guideline, but during  
13 your internal water quality management, should you  
14 see the potential for an exceedence through trend  
15 analysis, then we presume that you would use this  
16 as a means of preventing that trend from resulting  
17 in an exceedence of the guideline, but you could  
18 strike that "potential" for the purpose of water  
19 license preparation.  
20 MR. CHAPMAN: Thank you, Mr. Chairman.  
21 THE CHAIR: Miramar?  
22 MR. CONNELL: Thank you, Mr. Chairman.  
23 It's Larry Connell. That is all of our questions.  
24 Thank you.  
25 THE CHAIR: Interveners? Thank you.  
26 Next INAC.

1 INAC QUESTIONS KIA/NTI:

2 MR. McLEAN: Yes, Carl McLean with  
3 INAC.

4 Just have one question for KIA, if I could,  
5 Mr. Chair, and it's related to the reclamation and  
6 closure plan and the estimates for that  
7 reclamation.

8 In the KIA presentation, it says KIA accepts  
9 Miramar security estimate for reclaiming land and  
10 water on IOL, subject to some changes to be  
11 discussed.

12 Now, Miramar's estimate had a breakdown between  
13 land and water, and INAC is wondering if KIA can  
14 explain, maybe for ours and the Board's purposes,  
15 some of the criteria used to split that land and  
16 water in the model. That might be helpful.

17 THE CHAIR: KIA?

18 MR. CLARK: This is Geoff Clark from  
19 KIA.

20 In our exercise of developing an estimate for  
21 reclamation security for Inuit-owned land at the  
22 Doris North Project, we didn't explicitly try to  
23 set up our estimate so that we could -- it was  
24 just -- part of it was for water, and part of it  
25 was for land. We did the reclamation estimate in a  
26 holistic fashion that considered the land and the

1 water together.

2 That being said, there are specific activities  
3 that relate almost entirely to water, and there are  
4 activities that relate almost entirely to land.  
5 And, for example, all of the reclamation activities  
6 related to reclamation of the tailings impoundment,  
7 which would include removing the equipment within  
8 the tailings impoundment, breaching the dam, any  
9 water treatment, shoreline protection, tailings  
10 catch ponds would be considered water-related  
11 reclamation.

12 There is a Miramar plan and ecological risk  
13 assessment for water quality at closure, and  
14 considering it related to water quality, one could  
15 think of that as being a water-related reclamation.  
16 That wasn't in our mind when we were doing the  
17 estimate, but when you go through it afterwards and  
18 you look at it, you could assume that that would be  
19 water-related.

20 And in our estimate, there are -- if I were to  
21 go through it, I could give you other examples of  
22 items that are water-related. And when we looked  
23 at it, as I recall just a few days ago, just to  
24 look at it because I thought there might be a  
25 question, we thought it added up to about 3 or \$4  
26 million, in that ballpark.



1 THE CHAIR: INAC?  
2 MR. McLEAN: Thank you, Mr. Chair.  
3 That was the only question we had.  
4 THE CHAIR: Thank you. Next is  
5 Environment Canada.  
6 MS. LEVENSON: Thank you, Mr. Chairman.  
7 Savanna Levenson on behalf of Environment Canada.  
8 We have no questions.  
9 THE CHAIR: Thank you. DFO?  
10 MS. GORDANIER: Thank you, Mr. Chairman.  
11 Tania Gordanier on behalf of Fisheries and Oceans  
12 Canada, and we have no questions at this time  
13 either.  
14 THE CHAIR: Thank you. GN?  
15 MR. ATKINSON: Thank you, Mr. Chair.  
16 Mike Atkinson, Government of Nunavut. I have no  
17 questions.  
18 THE CHAIR: Thank you. Staff?  
19 MR. TILLEMAN: While we're looking to  
20 see if we have any, I wonder if the audience has  
21 any, and if they -- subject to that, we don't have  
22 any questions.  
23 THE CHAIR: Any questions from the  
24 public? Long day. Go ahead.  
25 MR. TILLEMAN: Yes, sir, when you said  
26 long day, it suggested that we might be close to

1 ending that long day, and so I just wanted to make  
2 sure I had the opportunity to file some exhibits  
3 and hand something out that I promised to do. Is  
4 this an appropriate time to do that, sir?

5 THE CHAIR: Go ahead.

6 MR. TILLEMAN: Thank you very much. So  
7 what I would propose is that we would file and mark  
8 the following three exhibits: Number 5 would be  
9 the agreement that we made with parties today to  
10 put this supplemental information in a table form  
11 and give it to the parties. So we now would  
12 propose to have that marked, and could everyone  
13 come to Dionne at this table and pick up their  
14 copy?

15 You will note that there is one additional  
16 column in that, which is "Intervener Response", and  
17 we would like the parties to write that in, and if  
18 they have any questions, talk to the Applicant and  
19 try to resolve those issues on those seven pages if  
20 they can.

21 Number 6 then would be the hard copy  
22 presentation of the KIA that we just received and  
23 NTI, and number 7 would be the NTI/KIA presentation  
24 in electronic copy. So those are the three  
25 exhibits, sir, and we have the table, once again,  
26 for the parties before they go.

1 THE CHAIR: Bob?  
2 MR. HANSON: Thank you, Mr. Chairman.  
3 Robert Hanson.  
4 If I can, Bill, Exhibit Number 5 is a hard copy  
5 of the question from number 4 that you mentioned.  
6 That number 4 was the electronic copy of the  
7 questions and answers of the intervener by Miramar  
8 and a hard copy of them be made. So that would be  
9 part of your Item 5.  
10 Item 6 would be the NTI electronic copy,  
11 Mr. Tilleman? I just made notes. Number 6 would  
12 be NTI electronic copy. Item 7 would be NTI's hard  
13 copy. Item 8 would be KIA's electronic copy. Item  
14 9 would be KIA's hard copy. Does that meet with  
15 your approval?  
16 THE CHAIR: Bill?  
17 MR. TILLEMAN: Well, if it isn't, we'll  
18 make sure that it's straight tomorrow morning.  
19 EXHIBIT NO. 6:  
20 HARD COPY OF KIA/NTI INTERVENTION  
21 PRESENTATION.  
22 EXHIBIT NO. 7:  
23 ELECTRONIC COPY OF KIA/NTI INTERVENTION  
24 PRESENTATION.  
25 THE CHAIR: Is it a long day yet?  
26 MR. TILLEMAN: Yes, sir.

1 THE CHAIR: We shall adjourn until  
2 9:00 tomorrow morning. Thank you all for coming.  
3 See you tomorrow morning at 9.  
4 (WHICH WAS ALL THE EVIDENCE TAKEN AT 9:10 P.M.)  
5

6 I, Karoline Schumann, Court Reporter, hereby  
7 certify that I attended the above Hearing and took  
8 faithful and accurate shorthand notes, and the  
9 foregoing is a true and accurate transcript of my  
10 shorthand notes to the best of my skill and  
11 ability.

12 Dated at the City of Calgary, Province of  
13 Alberta, this 19th day of August, 2007.  
14  
15

16  
17 Karoline Schumann, CSR(A)  
Official Court Reporter  
18  
19  
20  
21  
22  
23  
24  
25  
26

1	EXHIBITS	
2		PAGE NUMBER:
3	EXHIBIT NO. 1:	
4	HARD COPY OF MHL DORIS NORTH PROJECT PRESENTATION	
5	TO NUNAVUT WATER BOARD, AUGUST 13, 2007.....	88
6	EXHIBIT NO. 2:	
7	ELECTRONIC COPY OF MHL DORIS NORTH PROJECT	
8	PRESENTATION TO NUNAVUT WATER BOARD, AUGUST 13,	
9	2007.....	88
10	EXHIBIT NO. 3:	
11	SRK CONSULTING MEMO FROM DR. RYKAART, REGARDING	
12	DISCHARGE LOCATION AND WATER QUALITY AND MONITORING	
13	PLAN, DATED AUGUST 11, 2007.....	89
14	EXHIBIT NO. 4:	
15	ELECTRONIC COPY OF MHL'S SUPPLEMENTAL INFORMATION	
16	IN RESPONSE TO INTERVENER SUBMISSIONS.....	114
17	EXHIBIT NO. 5:	
18	HARD COPY OF MHL'S SUPPLEMENTAL INFORMATION IN	
19	RESPONSE TO INTERVENER SUBMISSIONS.....	115
20	EXHIBIT NO. 6:	
21	HARD COPY OF KIA/NTI INTERVENTION	
22	PRESENTATION.....	251
23	EXHIBIT NO. 7:	
24	ELECTRONIC COPY OF KIA/NTI INTERVENTION	
25	PRESENTATION.....	251
26		

---