

1 fail, would adequately protect the environment,
2 provide the necessary regulatory control and not be
3 overduly onerous on the part of the company, either
4 financially or in a regulatory manner.

5 Having said all of that, I do come back to my
6 question as to what this procedure was intended to
7 show us. Thank you, Mr. Chair.

8 A DAVE OSMOND: Dave Osmond for INAC.
9 You raise a good point, Bruce, and thank you for
10 that.

11 Before the recommendation, there is a long
12 dissertation that I make, it is very tortuous,
13 about recent information has become available on
14 chemical toxicity of uranium. And that information
15 raised this last photograph before the
16 recommendation that the information highlighted the
17 vulnerability of zooplankton species that are found
18 in Lake C3 -- holy man. Mr. Chairman, shall I
19 proceed? If it is not a fire alarm, it is an
20 explosion.

21 The point in this recommendation is to
22 attempt to get a better handle on the vulnerability
23 of species of zooplankton that occur in Lake C3,
24 that appear to be extremely vulnerable to uranium.

25 Now, further data has been presented in
26 Tahera's presentation about the fact that uranium

1 ties up very nicely with sediments and so on, not
2 unlike phosphorus. And my concern still remains
3 particularly after closure when there won't -- the
4 uranium will not be mixed with high suspended
5 solids kimberlite discharge. And we will be in
6 fairly clear water within the pit, and is projected
7 to be at higher levels to -- discharging to --
8 possibly discharging to lakes, to Carat Lake at
9 levels that could be toxic to these species.

10 And I think that the reason for the 24th-hour
11 composite sample, and I said undiluted, which
12 doesn't make any sense when I look at it again, we
13 should be diluting it to achieve the concentration
14 that you would to expect reflect the dilution that
15 you expect at the edge of the mixing zone for that
16 particular month. And I would like to see chronic
17 toxicity done on that effluent once a month. I
18 mean, you are not going to be discharging during
19 the winter. And if the frequency was reduced to
20 three times a year or something, that's fine by me.
21 But I think that there should be an attempt made to
22 try and determine the chronic toxicity of the
23 discharge using *Ceriodaphnia dubia*.

24 Q BRUCE OTT: Mr. Chair, just a
25 further clarification for me, and it may be just
26 me, but it would seem that the concern has moved

1 from uranium to the whole effluent; is that
2 correct?

3 A DAVE OSMOND: Dave Osmond.

4 Certainly a full discharge analysis -- a sample of
5 the discharge would incorporate all the other
6 parameters as well. Let's see -- my preference
7 would be to see what kind of chronic toxicity is in
8 the effluent, and if we feel that we have to then
9 break it out into any particular portion of that,
10 then something specific to uranium may have to be
11 done.

12 Q KELLY SEXSMITH: With permission, Kelly
13 Sexsmith. The prediction for uranium is based on
14 several conservative assumptions, as well as
15 derivation of the discharge criteria, and there is
16 a good possibility that there will be very low
17 uranium in the actual drainage to the PKCA and from
18 the PKCA. And if that's the case, it might be not
19 a very useful exercise to do toxicity testing if
20 they are for the purpose of characterizing uranium
21 toxicity if there was indeed no uranium in the
22 water. And so I ask if there is a threshold at
23 which this becomes more relevant?

24 A DAVE OSMOND: Dave Osmond. I think
25 the information provided in our intervention shows
26 the levels at which uranium have been shown to be

1 chronically toxic to zooplankters. I couldn't pick
2 a number out of the air right now, but I -- if I
3 had to give a gut feeling, I would be saying
4 somewhere around .035, 036. But that's -- for me
5 to come up with a number for a trigger right at
6 this point in time, I can't do that, and maybe it
7 should be something that may be suggested by you or
8 by the Board. But I would say somewhere in the
9 neighborhood of .035 to .05.

10 Q KELLY SEXSMITH: Kelly Sexsmith. The
11 other question I have is if this is a post-closure
12 concern, would it not be more relevant to do
13 chronic toxicity testing at dilutions of a water
14 that is directly waste rock seepage?

15 A Dave Osmond. We are making a whole lot of
16 assumptions that it may not be toxic during
17 operations, Kelly. And I would rather see some
18 proof of that before I agree to your comment that
19 it be focussed on post-closure.

20 Q PETER McCREATH: Mr. Chair, Pete
21 McCreath, Clearwater Consultants. A couple of
22 items, one is a point of clarification from the
23 INAC presentation. There was reference made to
24 updating the spill plan annually, and it was not
25 clear to me if this was referring to the hazardous
26 spill containment plan, or if it was referring to

1 the release from the PKCA.

2 In any case, the requirement to update that
3 plan annually strikes me as being somewhat onerous.
4 Perhaps INAC could give us a little clarification
5 on that.

6 A GLEN STEPHENS: Mr. Chairperson, Glen
7 Stephens. It is the spill plan that we are
8 referring to. Sorry, the hazardous materials spill
9 plan. Sorry.

10 Q PETER McCREATH: Thank you. Pete
11 McCreath, Clearwater. Section 3.1.1, surface water
12 management plan of the written submission from INAC
13 presents a number of recommendations for monitoring
14 and measuring, including flows at a number of
15 different locations.

16 In general, I believe most of those locations
17 are included in our monitoring plans, but there are
18 a couple of items that jumped out at me, one of
19 which was there was two references to measuring ice
20 thicknesses, one is measuring ice thickness in the
21 pond area within the PKCA, measured every month
22 through the winter period. I am not aware of any
23 other mining operations in Canada where it is a
24 regulatory requirement to measure ice thickness in
25 a tailings pond. It is probably not safe to do so,
26 and I'm not sure what the benefits of that would

1 be. Perhaps some clarification could be
2 forthcoming on that?

3 The other ice measurement request was to
4 measure ice thickness near the causeway once per
5 winter month. And, again, I would ask for some
6 justification as to why there should be
7 measurements of ice thickness carried out at the
8 causeway.

9 A DAVE OSMOND: Dave Osmond, Gartner
10 Lee for INAC. I checked with our hydrologist who
11 made this recommendation, Pete. And when I
12 discussed why every month, he said, well, at the
13 end of the winter would be fine. He relented to
14 that. And his issue -- his issue was related to
15 particularly the PKCA. If the volume of water in
16 the PKCA is largely tied up as ice, how will you be
17 discharging it during that early period of the year
18 when most of the water is to be discharged?

19 And if it is going to melt at the same rate
20 everything else will, or if ice within the PKCA
21 will melt more slowly for some reason, what
22 assurance that was required by him was that,
23 indeed, you can release the volume that you are
24 trying to release at the time of year when the
25 greatest dilution is available and the greatest
26 outflow is available, that was his issue. Is ice

1 going to be -- is the volume of water going to be
2 tied up as ice when you are trying to discharge it?

3 Q PETER McCREATH: Mr. Chair, Pete
4 McCreath, Clearwater Consultants. I would suggest
5 if the -- all the water in the pond is frozen, then
6 it is unlikely we are going to be pumping it out of
7 the pond. But I would also suggest that measuring
8 ice thickness at the end of the winter on any
9 structure is a very dangerous thing to do at any
10 time, and I would trust that there would not be an
11 unsafe recommendation such as that included in the
12 water license.

13 A DAVE OSMOND: Dave Osmond. I tend
14 to agree with you that this is -- I'm the messenger
15 I guess today. But if you get the intent, if you
16 get the concern that was expressed, I guess what we
17 would like is some kind of assurance that it may
18 not be all. I'm not expecting the PKCA, and nor is
19 he expecting the whole PKCA to be ice. He is just
20 saying will you be able to discharge the water
21 that's tied up as ice at that time of year to
22 satisfy getting rid of all your water within that
23 year?

24 Q PETER McCREATH: Mr. Chair, just one
25 final response on that, if I may. Again, we have
26 sufficient storage within the PKCA to, if

1 necessary, absorb at least two years of runoff from
2 the entire site facility. So if it happened that
3 there was such a depth of ice such that that entire
4 volume was tied up in ice, then we might have a
5 problem. I can't actually see that happening
6 myself, but we do have that contingency storage
7 available so that perhaps you might be just lagging
8 a year behind, for example.

9 With your indulgence, Mr. Chair, I have one
10 more point to make on the INAC submission. One of
11 the requests that was made was for continuous
12 measurement of pond and sump levels and ditch
13 flows. I'm assuming that this is referring to
14 ponds A, B and C, for example, if they are built,
15 probably the PKCA.

16 Now, the sump, there will be many little
17 sumps around, including within the pit and whatnot.
18 I would suggest that a lot of these water portions
19 of the water management facilities will be
20 monitored on a spot-measurement basis that you
21 cannot put continuous flow measurement on areas
22 that, for example, within the pit that may be
23 moving around, areas that will not be carrying any
24 flow. So I would suggest that spot measurements
25 would be sufficient to satisfy the intent of
26 monitoring these different sources.

1 A DAVE OSMOND: Dave Osmond. I think
2 that makes sense, Mr. Chairman. And the intent is
3 definitely to be able to have a good handle on what
4 the volumes are that would be required to be
5 discharged in the PKCA or be dealt with in that
6 particular year. And I think that that spot
7 measurement approach should be adequate.

8 CHAIRMAN: Any further questions
9 from the applicant?

10 Q KELLY SEXSMITH: Yes, this here is
11 Kelly Sexsmith. I have a couple of questions. The
12 first one is a minor point. INAC has recommended
13 that we submit a management plan to indicate how we
14 will handle the recovery plant rejects once we have
15 sufficient characterization information on them.
16 We would just like to ask if it would be sufficient
17 to include that information in the waste rock
18 seepage and monitoring report?

19 A GLEN STEPHENS: Mr. Chairman, Glen
20 Stephens. Yes, that would be acceptable.

21 Q KELLY SEXSMITH: Thank you. Kelly
22 Sexsmith. My second question is for Dave Osmond.
23 Do you agree that all of the parameters listed,
24 with the exception of aluminum which you flagged,
25 are protective of -- our discharge limits are
26 protective of the receiving environment beyond the

1 200-metre mixing zone?

2 A DAVE OSMOND: Yes. Mr. Chairman,
3 Dave Osmond.

4 Q KELLY SEXSMITH: Thank you. My third
5 question is, INAC has recommended that the nutrient
6 limits be lowered beyond those protective discharge
7 limits that we have proposed for the purpose of
8 encouraging sound explosives management at the
9 site. My question is, are you aware that there is
10 an explosives management plan in the current waste
11 rock storage plan, which was submitted as part of
12 the application, that is designed to minimize
13 nutrient loss into the blast?

14 A DAVE OSMOND: Mr. Chair, Dave
15 Osmond. I never reviewed that plan, and so I'm --
16 I wasn't aware of that. I would like to put double
17 emphasis on the importance of that plan from the
18 point of view of nitrates, ammonia, because of its
19 impact on aquatic systems. And so that's my main
20 reason for this.

21 And also to conform, in some cases, with
22 other limits, discharge limits that are applied
23 elsewhere in some cases, and also from the point of
24 view of nitrites, which seem to be a lot higher
25 than levels found elsewhere or proposed elsewhere.

26 Q KELLY SEXSMITH: Just to clarify, you

1 just said nitrates?

2 A DAVE OSMOND: I said nitrites.

3 Q KELLY SEXSMITH: Just a final comment,
4 with your permission. The explosives management
5 plan that Tahera has is intended to reduce nutrient
6 emissions to the maximum extent possible at this
7 site. And Tahera has considerable incentives to
8 make sure that nutrient concentrations are low,
9 because that will reduce the amount of time in the
10 post-closure period which it will take for those to
11 flush out of the piles.

12 It will also mean that they may be able to
13 discharge at some future date from direct
14 discharges to the environment without meeting much
15 lower concentrations than what is in the PKCA --
16 proposed as a PKCA discharge limit, they wouldn't
17 be able to do that. So they have considerable
18 incentive to follow their ammonia management plan
19 and to try to come up with very low levels without
20 having unnecessarily restrictive limits in their
21 license.

22 GREG MISSAL: Mr. Chair, that's all
23 the questions that we have. Thank you.

24 CHAIRMAN: Thank you very much.
25 Any questions from Environment Canada? Any
26 questions from DFO to be addressed to DIAND? Thank

1 you. Any questions from NTI? Thank you. From KIA?
2 Thank you. Any questions from the Hamlet of
3 Kugluktuk? Any questions from independent
4 consultants?

5 RAMLI HALIM: Mr. Chairman, no
6 questions.

7 CHAIRMAN: Okay. Thank you. And
8 thank you very much for your presentation. What we
9 will do is take a -- sorry, I'm so sorry. Any
10 questions from staff?

11 WATER BOARD STAFF QUESTIONS LICENSEE:

12 Q DIONNE FILIATRAULT: Thank you, Mr.
13 Chairman. I don't believe we have all that many
14 questions. Dionne Filiatrault, Mr. Vice-chair.

15 Since I do have a couple of questions to
16 DIAND, but I would like to clarify one. Since
17 DIAND and Tahera have kind of been going back and
18 forth with questions and clarification, the first
19 question is actually probably more to Tahera than
20 it is to DIAND.

21 Does Tahera agree with all the
22 recommendations provided in the INAC's response or
23 submission? And if so, well, obviously we have
24 heard selected portions that you disagree with or
25 have questions to, but there is a lot that hasn't
26 been said. So in those sections that haven't been

1 addressed, does this Board take that as agreement
2 that you are agreeing with the recommendations made
3 be DIAND?

4 So from that perspective, it may be useful
5 for Tahera to provide some information on the
6 sections that they haven't addressed, and if they
7 still disagree with a recommendation that's been
8 provided by DIAND, to indicate why not and justify
9 it.

10 CHAIRMAN: Okay. Let's take a
11 five-minute break.

12 (BRIEF ADJOURNMENT)

13 BILL TILLEMAN: Mr. Chairman, what I
14 suggest, I realize that we need to be down to the
15 dinner place for 5:30, there is strict rules on
16 that. And so what the staff would like to suggest,
17 sir, is that we have about three questions for
18 DIAND, and the staff could do that very quickly,
19 and then we can dismiss -- we will do it very
20 quickly, and then we can dismiss the panel, and
21 Tahera can take the suppertime to think about their
22 response and then come back and start after supper.

23 So with your permission, unless there is any
24 objection, why don't we ask the question. We will
25 finish DIAND from the staff. Okay. Thank you.

26 Q DIONNE FILIATRAULT: Thank you, Mr.

1 Chairman. Just as a point of clarification, and it
2 may require some additional follow-up then, and we
3 would allow you to do it over the supper break, if
4 needed. Do all your recommendations submitted
5 where they refer to monitoring, do they outline the
6 frequency, parameter, location and the phase by
7 which you are proposing the monitoring to take
8 place?

9 A GLEN STEPHENS: Mr. Chairperson, Glen
10 Stephens. We will have to get back to the Water
11 Board staff, and especially if she could repeat the
12 list of conditions she would like us to review,
13 that would be appropriate, or provide it on a piece
14 of paper. Even better.

15 Q DIONNE FILIATRAULT: Yes, Mr. Chairman.
16 Frequency, parameter, location and phase of
17 project.

18 A GLEN STEPHENS: Mr. Chairperson, could
19 she slow down? Thank you.

20 Q DIONNE FILIATRAULT: Frequency, I was going
21 to spell it, I was going to. Parameter, location,
22 phase.

23 Mr. Chairman, while they are scrambling, can
24 I move on to the next question? The question is in
25 relation to the securities estimate, the time to
26 question INAC is at this point, and there is an

1 expert consultant sitting at their table. There
2 has been recommendations that have been provided in
3 some of the other submissions. I am just wondering
4 if Mr. Brodie has had an opportunity to review some
5 of the recommendations that have been made by Acres
6 and KIA, and if there is any issues that he
7 strongly agrees and/or disagrees with?

8 A JOHN DONIHEE: John Brodie, Mr.
9 Chairman. That's a pretty broad question. Is
10 there anything specific in that that you would like
11 me to address? Otherwise, I would say that I have
12 briefly reviewed what they have written, and don't
13 have any major concerns other than to note that the
14 scope of A&R activities described in the KIA
15 estimate is more elaborate than what I have allowed
16 for.

17 DIONNE FILIATRAULT: That's the end of my
18 questions. I believe there is another securities
19 question, and Steve?

20 Q STEPHEN LINES: Thank you,
21 Mr. Chairman. Stephen Lines. In your security
22 assessment, were there gray areas? Or I guess more
23 specifically, what were the gray areas that you
24 encountered when splitting the security between
25 land and water? And how did you differentiate
26 between the two when, in many cases, they are so

1 closely related?

2 A JOHN DONIHEE: John Brodie,
3 Mr. Chairman. Perhaps that would be best answered
4 if I briefly described the approach I have taken in
5 segregating the liability.

6 The method that I have followed is to
7 calculate the total reclamation liability for the
8 site based on the reclamation plan and the addition
9 of any reclamation measures that I think are
10 necessary to provide a satisfactory condition at
11 the end of the mine life, and those are noted in my
12 report.

13 Once I have determined a total liability, I
14 then segregate that liability based on the nature
15 of the activity by simply looking at each
16 individual reclamation activity and allocating it
17 to either land-related activities or water-related
18 activities. And once that subtotal is made, I
19 would then apportion to each of the land and water
20 subtotals an amount of the mobilization,
21 engineering and contingency to fully develop a full
22 accounting for the land and water liability.

23 Does that answer your question?

24 Q STEPHEN LINES: So when you were
25 segregating them by the nature of the activity,
26 there were no activities that could have either

1 fallen under both or easily under water as they did
2 under land?

3 A JOHN BRODIE: John Brodie,
4 Mr. Chairman. There are, at least in my opinion,
5 reclamation activities that are clearly just water
6 related and some which are clearly just land
7 related, and there are some which I don't see as
8 much calling them gray areas, but rather calling
9 them reclamation activities that benefit both the
10 restoration of the land, as well as protection of
11 water resources. And I subjectively look at those
12 and allocate them as being either 50/50 land and
13 water, 75 percent land, 25 percent water, and vice
14 versa, 75 percent water, 25 percent land, based on
15 what, in my opinion, is the primary nature of that
16 specific reclamation activity.

17 Q STEPHEN LINES: Thanks, Mr. Chairman.
18 So then by that understanding, I'm thinking that it
19 wasn't necessarily by putting the activities in the
20 different under land or water, that you would
21 actually split the specific activities into
22 percentages of how they would affect land or water;
23 is that correct?

24 A JOHN BRODIE: John Brodie,
25 Mr. Chairman. Basically that's correct. Maybe I
26 could help you with a bit of an example. The

1 reclamation of the fine processed kimberlite area
2 involves the establishment of a cover, and that
3 cover will serve several purposes. In one part, it
4 will control erosion and prevent the chronic
5 release of sediment, which would affect the Long
6 Lake and receiving waters downstream. So I see
7 that cover as having a water-related benefit.

8 In addition, the establishment of the cover
9 would facilitate revegetation of that area, so it
10 would have a land-related benefit as well. Off the
11 top of my head, I cannot recall how I allocated
12 that, whether I made it 50/50 or 75/25, for
13 example, but I suspect I probably allocated that
14 50/50.

15 Q STEPHEN LINES: Thank you. Two more
16 questions, Mr. Chairman. In the presentation, I
17 believe it was agreed or INAC agreed with the site
18 water balance, and I'm just wondering if this is
19 still the case given the relatively new amount of
20 water use that is being requested by Tahera?

21 A GLEN STEPHENS: Mr. Chairperson, if it
22 may -- Glen Stephens, if we can take a few minutes
23 to think about that or get back to that after the
24 break, I don't think we have fully considered that
25 question. Thank you.

26 Q STEPHEN LINES: Can I ask one more

1 question? The last one, Mr. Chairman, was from the
2 presentation, is INAC recommending that the ponds
3 A, B and C be abandoned altogether?

4 A JOHN BRODIE: John Brodie, Mr.
5 Chairman. No, I don't think that we are
6 recommending that they be abandoned, but rather
7 that serve as collection basins as routing water to
8 the PKCA.

9 Q STEPHEN LINES: And just as a quick
10 follow-up, so is the thought, then, that the ponds
11 will provide for better control of runoff than
12 would just the ditches alone?

13 A JOHN BRODIE: John Brodie,
14 Mr. Chairman. I think it would be very difficult
15 to route some of the water to the PKCA without
16 having those ponds in place. Now, it may be
17 possible for some of them to be omitted and have
18 drainage directly to the pit, that would be a local
19 water management issue so long as the water is
20 going directly to the PKCA is the intent here, I
21 think.

22 Q DAVE HOHNSTEIN: Thank you,
23 Mr. Chairman. A couple of quick questions. I
24 think they should go fairly quickly. One is just
25 with respect to a question that came out earlier
26 regarding the measurements of pond sump and ditch

1 flows. INAC had agreed that spot measurements
2 would be adequate. Is there any restriction or
3 minimum requirements that may be applied to this
4 agreed monitoring?

5 A GLEN STEPHENS: Mr. Chairperson, if we
6 may, we can consider that question in light of our
7 earlier request from the staff about frequencies
8 and phases and parameters.

9 Q DAVE HOHNSTEIN: Okay. Mr. Chairman,
10 the last question hopefully. With respect to your
11 comment on measuring of ice thicknesses that came
12 about earlier with regards to the PKCA. In your
13 assessment of the receiving water quality
14 estimates, has the ice thickness on the PKCA been
15 taken into account with respect to the possible
16 concentrating or concentration of contaminants due
17 to freezing effects within the water to be
18 released?

19 A DAVE OSMOND: Dave Osmond, INAC.
20 Mr. Chair, I don't think that our team looked at
21 that possibility. We were rather looking at the
22 potential impact on discharge rather than water
23 quality ramifications. That was all that we looked
24 at at that point in time.

25 Q BILL TILLEMAN: Mr. Chairman, with
26 your permission, it is Bill Tilleman. I just have

1 one question as we go to break for Mr. Brodie, and
2 it was I have had the benefit of hearing evidence
3 that you presented in the past regarding the
4 demarcation point between land and water. And do I
5 take it from what you have said today that it is
6 still a subject of call at the end of the day?

7 A JOHN BRODIE: John Brodie,
8 Mr. Chairman. Yeah, that's correct, it is still a
9 subjective allocation where reclamation activities
10 benefit both land and water.

11 BILL TILLEMAN: That's it from the
12 staff, Mr. Chairman.

13 VICE-CHAIRMAN: If I may,
14 Mr. Chairman. There is still three questions that
15 are outstanding, one for Tahera, and two for DIAND,
16 and you are going to report back after supper,
17 that's correct? Okay.

18 CHAIRMAN: We will break for
19 supper. We will come back here --

20 GLEN STEPHENS: Sorry, I was under the
21 impression, Mr. Chairperson, it is Glen Stephens,
22 that we had three questions outstanding. We were
23 going to roll one of them into the same thing, is
24 that what you intend? Okay. Just a point to
25 clarify. Thank you.

26 CHAIRMAN: Okay. Let's break for