

1 supper and come back at seven. Thank you.

2 (RECESSED AT 5:30 P.M.)

3 (RECONVENED AT 7:05 P.M.)

4 CHAIRMAN: Welcome back. I

5 believe Tahera has a statement to make.

6 GREG MISSAL: Thank you, Mr. Chair.

7 Greg Missal with Tahera Diamond Corporation. Prior  
8 to the break, I guess the question I think, if I  
9 can repeat it correctly, was if we basically agreed  
10 with all the items in INAC's intervention that  
11 perhaps was not discussed in the dialogue of the  
12 question and answer, and I think our position on  
13 that is that we will be presenting a position in  
14 our closing remarks on those recommendations in the  
15 DIAND submission, so the Board will certainly have  
16 a clear indication of Tahera's position at that  
17 time as we go through our closing comments.

18 I don't think for a second that Tahera can be  
19 presumed to agree with something just because we  
20 are silent on something, and I also would like to  
21 add that I believe Tahera and INAC have, on some of  
22 the major items I think have come to a very good  
23 consensus on many of the items.

24 So one in particular would be the reclamation  
25 deposit number. As I stated earlier, we certainly  
26 agree with the amount, and we consider that one a

1 particularly major item.

2 In terms of the discharge limits, we have  
3 presented our opinion on the discharge criteria,  
4 and you heard INAC respond that they believe that  
5 those limits are safe to the environment. So I  
6 think, as you can tell with those two items in  
7 particular, that there is quite a great deal of  
8 consensus on major items between Tahera and INAC.  
9 And as we move through, or we will go through the  
10 recommendations that they make, that they have made  
11 in their submission, and we will be doing that in  
12 our closing comments.

13 CHAIRMAN: Thank you. DIAND?

14 GLEN STEPHENS: Mr. Chairperson, we  
15 were -- it is Glen Stephens. With regard to the  
16 first question, the first question with regard to  
17 did INAC consider the 500,000 cubic metres per year  
18 annual water use? Our response is no, our  
19 assessment was based on information INAC -- INAC's  
20 assessment was based on information that was  
21 provided during the EA and in the licensing  
22 process. It was seen as appropriately  
23 conservative, so it was not considered.

24 And with regard to the request from the Water  
25 Board staff, Elizabeth Sherlock will provide a  
26 response.

1 ELIZABETH SHERLOCK: Thank you,  
2 Mr. Chairman. The question was posed as if INAC  
3 had provided parameter, frequency, location and  
4 phase of project in its recommendation. What INAC  
5 has provided is some level of detail for some of  
6 its recommendations. In others, we have provided  
7 general guidance to address monitoring needs.

8 INAC would look to the water license to  
9 provide a time frame for Tahera to develop and  
10 submit a final surveillance network plan for review  
11 and approval. And then INAC would encourage Tahera  
12 to consider our recommendations in developing that  
13 final plan. Thank you.

14 CHAIRMAN: Thank you. Any  
15 further questions?

16 ELIZABETH SHERLOCK: Mr. Chairman, if I  
17 may, while going through this intervention we did  
18 note another typographical error that I would like  
19 to bring to everyone's attention. It is on page 10  
20 of the INAC intervention. Under the  
21 recommendation, the first sentence is, "In general,  
22 the current water management plan is." The last  
23 phrase, "in the first two years", at the end of the  
24 first bullet should actually be at the start of the  
25 second bullet. So the second bullet should read,  
26 "In the first two years direct site and

1 pile runoff into the pit and small storage  
2 areas that would be more or less located  
3 where ponds A, B and C would ultimately be  
4 located."

5 Thank you.

6 CHAIRMAN: Are there any further  
7 questions from the staff to DIAND? Thank you.

8 Okay.

9 GLEN STEPHENS: Mr. Chairperson,  
10 further to provide some clarification on some of  
11 the questions being asked by the Board staff with  
12 regard to the breakdown of security for land and  
13 water, we would like to offer a table that  
14 Mr. Brodie has prepared for INAC. It shows some of  
15 the percentage breakdowns and thoughts behind some  
16 of the discussions, if that would help the Board.

17 CHAIRMAN: Okay. Mr. Brodie?

18 JOHN DONIHEE: John Brodie,  
19 Mr. Chairman. I think what Glen was stating there  
20 is that the table is out right now being  
21 photocopied, and they will supply it as soon as  
22 they can bring it back to this hearing.

23 CHAIRMAN: Would you like to  
24 table that as evidence?

25 GLEN STEPHENS: Yes, please,  
26 Mr. Chairperson.

1 CHAIRMAN: Okay. Thank you.

2 BILL TILLEMAN: So, Mr. Chair, so we  
3 will propose that's Exhibit number 6, and that's  
4 Mr. Brodie's table regarding -- what is it called,  
5 Mr. Brodie?

6 JOHN DONIHEE: John Brodie. The  
7 table is titled "Segregation of Land and Water  
8 Liability."

9 EXHIBIT NO. 6:

10 TABLE ENTITLED "SEGREGATION OF LAND AND  
11 WATER LIABILITY" CREATED BY JOHN BRODIE

12 CHAIRMAN: Okay. I believe we  
13 are all done with DIAND. Pardon me. Are there any  
14 questions from Environment Canada for them? No.  
15 DFO? No. NTI? KIA? Hamlet of Kugluktuk?  
16 Independent consultants?

17 RAMLI HALIM: No questions, Mr.  
18 Chairman.

19 CHAIRMAN: Thank you. Okay. I  
20 saw a hand. Did somebody raise their hand?

21 BILL TILLEMAN: Mr. Chairman, it is  
22 Bill Tillemann. And we did receive a document  
23 that's not from DIAND, but it has Tahera Diamond  
24 Corporation on it, dated August 2004. And this is  
25 a report of some kind that was submitted by AMEC  
26 Earth and Environmental. It appears that it was

1 sent to Tahera Diamond Corp. by Dr. Ott with a CC  
2 to Dionne Filiatrault and also Robert Eno. The  
3 Water Board staff did not receive it at all until  
4 yesterday it was given to the staff. So we just  
5 think we should file it so it is available to  
6 everyone, whatever relevance that may have. That  
7 being the case, it would be the operational  
8 monitoring summary, Tahera Diamond Corporation,  
9 August 2004. And with that, the staff has no  
10 further items for DIAND.

11 **EXHIBIT NO. 7:**

12 **EDITED VERSION OF THE OPERATIONAL**  
13 **MONITORING SUMMARY, TAHERA DIAMOND**  
14 **CORPORATION, AUGUST 2004**

15 CHAIRMAN: Thank you very much.

16 GREG MISSAL: Sorry, Mr. Chair, Greg  
17 Missal with Tahera. Just for further clarification  
18 on that document that counsel for the Board just  
19 entered as an item onto the list, an exhibit onto  
20 this list, that document was part of the submission  
21 to the Nunavut Water Board, the water license  
22 application, if you will. However, as a result of  
23 the technical meetings that we had, there was a  
24 requirement for a few revisions in it, and that was  
25 the revised -- that's the revised version. I think  
26 there might have been some complications with maybe

1 electronic mail transfer. It was sent out quite a  
2 while back, and this resend was just a follow-up  
3 when it was realized that maybe that document  
4 didn't get to everyone. So that's just added  
5 clarification for that document.

6 BILL TILLEMAN: So, Mr. Chairman, we  
7 just then propose to call it the edited version.  
8 Thanks, Mr. Missal.

9 CHAIRMAN: Okay. Thank you so  
10 very much, DIAND.

11 GLEN STEPHENS: Thank you very much.

12 CHAIRMAN: Next presentation will  
13 be by Environment Canada, Anne Wilson.

14 BILL TILLEMAN: Thank you, Mr.  
15 Chairman. I propose to swear in Ms. Wilson, and  
16 after that, she is doing a presentation which we  
17 will also mark as exhibits, one is the hard copy,  
18 and the electronic version is already with Ms.  
19 Filiatrault, as the next two exhibits accordingly.

20 EXHIBIT NO. 8:

21 HARD COPY OF ENVIRONMENT CANADA  
22 PRESENTATION

23 EXHIBIT NO. 9:

24 ELECTRONIC COPY OF ENVIRONMENT CANADA  
25 PRESENTATION

26 BILL TILLEMAN: So, Ms. Wilson, please

1 state your last name for the record.

2 ANNE WILSON: Wilson, W-I-L-S-O-N.

3 (ANNE WILSON SWORN)

4 BILL TILLEMAN: Thank you.

5 PRESENTATION BY ENVIRONMENT CANADA:

6 ANNE WILSON: Good evening, Mr.

7 Chairman, members of the Board. My name is Anne

8 Wilson. I would like to thank the Board for the

9 opportunity tonight to make this presentation on

10 behalf of Environment Canada.

11 I have a tendency to talk too quickly, so  
12 please let me know if the translators are running  
13 into trouble, okay?

14 To start with, I would just like to go over  
15 our involvement in this file. It is based on our  
16 mandated responsibilities under this legislation,  
17 the Department of Fisheries and Oceans the  
18 Environment Act, the Fisheries Act Pollution  
19 Prevention Provisions, the Canadian Environmental  
20 Protection Act, the Migratory Birds Prevention Act  
21 and Migratory Birds Regulations and the Species at  
22 Risk Act.

23 This intervention focuses mainly on our  
24 responsibilities under Section 36.3 of the  
25 Fisheries Act.

26 A quick overview of my presentation. I will



1 go into our comments and recommendations regarding  
2 monitoring of aquatic effects, the discharge  
3 criteria which are proposed, the use of toxicity  
4 testing, both acute and chronic, the plans for the  
5 life of the mine and some miscellaneous license  
6 recommendations.

7 I would just like to note that the purpose of  
8 this intervention is to try and provide  
9 constructive advice to the Nunavut Water Board to  
10 assist in developing a license which is both  
11 protective and practical.

12 Now, Tahera has provided a draft AEMP which  
13 is generally comprehensive enough to detect changes  
14 in the environment, and I base that statement on  
15 the parameters that they are proposing to monitor  
16 for and the locations, and generally the  
17 frequencies.

18 However, I do have considerable concern with  
19 how they are proposing to use the data. It is not  
20 set out ahead of time how they will evaluate what  
21 is a real change in the environmental conditions.  
22 By planning how this is to be done up front, we can  
23 be sure that they are now collecting the right  
24 data, not violating any assumptions of the  
25 statistical tests and that they can use the right  
26 statistical tests.

1           So Environment Canada recommends that the  
2     water license include a requirement that the  
3     proponent submit a detailed AEMP or an aquatic  
4     effects monitoring plan for approval. And approval  
5     of the plan would hopefully follow on input from  
6     reviewers and experts on statistics, and so on.  
7     The plan should also include an evaluation of the  
8     baseline data and set out exactly what tests will  
9     be used to evaluate changes in the environment.

10           Planning of the statistical design should  
11    include all parameters so that would be water,  
12    sediment, chemistry, benthic invertebrates,  
13    zooplankton and phytoplankton.

14           I'll just go over a few specific points on  
15    monitoring. It is recommended that water quality  
16    in the Long Lake containment facility be measured  
17    annually under ice, as well as the planned  
18    monitoring during the open water season.

19           Some of the experience we are gaining from  
20    the Ekati mine shows seasonal differences in  
21    quality, and this seems to be building up over  
22    time. You mainly catch it in the winter, and you  
23    can get a heads up if there is going to be problems  
24    for discharging come spring by checking in the  
25    winter.

26           It is also recommended that the lakes

1 downstream be monitored for seasonal density  
2 stratification. This could affect the mixing of the  
3 effluent and thus affect the dilution predictions  
4 downstream.

5 Also, for comparisons to be done between  
6 water samples and between lakes, we have to know  
7 for sure that the samples are representative of the  
8 depths in the various areas of the lakes being  
9 monitored. The AEMP proposes to take a single  
10 sample from the top of the lake, and we have to  
11 know that that will also represent the whole water  
12 column within the lake and all areas of the lake in  
13 order to make -- to capture the variability, and  
14 that's to the benefit of the proponent. You have  
15 to know how much natural variability there is in a  
16 lake to know if you are seeing a real change  
17 attributable to the project.

18 My next slide is with monitoring specifically  
19 for ammonia. We do recommend that ammonia levels  
20 be carefully monitored and that Tahera be prepared  
21 to implement an effective contingency, if needed.  
22 And the ammonia should be monitored in both sources  
23 and in the receiving environment.

24 Target thresholds should be identified which  
25 would trigger appropriate actions. For example, if  
26 they are monitoring upstream sources of ammonia,

1 such as their sumps in the open pit, and see much  
2 higher concentrations than expected, then of course  
3 they would know that that was going to need some  
4 action down the road. And, again, it has been  
5 noted that source control is the biggest factor in  
6 determining how much ammonia ends up in the waste  
7 stream. So I was glad to hear it confirmed earlier  
8 about the blasting agent plan that's in the --  
9 their waste management plan.

10 And, lastly, the seep survey should also  
11 include ammonia as a monitoring parameter.

12 As mentioned, there should be thresholds  
13 which are developed for changes in the environment  
14 which would trigger adaptive management actions.  
15 This would be a practical approach to preventing  
16 environmental problems using internal rather than  
17 regulated limits for certain parameters, which  
18 would then trigger investigation of causes, assess  
19 what risk was associated with those increasing  
20 levels, what potential effects were and then  
21 determine what mitigation might be needed. The SNP  
22 should include a full suite of parameters,  
23 including all the metals listed in an ICP scan, the  
24 major ions, the nutrients and the physical  
25 parameters. And I just was scanning the updated  
26 monitoring plan, and at this time it does include

1 all those parameters, which I was glad to see.

2 Next I would like to go over Environment  
3 Canada's recommendations on the effluent quality  
4 criteria. Tahera has proposed end of pipe discharge  
5 criteria for various parameters of concern.

6 Environment Canada does not believe that all of  
7 these need to be regulated and proposes this list  
8 of regulated parameters. So under the total metals  
9 we have got aluminum, arsenic, cadmium, chromium,  
10 copper, lead, molybdenum, nickel and zinc. For  
11 nutrients, total ammonia, nitrite and nitrate, all  
12 to be measured and regulated as nitrogen and total  
13 phosphorus. The other parameters are total  
14 suspended solids, pH, total petroleum hydrocarbons,  
15 biological oxygen demand and faecal coliforms. And  
16 of course there would be a lower testing frequency  
17 for the parameters associated with sewage normally.

18 Environment Canada has some recommendations  
19 for discharge limits. Tahera has proposed numbers  
20 which Environment Canada finds acceptable for all  
21 of the metals except for aluminium and chromium.  
22 And I have highlighted the places on my table there  
23 where our recommendations are different from what  
24 Tahera had put forward. And the limits I am  
25 referring to from Tahera were from technical  
26 memorandum 0, proposed discharge limits, and what

1 was shown last night in Kelly Sexsmith's  
2 presentation was slightly different than that, and  
3 I apologize for not having the most current  
4 information there, but it doesn't affect the  
5 conclusions here.

6 So I will look at the metals first. To start  
7 with aluminum, the solubility of aluminum is a  
8 little different than most metals. It is in  
9 solution at high pHs and at low pHs. And we do see  
10 that the predicted concentrations of aluminum are  
11 above receiving water quality objectives during  
12 spring freshet for a short period of time.

13 In spring, what we see is an acidic pulse as  
14 the snow melt is quite acidic, and you get  
15 mobilization of metals that are soluble in more  
16 acidic pHs. And so the concern with lowering the  
17 aluminum limit is to avoid having dissolved  
18 aluminum, which is bioavailable and a little more  
19 toxic than the particulate silicates that are  
20 expected to be there at more neutral pH levels.

21 The next one is chromium. Now there are two  
22 forms of chromium, hexavalent chromium and  
23 trivalent chromium, and all you really need to know  
24 about those is that one is more toxic than the  
25 other. They are both quite toxic.

26 The guidelines that were set in the receiving

1 water quality objectives just used the less toxic  
2 form. So, I think, in fairness, because both forms  
3 would be expected to be present, there should be an  
4 average between the two forms. It would be a  
5 mixture you would expect to see in the environment.  
6 So for that reason, the water quality objectives  
7 should be adjusted and the criteria down --  
8 accordingly set downwards. So I am proposing lower  
9 limits for chromium than Tahera had put forth.

10 For the rest of the parameters, Environment  
11 Canada differs with Tahera mainly on pH, nitrite  
12 and would like to suggest three additional  
13 parameters that weren't included in their list.

14 For pH, we know that kimberlites are  
15 alkaline. And that has been shown in previous  
16 studies with the other mines to be a factor in the  
17 toxicity of kimberlite. There seemed to be a cut  
18 off of a pH of 8.8 identified by work done at the  
19 Ekati mine where you didn't see pH-associated  
20 toxicity with kimberlite below that number. And  
21 that was the reason that the Diavik license has an  
22 upper pH limit of 8.4. So in addition of higher  
23 pHs, you again get aluminum being more soluble and  
24 ammonia toxicity is also increased at higher pHs.  
25 So to be a little more protective, keeping the pH  
26 between 6 and 8.5 is recommended.

1           The nitrite objectives. Tahera had suggested  
2   a grab of 5 and a maximum average concentration of  
3   2.5 milligrams per litre. We feel those are a  
4   little higher than they need to be. The other  
5   licenses are 2 and 1. And there has been a great  
6   deal of confusion with how nitrite is measured and  
7   reported and how guidelines are developed.

8           The CCME guidelines use the weight of a whole  
9   nitrite molecule. The labs reported as only the  
10   weight of a nitrogen in that molecule. And there  
11   is a threefold difference between the two numbers,  
12   so there was some confusion in the initial  
13   development of the numbers by Tahera. It didn't  
14   significantly affect the results, but as a result,  
15   I feel they should have lowered the proposed limits  
16   for the nitrite. And, again, it provides  
17   consistency with the other licenses.

18          Additionally, the higher nitrite numbers were  
19   based on having chloride values which got up to 20.  
20   It is less toxic the higher chloride values. The  
21   average chloride values are up there, but they  
22   won't be happening right away, so I think it is  
23   better to have a nitrite level that is protective  
24   at a larger range of chloride values.

25          The next highlighted box is for total  
26   petroleum hydrocarbons, and the recommended level



1       for that is 3 milligrams per litre. This refers to  
2       the mineral fraction of petroleum hydrocarbons. If  
3       you have just oil and grease, you also include  
4       biological lipids. The limit for that has  
5       historically been 5 milligrams per litre. So it  
6       seems reasonable since you are looking at a smaller  
7       fraction to take that down to 3 milligrams per  
8       litre. And that's consistent with what's been put  
9       in other northern licenses right now.

10       The recommendation for the biological oxygen  
11       demand is from the waste water guidelines  
12       applicable to lakes. The faecal coliforms, what is  
13       predicted is that there should be little or none  
14       based on their waste water treatment system. And a  
15       further thought on that is that if the water from  
16       the Long Lake containment facility is going to be  
17       recycled, there shouldn't be any faecal coliforms.  
18       But the 100 coliform units per decalitre would be a  
19       reasonable limit if they are not recycling.

20       And the last item on discharge criteria has  
21       to do with total suspended solids. Tahera has  
22       requested total suspended solid limits of 100  
23       milligrams per litre in grab samples and 50  
24       milligrams per litre for surface runoff and for  
25       Long Lake containment facility discharges during  
26       construction.

1           Now, EC concerns with the limit for surface  
2 runoff, which will involve limited volumes, and  
3 much of the sediments will settle out on the land  
4 or could be mitigated at water's edge by the use of  
5 silt curtains. However, we don't agree that this  
6 limit should apply to discharges from the  
7 containment facility as there is the potential for  
8 large volumes of silty water to be discharged to  
9 Stream C3.

10           We support Tahera's approach to monitoring  
11 using TSS in conjunction with the developed  
12 turbidity correlation. And we do also recommend  
13 monthly monitoring of the full suite of parameters,  
14 i.e., metals, ions, nutrients and physical  
15 parameters during the dewatering as well.

16           Next, I will move on to the use of toxicity  
17 testing. Tahera has proposed the monthly use of  
18 microtox testing as a screening tool. I don't know  
19 how familiar people are with the microtox test, so  
20 I will just go over it a little bit. It is a  
21 bacterial test. The bacteria generate light. If  
22 they are happy, they put out lots of light. If you  
23 poison them with whatever you are testing, they  
24 tend to drop their light output, and you can tell  
25 how toxic a substance is by how much light they  
26 reduce, how quickly.

1           The microtox is used widely as a screening  
2    tool. It hasn't been used so much as a regulatory  
3    tool before. However, in Alberta they do use it as  
4    a regulatory test for discharge from oil field  
5    sumps, so there is some precedent there. It can be  
6    difficult to correlate the microtox test to the  
7    fish test and the Daphnia test because the bacteria  
8    may react differently than the trout or the Daphnia  
9    in tests for given effluent.

10           For example, if you have solutions containing  
11   ammonia, such as municipal waste, you will often  
12   see an increase in light production. They become  
13   happier because it is a nutrient. However, that  
14   very same sample would cause a problem for fish or  
15   Daphnia, so it isn't always exactly a good tool if  
16   it is ammonia that's causing the problem or nitrate  
17   or nitrogen.

18           So for that reason, if this test is to be  
19   used, it must be calibrated to the standard rainbow  
20   trout and Daphnia tests for that particular mine  
21   effluent so that if you have a pass in the  
22   microtox, you know that it would also equal a pass  
23   in the rainbow trout or in the Daphnia tests.

24           And it should be noted that if effluent is  
25   shown to be acutely toxic by any of the standard  
26   tests, discharge must stop immediately. And the

1 microtox is considered to be a standard test.  
2 There is an Environment Canada protocol for it, and  
3 this recommendation is to make sure that Section  
4 36.3 of the Federal Fisheries Act is complied with,  
5 which prohibits the deposit of deleterious  
6 substances into waters frequented by fish.

7 For routine operations, Environment Canada  
8 recommends that the standard rainbow trout and  
9 Daphnia acute toxicity tests be done at the start  
10 of each discharge and just before freezeup each  
11 year.

12 And now we will look at some recommendations  
13 for the chronic toxicity testing. Chronic toxicity  
14 refers to effects which don't kill your test  
15 organism. What will happen is it may inhibit  
16 growth or reduce reproduction, it is a sublethal  
17 test. Water quality objectives were set so that  
18 there is no chronic toxicity at the edge of the  
19 initial mixing zone, which is 200 metres into Lake  
20 C3 from the mouth of Stream C3.

21 And chronic toxicity tests should be done  
22 annually on samples taken at the edge of this zone  
23 using the standard bioassay tests, and we would  
24 recommend Ceriodaphnia dubia at a minimum, and  
25 possibly an algal test as well or a fish test, just  
26 to confirm that chronic toxicity doesn't occur

1       there. This should be done at the end of the  
2       open-water season when you have had most of your  
3       discharge into the environment, so you can get a  
4       good idea if you are going to see chronic effects  
5       there.

6               Next, I will move to some of Environment  
7       Canada's recommendation on plans. EC recommends  
8       that a dewatering plan for Long Lake be submitted.  
9       Our concern is that based on the Ekati experience,  
10      summer dewatering has sometimes been difficult.

11             I was glad to hear earlier that the sediments  
12      are deeper than the level the lake will be  
13      dewatered to, and that the shoreline should not be  
14      susceptible to slumping and sedimentation. That  
15      has been a problem at other sites. But it would be  
16      good to know that the proponent has a plan in place  
17      if they have to dewater and are encountering  
18      sediments, i.e., they can put a flocculation plant  
19      in or some treatment, or halt dewatering, as  
20      mentioned earlier.

21             The A&R plan should be submitted for approval  
22      under the license and should include identification  
23      of any research needs for reclamation planning.  
24      And one example would be to assess the coarse  
25      kimberlite weathering and behavior in order to  
26      determine appropriate cover depths.