

NUNAVUT WATER BOARD

BENACHEE RESOURCES INC. WATER LICENSE APPLICATION

DECEMBER 8, 2004

VOLUME 4

LOCATION: KUGLUKTUK COMMUNITY COMPLEX


KUGLUKTUK, NUNAVUT

PANEL:

Thomas Kudloo	Chairman
Robert Hanson	Vice-Chairman
Lootie Toomasie	
Guy Kakkiarniun	
Thomas Kabloona	
George Porter	

BOARD STAFF:

Dr. Bill Tilleman, Q.C.	Legal counsel
Philippe di Pizzo	Executive Director
Dionne Filiatrault	
Stephen Lines	
Ben Kogvik	
Dave Hohnstein	
Phyllis Beaulieu	
Susie Ikkutisluk	



COURT REPORTER:	Tara Lutz
-----------------	-----------

INTERNAL	
PC	chp
MA	
FO	
LA	
SS	
ST	
TA1	
TA2	
PO	
ET	
CH	
DRD	
EXT.	

INDEX

LICENSEE QUESTIONS NTI AND KIA:.....	420:6
WATER BOARD STAFF QUESTIONS NTI AND KIA:...	440:20
DIAND QUESTIONS NTI AND KIA:.....	460:6
ENVIRONMENT CANADA QUESTIONS NTI AND KIA:..	470:12
DFO QUESTIONS NTI AND KIA:.....	472:7
PRESENTATION BY INDEPENDENT CONSULTANTS....	478:11
LICENSEE QUESTIONS INDEPENDENT CONSULTANTS.	494:11
WATER BOARD STAFF QUESTION INDEPENDENT CONSULTANTS:.....	496:5
CLOSING STATEMENTS BY ENVIRONMENT CANADA...	503:20
CLOSING STATEMENTS BY NTI.....	505:5
CLOSING STATEMENTS BY KIA.....	505:18
CLOSING STATEMENTS BY DFO.....	510:3
CLOSING STATEMENTS BY DIAND.....	511:7

1 (Hearing commenced at 8:40 a.m., December 8, 2004)

2 CHAIRMAN: Good morning, and
3 welcome back. Let's reconvene. Okay. Is the
4 applicant ready to ask questions with our last
5 intervenors?

6 LICENSEE QUESTIONS NTI AND KIA:

7 GREG MISSAL: Thanks very much.
8 Greg Missal with Tahera Diamond Corporation. Yes,
9 we are, Mr. Chair. And I would just ask for a
10 little bit of indulgence with some of our
11 questioning, perhaps we would be making some
12 statements of fact, as well, but I think it helps
13 to present our position on the items, but we will
14 certainly try to work through that the best we can.
15 And if there are any objections, please let us
16 know.

17 I would ask maybe Pete to begin.

18 PETER McCREATH: Good morning,
19 Mr. Chairman, members of the Board. Pete McCreath,
20 Clearwater Consultants. I'm going to address the
21 water quantity recommendations contained in Table
22 3.1.1 of the -- I guess it is at the back of the
23 Rescan report at page 3-1. There are ten
24 individual items listed under water quantity as
25 recommendations. I'm not going to address them
26 individually, but on a collective basis, I was

1 wondering if KIA was aware of the fact that all of
2 them, in one form or another, are included within
3 the various monitoring plans, the surface water
4 monitoring and waste management plans that we have
5 already presented.

6 There are two exceptions which I would like
7 to address briefly, one is the hydrometric
8 stations. We have addressed the issues of
9 measuring flows from C3 as in responses to previous
10 intervenors. Our concern is that it may not be
11 practical to establish stations on the streams at
12 the outlet of Lake C3. We are proposing to measure
13 lake levels in C3, and as best we can, develop a
14 relationship between the lake levels and the flows
15 in C3 to use as a means of adjusting our discharges
16 from the PKCA.

17 The other items, the monitoring of seepage
18 which is requested as three times per year, our
19 proposed seep monitoring plan proposes to measure
20 those seeps, in fact, once a year when the
21 concentrations of the flows enhance the potential
22 environmental concerns concerned with them would be
23 at their highest levels.

24 Thank you, Mr. Chair.

25 CHAIRMAN: Any further questions?

26 GREG MISSAL: Yes, there are,

1 Mr. Chair. I don't know if KIA wishes to comment
2 that they were aware or not that those items that
3 Mr. McCreath had mentioned were in the plan in the
4 AEMP plan as he had mentioned. I will leave that
5 up to KIA to comment.

6 A MICHAEL MCGURK: Michael McGurk. We
7 weren't aware that you were going to have a
8 hydrometric station at the outlet of C3, and that
9 is novel. We didn't know that until we came here,
10 and that's great, that's what we wanted.

11 What we are concerned about is the
12 relationship between the flows coming out of Lake
13 C3 and the flows coming out of the PKCA. The whole
14 idea behind asking for a site there was to
15 guarantee that the flows coming out of the PKCA
16 would never be more than one-tenth of the flows out
17 of Lake C3, and I haven't seen Tahera explicitly
18 address that connection. But by having a station
19 there, at least that can be done.

20 In regard to seepage, the recommendation of
21 three times a year was based on Ekati experience.
22 It is not an absolute, it is just something that
23 was developed over time. As long as you are
24 measuring it at least once a year, that's good.

25 GREG MISSAL: Mr. Chair, I would
26 like to ask Kelly Sexsmith to present her question.

1 Thanks.

2 Q KELLY SEXSMITH: This is Kelly
3 Sexsmith, Mr. Chair. I have a question for the KIA
4 regarding the statement that as a general guide
5 that discharge limits should not be set at levels
6 below that used at other diamond mines. I wondered
7 if KIA could please clarify why they feel that a
8 general principle of consistency with other diamond
9 mine licenses in the north in another jurisdiction,
10 though, should take precedence over limits derived
11 using site-specific information and sound science?

12 A MICHAEL MCGURK: Michael McGurk. In
13 our submission, and I don't think this was covered
14 last night, but in our submission we say as a
15 general guide, we recommend the discharge limits
16 should not be higher than those for diamond mines
17 unless there are scientifically defensible reasons
18 for allowing higher limits, and that last phrase
19 was not included in our verbal testimony. So I
20 agree with you that science is key.

21 But I attached three reasons why we
22 recommended that. The first is that there is
23 limited dilution capacity in the system. The
24 second is that it seems unlikely from the history
25 of water license -- water licenses in the Northwest
26 Territories that discharge limits will increase in

1 the future. If anything, they will stay the same,
2 or they will become more restrictive in the future.
3 And the third reason was that the Jericho mine is
4 the first diamond mine in Nunavut, and it is going
5 to set a precedent. It is going to be closely
6 watched by other miners. And at the very least,
7 Nunavut should have discharge limits that are no
8 higher than those in other mines, so that's the
9 logic.

10 Q KELLY SEXSMITH: Mr. Chair, I have
11 another question regarding that. Are you aware of
12 how those limits in other -- at those other mines
13 were set and what the basis for them was?

14 A MICHAEL MCGURK: No, I'm not, and that
15 is a problem. I have to say that the mechanism,
16 the method that Tahera used was one of the
17 clearest, most transparent methods that I have ever
18 read, and Tahera should be commended for making it
19 as simple and straightforward as it is. I have
20 absolutely no problem with the method. I think it
21 should be applied widely, I think it should be
22 applied to other mines as well, that's my personal,
23 professional opinion.

24 And I think what we are talking about is
25 really details. We are arguing about scientific
26 issues, but the method is good, and I have no

1 problem with it.

2 Q KELLY SEXSMITH: Okay. So you agree
3 that it may not be scientifically -- those may not
4 have any more scientific basis than ours do, and
5 that ours are certainly appropriate -- derived in
6 an appropriate manner. Do you agree?

7 A MICHAEL MCGURK: I think you have used
8 the right method. It is state of the art. There
9 are also good reasons for arguing about each limit.
10 And in our submission, I have tried to identify
11 things that are arguable. If it turns out that you
12 can present convincing arguments to have slightly
13 higher discharge limits -- well, that's a technical
14 issue, but I still feel that there is enough room
15 between what is predicted -- the predicted
16 concentrations in your PKCA, and the discharge
17 limits for you to be able to meet, at the very
18 least, the discharge limits, the maximum discharge
19 limits under the other mines. I don't see any
20 reason why you can't meet those discharge limits.

21 Q KELLY SEXSMITH: Mr. Chair, I have a
22 second question for KIA regarding discharge limits.
23 Rescan recommends on KIA's behalf that Tahera set
24 the TDS aquatic threshold at 200 milligrams per
25 litre instead of 400 milligrams per litre, and this
26 is a minor point because I believe they do agree

1 with the discharge criteria that we have set. But
2 the reason for this is that they didn't wish to set
3 a precedent of having an aquatic threshold defined
4 for TDS. We would suggest that any other site
5 would have to come up with their own aquatic
6 thresholds, and so that wouldn't be a
7 precedent-setting decision. And so it really has
8 no basis on the license, but that is just a comment
9 on that request.

10 A MICHAEL MCGURK: Michael McGurk. I
11 think everybody at Rescan was surprised at the idea
12 that Tahera wanted to release effluent with a TDS
13 concentration as high as 4000 milligrams per litre,
14 that was your provisional limit. You reduced that
15 to 2000 milligrams per litre. That is still
16 brackish water effluent, and it just seems quite
17 high, just intuitively. But if it is diluted
18 tenfold, we don't have a problem with that, if it
19 can be guaranteed to be diluted tenfold
20 consistently.

21 Q KELLY SEXSMITH: Okay. Thank you. I
22 just want to comment that I would hardly define
23 2000 milligrams per litre as brackish, but that's
24 just a comment. You might taste components in the
25 water, but they would not be harmful to you. And
26 brackish would normally apply that it is barely

1 drinkable. You could certainly drink water at 2000
2 milligrams per litre.

3 CHAIRMAN: Any further questions?

4 Q KELLY SEXSMITH: Yes, Mr. Chairman, I
5 have one more question regarding discharge limits.
6 Tahera was asked to reconsider the aquatic
7 threshold for nitrate using chronic end points
8 rather than acute end points as the basis for the
9 aquatic threshold.

10 We had an opportunity to consult with our
11 aquatic toxicology specialist on this issue, and
12 while he agreed that the testing that was done was
13 acute criteria, there were factors of safety
14 applied, which is the typical method for which
15 chronic criteria are derived. Typically there are
16 acute tests done in the lab which are then applied
17 several conservative factors, and they are used to
18 come with up a chronic criteria, and that was the
19 basis for that. It is a basis for many of the CCME
20 guidelines, and the key is the factor of safety
21 that's applied.

22 I have a memo from the specialist, which I
23 would be happy to submit to the Nunavut Water Board
24 for information purposes.

25 BILL TILLEMAN: Thank you,
26 Mr. Chairman, we should file that. So once Kelly

1 can give the name on it at a break or something.

2 JOHN DONIHEE: Mr. Chairman, we
3 haven't seen the memo. You know, when do we stop
4 seeing new memos?

5 BILL TILLEMAN: Thank you,
6 Mr. Donihee. And so that's kind of part of the
7 point which is why don't we -- the good news is she
8 has it right on her table. If we can -- let's
9 tentatively propose to mark it, but we will get it
10 over to Mr. Donihee, and if he has any objections,
11 then he will let us know.

12 (EXHIBIT TO BE MARKED WHEN RECEIVED)

13 GREG MISSAL: Mr. Chair, if I could,
14 I would maybe just like to add for the benefit of
15 KIA's legal counsel that the memo isn't any new
16 material, it is just a preparation notes for Tahera
17 for this particular topic. It is certainly no new
18 information on -- it is not a report. We are just
19 offering it to table, but we wouldn't have to
20 either.

21 CHAIRMAN: Further questions?

22 GREG MISSAL: Yes, Mr. Chair. I
23 would like to ask Rick Pattenden if he could table
24 his questions, please.

25 Q RICK PATTENDEN: Mr. Chair, Rick
26 Pattenden. My questions will focus on some

1 clarification regarding the monitoring program, and
2 I will refer specifically to Appendix A of the KIA
3 written submission.

4 The first is in relation to the
5 recommendation for baseline toxicity tests, Section
6 2.4.3.1. KIA has requested a baseline toxicity
7 test be applied or conducted in Long Lake, Lake C3
8 and Carat Lake to identify any compounding effects
9 that would affect the usefulness of the toxicity
10 results.

11 I would ask KIA at first why they would
12 request toxicity tests in Long Lake as it will be
13 used for the PKCA? And, second, have they got
14 specific experience in Arctic lakes, which are
15 usually ultratrophic, for evidence of baseline
16 toxicity for water bodies that contain healthy
17 biotic populations?

18 A MICHAEL McGURK: The reason why we put
19 in that recommendation was to help Tahera, because
20 the problem is not that the water isn't pristine
21 and toxin free, it is. The problem is that the
22 experimental animals that are used for these
23 toxicity tests are not used to that kind of water
24 and will -- may have a reaction to this very clean
25 water that could confound subsequent toxicity
26 tests. And it's a suggestion, it is not -- it is

1 not a major point. It was an attempt to help
2 Tahera provide a little bit more accurate toxicity
3 tests by factoring out the response of the
4 experimental animals to this kind of water, which
5 is something they are not used to, because they are
6 bred in cultured water.

7 Q RICK PATTENDEN: Mr. Chairman, Rick
8 Pattenden. Could KIA comment on the use of
9 toxicity tests for Long Lake water?

10 A MICHAEL MCGURK: Well, I presume that
11 there would still be some water in Long Lake when
12 the effluent -- when the discharge was going to be
13 pumped into it, so that was it. The presence of
14 some residual Long Lake water in the pond.

15 Q RICK PATTENDEN: Mr. Chair, Rick
16 Pattenden. We don't expect or we assume there
17 won't be any aquatic biota left in the PKCA once it
18 is activated.

19 My next questions pertain to Table 2.6.1,
20 suggested sampling stations for the AEMP. KIA has
21 suggested a number of additional sites and a number
22 of additional components to be sampled. We -- my
23 opinion is that our proposed monitoring program is
24 comprehensive enough to identify effects when
25 required, and the addition of more sites and more
26 parameters won't add value or the effectiveness of

1 the program.

2 I would ask KIA to clarify why they have
3 asked for additional sites, particularly in
4 downstream locations like the Jericho River and
5 Jericho Lake, as well as sites in Stream C3 or
6 stream environments which have not been included in
7 our program.

8 A MICHAEL MCGURK: I'm not sure that we
9 added any AEMP stations. We added two SNP stations
10 in Ash and Key Lake, but what we did was we added
11 variables to the AEMP sampling stations. And the
12 reason why we added variables was that as part
13 of -- well, the Jericho River station, what we
14 called in our submission SNP14 was required under
15 the NIRB certificate.

16 Item number 4 of NIRB stated that
17 "Tahera shall initiate a long-term
18 monitoring program regarding the health of
19 fisheries in the Carat Lake systems as far
20 down as the Jericho River, not only to
21 protect this fishery, but to enhance it."
22 Therefore, we felt that the Jericho River station
23 should be sampled for all biological variables just
24 to be compliant.

25 We suggested more benthic invertebrate
26 sampling at Lake C3, Carat Lake, and the Stream C1

1 above the mill, and we suggested that fish should
2 also be taken in the north basin of Jericho Lake
3 because fish in the lake -- the fish community in
4 the lake will be different than the fish community
5 in the river, that was the reason why we wanted
6 sampling in the lake, as well as the river.

7 And we added periphyton to Stream C1 above
8 the mouth because we felt that periphyton is only
9 really very useful in streams, so we should be
10 sampling it in the stream.

11 Q RICK PATTENDEN: Mr. Chairman, Rick
12 Pattenden. The NIRB certificate specifies
13 protection of fisheries as far down as the Jericho
14 River. Tahera does have a monitoring site in the
15 Jericho River, which is specific to collection of
16 water quality and sediment quality, and we feel
17 that that information is quite appropriate as an
18 indicator of the health of the aquatic system, and
19 therefore the protection of the fisheries.

20 Tahera also has monitoring sites in Carat
21 Lake and in Jericho Lake. Again, an advanced
22 warning of hazards to the fisheries in the Jericho
23 River. So we feel that is appropriate to address
24 the NIRB certificate.

25 In regards to the additional parameters at
26 other sites, again, it is my position that our

1 proposed program is quite adequate to detect
2 effects, if they occur, and these additions won't
3 add real value to the program, it will just
4 increase the complexity and the cost.

5 JOHN DONIHEE: John Donihee for KIA.
6 Mr. Chairman, I think Tahera is going to have lots
7 of time for a final argument, and I'm -- I mean, we
8 are being debated, and I just think that, you know,
9 this isn't the time for that kind of comment.

10 CHAIRMAN: Any further questions?

11 GREG MISSAL: Mr. Chair, just one
12 other question. I will ask Kelly Sexsmith for
13 that, please.

14 Q KELLY SEXSMITH: Mr. Chair, Kelly
15 Sexsmith. I have a question about the abandonment
16 and restoration recommendations.

17 KIA has recommended that Tahera demonstrate
18 the technical usefulness of in-situ fertilization
19 as a water cleaning technique. They indicate this
20 will require a well-documented research program
21 that can be scaled up to meet Jericho's
22 requirements on closure. And I just-- we laid out
23 a plan for that in our work, but that was pending
24 triggers. And we wonder if you agree whether it
25 would be appropriate to initiate those
26 investigations if the water quality -- updated

1 water quality predictions, which we will do when we
2 have more monitoring data, indicate whether or not
3 treatment will be required at that time?

4 A MICHAEL McGURK: I'm not sure I
5 understand. You mean triggers in post-closure
6 monitoring?

7 Q KELLY SEXSMITH: No, sorry, that wasn't
8 very clear. My question is really is it necessary
9 to initiate in-pit treatment study prior to
10 developing a better understanding of what the water
11 quality is and whether or not we will need
12 treatment of the pit water upon closure?

13 A MICHAEL McGURK: Michael McGurk. I
14 think -- I think a program should be considered.
15 Certainly, whether you should do it or not, that is
16 definitely something you should be evaluating.
17 Rescan has some experience with this at the island
18 copper mine, and we have been following other
19 attempts to use in-situ fertilization to -- as a
20 passive water treatment technique. And what we
21 have seen in other places is that it is very site
22 specific. At the island copper mine, it seems to
23 be a good technique for removing copper, cadmium
24 and zinc, but those may not be the problem metals
25 at Jericho.

26 Also, the sequestering of metals in the

1 sediments is only really effective if they cannot
2 be remobilized. In other words, the lake has to be
3 stratified permanently for the metals to be
4 permanently sequestered, and that may not be the
5 case in the Jericho pit when it is flooded.

6 So I think the big take-home lesson is that
7 in-situ fertilization is something that has to be
8 studied on a site-specific basis. It can't simply
9 be applied across all pit lakes. And that the
10 Jericho -- for Jericho it may work, it may not
11 work, and this uncertainty should lead to some
12 prior research on the issue. How much research and
13 how fast you want to scale up, that is something
14 you are going to have to decide for yourself.

15 Q GREG MISSAL: Mr. Chair, just one
16 other question that I thought of, and it is in
17 regard to the abandonment and reclamation estimate.
18 And I guess my question is the proprietary model
19 that KIA has used for its calculation, has that
20 model been used in other projects like this or
21 tested in other projects like this? And that's my
22 question.

23 A GEOFF CLARK: The company that
24 helped KIA develop this model has mine reclamation
25 experts and computer modelling experts on staff,
26 and that company's name is Gartner Lee Limited.

1 And they have helped other boards, McKenzie Valley
2 Land and Water Board, develop a security assessment
3 on objectives-based outcomes in the Northwest
4 Territories, and they have done -- and so they have
5 used this approach before. And we are satisfied
6 that it worked well. Thanks.

7 Q GREG MISSAL: I think I am more
8 referring to the -- it is Greg Missal with Tahera
9 Diamond Corporation. I am more referring to the
10 KIA proprietary model, if that has been used with
11 other projects?

12 A GEOFF CLARK: This is Geoff Clark.
13 This is the first time that we have used our model
14 for assessing security. It is proprietary, but it
15 is fairly simple. So there is -- this isn't full
16 of complex numeric calculations that you need to be
17 a Ph.D. mathematician to figure out. And, in fact,
18 part of our model is using the information that's
19 provided by other parties to generate the estimate.

20 So it was quite simple imputing a lot of the
21 information into this model, because most of the
22 information was provided by Tahera. And where
23 information wasn't provided by Tahera, we tried to
24 use information sources that have been used in the
25 past, and those information sources are derived
26 from the reclaim model, which is the accepted

1 calculation method used by DIAND.

2 So I guess what I am trying to let you know,
3 Mr. Chairman, is that the -- the model is not
4 complex, and the information sources that we used
5 are standard information that's available in the
6 industry.

7 Q GREG MISSAL: Greg Missal, with
8 Tahera Diamond Corporation. Thanks, Geoff. I just
9 thought it would be useful for the Board to know
10 that this was the first time that the proprietary
11 model is being used. And it seems quite often that
12 these models take some time to develop, but thanks
13 very much for your comments.

14 No further questions, Mr. Chair.

15 CHAIRMAN: There is a request
16 here to have a five-minute break.

17 (BRIEF ADJOURNMENT)

18 CHAIRMAN: Welcome back. Is the
19 applicant done with questions? Thank you.

20 JOHN DONIHEE: Mr. Chairman, I would
21 just like to make one clarification. Of the
22 comments made in our written submissions, this is
23 in response to something Mr. Cavanagh has drawn to
24 my attention. On slide 12 of the -- that would be
25 Exhibit 13, and also again on slide 14, the comment
26 is made that KIA has responsibility for the

1 protection and management of water on IOL.

2 And Mr. Cavanagh asked me about our use of
3 the term "management," and the clarification I
4 would like to add is simply that as the Board may
5 be aware, Nunavut Tunngavik has developed a water
6 policy for Inuit-owned lands which addresses
7 questions of both protection and management of
8 water on those lands pursuant to Inuit rights under
9 Article 20 of the land claim. And as we indicated
10 in our comments, our written and verbal, Kitikmeot
11 Inuit Association is the designated Inuit
12 association for the Kitikmeot region for purposes
13 of Article 20.

14 And so just to give a bit of an example,
15 under Section 20.2.2 of the Land Claim Agreement,
16 Inuit have the exclusive right to the use of water
17 on Inuit-owned lands. Now the underlying ownership
18 of the water is retained by the Crown, but the
19 exclusive right to use it belongs to Inuit.

20 And pursuant to that right, Inuit could, for
21 example, charge a fee for water use on IOL. None
22 of this affects Tahera, because they are drawing
23 all their water from Crown land. But it is that
24 background, Mr. Chairman, that provided the basis
25 for us saying that Inuit had the right to manage
26 water on IOL, particularly here KIA in the

1 Kitikmeot region. The comment is made in reference
2 to our responsibilities as a DIO and under Article
3 20. And it was not some kind of veiled challenge
4 to the Government of Canada's authority over water
5 generally and through the Nunavut Waters Act. So I
6 just wanted to make that clarification, sir.

7 CHAIRMAN: Thank you. Okay. Any
8 questions from DIAND to NTI and KIA?

9 GLEN STEPHENS: Mr. Chairperson, it is
10 Glen Stephens. INAC would like to request a short
11 postponement in questioning the NTI and KIA
12 representative since the plane carrying the rest of
13 the INAC team went mechanical. The questions INAC
14 would like to ask the NTI/KIA representatives seek
15 clarification on the issues of A&R, security and
16 aquatic discharge. We expect the plane to arrive
17 about 10, 10:15.

18 BILL TILLEMAN: So, Mr. Chair, I think
19 you just simply ask the parties how they feel about
20 the request, and then you can decide from there.

21 CHAIRMAN: Are the parties in
22 agreement with DIAND's request?

23 JOHN DONIHEE: Mr. Chairman, John
24 Donihee. KIA and NTI, we will make ourselves
25 available whenever DIAND can get their nonresident
26 experts here.