

## NUNAVUT WATER BOARD

## BENACHEE RESOURCES INC. WATER LICENSE APPLICATION

DECEMBER 6, 2004

VOLUME 1

LOCATION: KUGLUKTUK COMMUNITY COMPLEX

KUGLUKTUK, NUNAVUT

## PANEL:

Thomas Kudloo

Chairman

Robert Hanson

Vice-Chairman

Lootie Toomasie

Guy Kakkiarniun

Thomas Kabloona

George Porter

## BOARD STAFF:

Dr. Bill Tilleman, Q.C. Legal counsel

Philippe di Pizzo

Executive Director

Dionne Filiatrault

Stephen Lines

Ben Kogvik

Dave Hohnstein

Phyllis Beaulieu

Susie Ikkutisluk

Nunavut Water  
Board

FEB 14 2005

Public Registry

COURT REPORTER:

Tara Lutz

INTERNAL	
PC	up
MA	
FO	
LA	
BS	
ST	
TM	
TA2	
FC	
ED	
CH	
BRD	
EXT.	

INDEX

OPENING REMARKS BY CHAIRMAN:..... 3:2

OPENING PRAYER:..... 4:14

INTRODUCTIONS AFTER OPENING PRAYER..... 4:16

PRESENTATION BY THE LICENSEE..... 19:10

1 (Hearing commenced at 7:15 p.m., December 6, 2004)

2 OPENING REMARKS BY CHAIRMAN:

3 CHAIRMAN: Good evening, ladies  
4 and gentlemen. My name is Thomas Kudloo, chairman  
5 of the Nunavut Water Board, and I'm from Baker  
6 Lake, Nunavut.

7 We will now proceed. If you have not done so  
8 already, would you please register at the front  
9 door with Phyllis Beaulieu, licensing  
10 administrator. Thank you.

11 The Nunavut Water Board welcomes you all to  
12 this public hearing which will now be open in  
13 Kugluktuk to hear an application by Tahera to  
14 obtain a water license for the Jericho diamond  
15 mine.

16 I would like to welcome the residents of  
17 Kugluktuk, intervenors from the federal and  
18 territorial governments, the Kitikmeot Inuit  
19 Association and Nunavut Tunngavik Incorporated, and  
20 a particular warm welcome to all the people from  
21 Bathurst Inlet area who have travelled to Kugluktuk  
22 to attend this important hearing.

23 The Jericho project was subject to an  
24 environmental assessment conducted by our sister  
25 board, the Nunavut Impact Review Board, last  
26 spring. NIRB held public hearings in Kugluktuk,

1 Cambridge Bay and Gjoa Haven, and that Board  
2 recommended to the Minister of DIAND to approve the  
3 project and to send it to the regulatory approval,  
4 which we are now doing.

5 Last fall Tahera filed its application for  
6 water license, and the Nunavut Water Board then  
7 held a technical meeting and a prehearing  
8 conference in Kugluktuk in October. We are now  
9 here for a public hearing, and after this hearing,  
10 the Board will likely render its decision.

11 Before we begin the public hearing, I would  
12 like to invite Lootie Toomasie to say the opening  
13 prayer. Lootie?

14 OPENING PRAYER:

15 LOOTIE TOOMASIE: (Opening prayer)

16 INTRODUCTIONS AFTER OPENING PRAYER:

17 CHAIRMAN: Thank you, Lootie.

18 The Nunavut Water Board has jurisdiction and  
19 responsibility for the use, management, and  
20 regulation of fresh water in Nunavut. In other  
21 words, this means that the Water Board must approve  
22 any water use or direct or indirect deposit of  
23 waste, liquid, gaseous or solid into water. This  
24 includes municipal services, mining exploration,  
25 mining development, water storage and dams, and any  
26 other water uses or disposal of waste which could

1 adversely affect the quality, quantity or flow of  
2 water.

3 When approving an application, the Water  
4 Board can include any condition that it deems  
5 appropriate with respect to that water use and  
6 waste disposal activity, including the provision  
7 for abandonment of the undertaking, financial  
8 assurance or financial security deposit.

9 Before approving any water use or disposable  
10 waste for a major project, such as the opening of  
11 the Jericho mine, the Water Board is required to  
12 hold a public hearing like this one to hear the  
13 applicant and the views and concerns of interested  
14 parties, such as government, community groups and  
15 the general public.

16 The Water Board has all the powers and  
17 authority of a commissioner under the Inquiries  
18 Act. This means that the Board can subpoena  
19 witnesses to appear before it at any hearing to  
20 provide relevant information which will become part  
21 of a public record and will be considered in the  
22 decision-making process.

23 Unless a matter is directly relevant to an  
24 application, the Board will not consider it in its  
25 deliberations.

26 So I will formally request from time to time

1       that intervenors and members from the general  
2       public limit their interventions or questions to  
3       the matter under consideration within the  
4       jurisdiction of the Board.

5               To conclude my opening remarks, I invite you  
6       to take some information on this application from  
7       Phyllis Beaulieu, our license administrator. And I  
8       ask anyone to sign in with her, as well, so that we  
9       will keep a record of attendance for future  
10      reference.

11             I will now give you some brief instructions  
12      on how to proceed with your presentation or  
13      interventions. When you come up to make your  
14      presentation or intervention, please state your  
15      name for the record before you speak, spell it out,  
16      if necessary. Anyone who will present evidence  
17      shall do so under oath or affirmation, but this  
18      requirement does not apply to persons who simply  
19      want to ask questions or make observations. All  
20      questions shall be directly through the chairman,  
21      who in turn will ask Tahera, intervenors and any  
22      other person to answer it.

23             Since we have simultaneous translations in  
24      Inuktitut and English, it is very important that  
25      only one person speaks at any given time. And  
26      please speak clearly and slowly, especially because

1 we have simultaneous interpretations in both  
2 Innuinaqtun and Inuktitut.

3 Our interpreters today are Edna Elias and Ben  
4 Kogvik in Innuinaqtun. Mary Hunt and Deborah  
5 Tagornak in Inuktitut. You can pick up the  
6 headphones from them. Please return the headphones  
7 to them when you leave so that they can recharge  
8 the batteries and have them ready for the next  
9 session.

10 The hearing will be recorded, and transcripts  
11 of proceedings will be eventually produced.  
12 However, this will take some time, and I ask you  
13 not to rely on eventual transcripts and instead  
14 take your own notes for any evidence heard during  
15 this hearing.

16 In terms of scheduling, we will start with  
17 the business on our agenda, but we will likely go  
18 on as far as item 8, and we will continue tomorrow  
19 starting at 8:30 sharp. Out of respect for many  
20 elders in this room, we will adjourn the hearing at  
21 a reasonable time tonight, no later than 10:30  
22 tonight.

23 Does anyone have any questions before we  
24 proceed with the public hearing? Thank you. We  
25 will now proceed and follow the agenda as outlined  
26 in the order of events.

1           The Board is normally made up of eight  
2       members, plus the chairman. As I already stated,  
3       my name is Thomas Kudloo, chairman of the Nunavut  
4       Water Board, and I am from Baker Lake. To my left  
5       is Bob Hanson, the vice-chairman from Iqaluit. We  
6       have Guy Kakkiarniun from Pelly Bay. We also have  
7       Lootie Toomasie from Qikiqtarjuaq. To my right is  
8       Thomas Kabloona from Baker Lake, and George Porter  
9       from Gjoa Haven.

10           Missing Water Board members are Charlie  
11       Inuaraq from Pond Inlet, Geoff Kusugak from Rankin  
12       Inlet. They are unable to make it here due to  
13       weather problems. We also have Bill Lyall who is  
14       absent, and he is from Cambridge Bay.

15           The Board's head office is over in Gjoa  
16       Haven. Philippe di Pizzo is the chief  
17       administrative officer. Dionne Filiatrault is the  
18       senior technical advisor. David Hohnstein is a  
19       technical advisor. Stephen Lines is the hearing  
20       coordinator. Phyllis Beaulieu is the manager of  
21       licensing up front there. And we also have Susie  
22       Ikkutisluk as a licensing trainee. We also have  
23       Ben Kogvik who is the secretary to the Board. Also  
24       present is Dr. Bill Tilleman, legal counsel for the  
25       Board.

26           We will now take a 15-minute break. And if



1 you have not registered already, please do so now  
2 with Phyllis Beaulieu. This will give you time to  
3 register in case you haven't, and we will just take  
4 a 15-minute break, by then the others will also be  
5 here. Thank you.

6 (BRIEF ADJOURNMENT)

7 CHAIRMAN: Welcome back.  
8 Welcome. Cambridge Bay, Bathurst Inlet, Bay Chimo  
9 now have arrived. Thank you very much.

10 Welcome back. Now let's move on to item 4 of  
11 the agenda. I recognize here Mr. Greg Missal who  
12 is the vice-president of Nunavut affairs for  
13 Tahera. Mr. Missal, would you please introduce  
14 yourself and your group, and please inform the  
15 Board and the audience who will make the  
16 presentation on behalf of Tahera. Thank you. Mr.  
17 Missal?

18 GREG MISSAL: Thank you very much,  
19 Mr. Chairman. On behalf of Tahera Diamond  
20 Corporation, we are very pleased to be here this  
21 evening in Kugluktuk, always nice to come back.

22 Obviously we were all here a month ago, and  
23 now we are here for this very important occasion.

24 The team that's with me here this evening is:  
25 I'll start on my left, Rick Pattenden, Mainstream  
26 Aquatics doing aquatic consulting for us. Bruce

1 Ott, most of you -- many of you know Bruce here,  
2 and he will be giving our monitoring portion of the  
3 presentation, this evening. Letha McLaughlin to my  
4 immediate left is Tahera's legal counsel. To my  
5 right, Kelly Sexsmith with SRK Consulting primarily  
6 working on water quality. Cam Scott, SRK  
7 Consulting, working on geotechnical matters related  
8 to the project. Pete McCreath of Clearwater  
9 Consulting working on site water management. And  
10 Don Hayley of EBA Consulting working on the  
11 processed kimberlite containment area design. And  
12 behind me I have Court Smith who is the  
13 vice-president with Nuns Logistics who will be  
14 giving our restoration and closure cost estimates  
15 on behalf of Tahera. And also Dan Johnson who is a  
16 vice-president with Tahera Corporation,  
17 vice-president of operations, who will be  
18 responsible for the operations component of the  
19 Jericho diamond project.

20 And I will be giving the beginning of the  
21 presentation this evening, and I will be calling on  
22 our consultants, as required, throughout the  
23 presentation, and they will be presenting their  
24 portions of that, and we will move through in that  
25 fashion. Thank you.

26 CHAIRMAN:

Thank you, Mr. Missal.

1           For those that did not register yet, please  
2           go over to the strip. for your information here, I  
3           just said anyone who has not signed in yet, please  
4           do so with Phyllis Beaulieu and Susie there at the  
5           front, so we may use your names for reference in  
6           the future, thank you.

7           I have a list of persons or agencies who have  
8           submitted written interventions to the Board and  
9           who have registered with Phyllis Beaulieu,  
10          licensing administrator.

11          I will now do a roll call to confirm who is  
12          going to intervene and the names of their agents or  
13          legal counsel, if they have one. If no one has any  
14          objections, we will start with DIAND, I believe,  
15          thank you. Followed by Environment Canada. Is  
16          Environment Canada here? No. DFO, Department of  
17          Fisheries and Oceans?

18          GLEN STEPHENS:                   Mr. Chair, would they  
19          be maybe on the phone? I don't know.

20          CHAIRMAN:                        Okay. NTI? Thank  
21          you, Jeannie. KIA? Thank you. Hamlet of  
22          Kugluktuk? Hamlet of Kugluktuk, anybody here? But  
23          we will assume that they will make a presentation.  
24          Thank you.

25          So please come up and state your name.  
26          Starting with DIAND, I believe Mr. Carl McLean from

1 Iqaluit is here with a number of people from his  
2 department.

3 GLEN STEPHENS: Hello, Mr. Chairman.

4 My name is Glen Stephens, and I represent the  
5 Department of Indian and Northern Affairs. I am  
6 acting director of operations. With me today is  
7 Carl McLean, lands manager; Elizabeth Sherlock,  
8 manager of water resources; Robert Eno, water  
9 resource coordinator for the Kitikmeot region;  
10 Scott Stewart, water resource officer; Jennifer  
11 Hayword, senior communications officer; and Norm  
12 Cavanagh, legal advisor for justice. And on the  
13 phone we have some of our other DIAND team who will  
14 be joining us as well tomorrow in person. We have  
15 Geoff Howell with lands specialist; we have David  
16 Osmond and Sally Howsen from Gartner Lee, John  
17 Brodie from Brodie Consulting; and Kendra Patrick  
18 from the INAC regional office as well. Thank you.

19 CHAIRMAN: Thank you. Next was  
20 Environment Canada, but I believe they are not here  
21 right now. Environment Canada? Next was DFO. I  
22 believe they are not here right now. NTI?  
23 Jeannie?

24 JEANNIE EHALOAK: Hello, Mr. Chairman.  
25 Jeannie Ehaloak, environmental coordinator with NTI  
26 Lands and Resource Department out of Cambridge Bay.

1 CHAIRMAN: Thank you. Next was  
2 KIA.

3 MR. DONIHEE: Good evening, Mr.  
4 Chairman. My name is John Donihee. I'm counsel  
5 for the Kitikmeot Inuit Association. We have  
6 Raymond Kayasark, vice-president of KIA; Mr. Geoff  
7 Clark; Mr. Jack Kaniak and Misolin (phonetic)  
8 Carter, all with KIA. And we are assisted by Dr.  
9 Michael McGurk from Rescan Consultants. So that  
10 will be the team that's available to make a  
11 presentation for you when you get to us. Thank  
12 you.

13 CHAIRMAN: Hamlet of Kugluktuk?  
14 Hamlet of Kugluktuk? We will assume that the  
15 Hamlet of Kugluktuk will make a presentation when  
16 they are ready, thank you.

17 I would just like to encourage the Elders to  
18 speak up at any time. We encourage the Elders to  
19 provide information, evidence and express their  
20 concerns and speak up at any time.

21 I am encouraging the Elders to speak up in  
22 presenting their evidence. Thank you.

23 Thank you very much, ladies and gentlemen.  
24 We will now hear your presentation after  
25 introducing other intervenors at this hearing.

26 Before we ask interested parties to come

1 forward, I would like to invite any Elder to speak  
2 if they wish. The Water Board considers that  
3 traditional Inuit knowledge has an important role  
4 to play in the decision-making process, along with  
5 the western scientific knowledge. In our culture,  
6 Elders are highly respected for their knowledge and  
7 wisdom, therefore we invite and encourage them to  
8 ask questions or make comments, not only now, but  
9 at any time convenient to them during this hearing,  
10 just raise your hand or make a sign, and we will  
11 make sure that you have the floor and a microphone.

12 I would like to welcome Elders, the community  
13 here to say anything what they want to say. I  
14 would like them to feel comfortable to give us your  
15 knowledge. We would like to share everything what  
16 you have to say. And you have your wisdom and  
17 knowledge, traditional knowledge, you can say  
18 anything, every time, whatever you want to say,  
19 just raise your hand.

20 So let's move on to item 6 of the agenda. As  
21 of now, I would like anyone who has not submitted  
22 interventions but who wish to speak at this hearing  
23 and would like to make a presentation to come  
24 forward and state your name and the organization  
25 that you represent at this time. It is only for  
26 presentations only and not for questions.

1 I do have a note here from the independent  
2 consultants, Ramli Halim from Acres International,  
3 Bruce Bennett, Acres International, Dr. Brian  
4 Leece, Dillon Consulting.

5 To my knowledge, no organization or  
6 individuals have made any motion or stated a  
7 written objection to the holding of this hearing,  
8 but at this time I will ask if there are any  
9 motions or objections to the holding of this  
10 hearing? If any organization or individual has an  
11 objection to the holding of this hearing, please  
12 come forward and state your concerns and reasons to  
13 why you would object.

14 I encourage the Elders, the floor is open for  
15 the Elders to make presentations. Are there any  
16 Elders who would like to make a statement or  
17 presentation, a verbal presentation at this time?

18 I would like to remind you that as Elders, we  
19 will give you any chance that you want to make  
20 comments, please just let me know at any given  
21 time.

22 I will repeat myself again. I encourage you  
23 Elders to make presentations at your own pace.  
24 Thank you.

25 So we are now ready to start with Tahera's  
26 presentation as of this moment. Thank you, Mr.

1 Missal.

2 BILL TILLEMAN: Mr. Chairman, thank  
3 you. It is Bill Tillemann with the staff. We note  
4 that since we are going into the presentation, it  
5 might be a good idea to just swear all of their  
6 witnesses so that we can have them all done in one  
7 batch, and that way we don't interrupt them as in  
8 they do whatever they do in presenting their  
9 different parts. And also for the purpose of the  
10 record, the Board would like to propose that we  
11 file exhibits in the following order.

12 The first thing which may not be apparent to  
13 the audience, Mr. Chairman, is that just a couple  
14 of days ago we received a letter regarding the  
15 specific name of the company, and it is a corporate  
16 relationship issue, but we would like to file a  
17 letter that was sent to the Board from a Board  
18 request regarding the naming of the licensee.

19 And so we propose that that letter dated  
20 December 3rd to the Board from Greg Missal be filed  
21 as Exhibit number 1. And then as Exhibits number 2  
22 and 3, that tomorrow the Tahera could file, and we  
23 will mark this presentation that everyone is about  
24 to see, as Exhibit number 2, the electronic copy.  
25 And then as Exhibit number 3, this presentation in  
26 hard copy. So we will work with the company to try



1 to get copies available as best we can for  
2 reference tomorrow, and that's the staff's concern.

3 And then the second one, Mr. Chairman, with  
4 your permission is that I will swear the team that  
5 Mr. Missal would like me to.

6 EXHIBIT NO. 1

7 LETTER DATED DECEMBER 3RD TO THE BOARD  
8 FROM GREG MISSAL RE: REGULATORY INSTRUMENTS  
9 FOR THE JERICHO DIAMOND CORPORATION

10 EXHIBIT NO. 2:

11 TAHERA PRESENTATION - ELECTRONIC COPY

12 EXHIBIT NO. 3:

13 TAHERA PRESENTATION - HARD COPY

14 BILL TILLEMAN: Mr. Chairman, we will  
15 swear the witnesses. Mr. Missal, please state your  
16 name for the record, and spell your last name.

17 GREG MISSAL: My name is Gregory  
18 Glen Missal. Last name is spelled M-I-S-S-A-L,  
19 vice-president with Tahera Diamond Corporation.

20 (GREGORY GLEN MISSAL SWORN)

21 BILL TILLEMAN: Please state your name  
22 for the record and spell your last name.

23 CAM SCOTT: Cam Scott, S-C-O-T-T.

24 (CAM SCOTT SWORN)

25 BILL TILLEMAN: Thank you. Please  
26 state your name for the record and spell your last

1 name.

2 RICK PATTENDEN: Rick Pattenden,

3 P-A-T-T-E-N-D-E-N.

4 (RICK PATTENDEN SWORN)

5 BILL TILLEMAN: Please state your name  
6 for the record and spell your last name.

7 BRUCE OTT: Bruce Ott. O-T-T.

8 (BRUCE OTT SWORN)

9 BILL TILLEMAN: Please state your name  
10 and spell you last name for the record.

11 DANIEL JOHNSON: Daniel Johnson,

12 J-O-H-N-S-O-N.

13 (DANIEL JOHNSON SWORN)

14 BILL TILLEMAN: Please state your name  
15 for the record and spell your last name.

16 KELLY SEXSMITH: Kelly Sarah Sexsmith,  
17 S-E-X-S-M-I-T-H.

18 (KELLY SARAH SEXSMITH AFFIRMED)

19 BILL TILLEMAN: Please state your name  
20 for the record, and spell your last name.

21 COURT SMITH: Court Smith, S-M-I-T-H

22 (COURT SMITH SWORN)

23 BILL TILLEMAN: Please state your name  
24 for the record, and spell your last name.

25 PETER McCREATH: Peter McCreath,

26 M-c-C-R-E-A-T-H.

1 (PETER MCCREATH SWORN)

2 BILL TILLEMAN: Please state your name  
3 for the record, and spell your last name.

4 DONALD HAYLEY: Donald Hayley,  
5 H-A-Y-L-E-Y.

6 (DONALD HAYLEY SWORN)

7 BILL TILLEMAN: Thank you, Mr.  
8 Chairman.

9 CHAIRMAN: Thank you. Mr.  
10 Missal, please proceed with your presentation.

11 PRESENTATION BY THE LICENSEE:

12 GREG MISSAL: Thank you very much,  
13 Mr. Chairman.

14 Our presentation is fairly lengthy. We will  
15 try to move through it as efficiently as we can;  
16 however, I do believe it is important to involve  
17 our consultants who are experts in the areas that  
18 we are going to discuss tonight so that you, the  
19 Board, and the audience here this evening can hear  
20 their interpretation and presentations on these  
21 topics.

22 Just like to add one item as legal counsel  
23 for the Board had mentioned regarding the naming of  
24 the company. The project is being developed by a  
25 wholly owned subsidiary of Tahera Diamond  
26 Corporation, that being Benachee Resources.

1           Tahera has the full right to act on behalf of  
2 Benache Resources since it is a wholly owned  
3 subsidiary.

4           When the company submitted the Final  
5 Environmental Impact Statement for the project, it  
6 was stated that Tahera was acting on behalf of  
7 Benache, and the same statement was made in the  
8 water permit submission to your Board as well.

9           So I'll move along into the presentation.  
10 Just a little bit of background information for the  
11 Board, more of a refresher than anything. Tahera  
12 is a 100 percent Canadian owned company. We are a  
13 publicly traded company on the Toronto Stock  
14 Exchange.

15           Our focus right now is developing Nunavut's  
16 first diamond mine. We have made some very  
17 significant progress recently in helping us to  
18 bring together the development of this project, and  
19 in particular, the financing for this project. We  
20 entered an agreement with Tiffany & Co. from New  
21 York for the marketing of the diamonds from the  
22 Jericho project. We are very, very pleased with  
23 this agreement with Tiffany's. I believe it brings  
24 instant credibility to this project, as well as  
25 bringing credibility to Nunavut diamonds. And I  
26 think that once everyone saw that Tiffany's was

1 interested in doing a deal with a company mining  
2 diamonds in Nunavut, I think it immediately draws  
3 more attention to diamond mining in Nunavut and  
4 will be beneficial for years to come. And we are  
5 very pleased to be part of an agreement like this  
6 to help to bring this sort of attention to Nunavut.

7 Part of the deal with Tiffany's was a \$35  
8 million credit facility. And in addition to that,  
9 we have also completed a \$50 million financing.  
10 Essentially what that means is that this project is  
11 fully financed and ready to go.

12 We are currently in a growth phase within our  
13 company. We are adding staff and personnel to the  
14 company to help us ramp up the work that's required  
15 to handle a project such as this. And in addition  
16 to all of this, we are also very active in  
17 exploring for more diamonds in the west Kitikmeot  
18 in particular. And we hope to be here and mining  
19 for many years to come.

20 Some other achievements related to the  
21 project, as many people are probably aware of was  
22 the completion of the Inuit Impact Benefit  
23 Agreement or IIBA, which we completed with KIA.  
24 And very pleased to say that we had a signing  
25 ceremony only a couple of months ago with the KIA.  
26 That agreement was forwarded to the Minister for

1 Indian and Northern Affairs, and we did receive his  
2 sign-off on that.

3 Also, as you know, which allows us to be here  
4 today, was receiving approval from the Nunavut  
5 Impact Review Board regarding the environmental  
6 assessment of this project. That recommendation  
7 from NIRB was also approved by the Minister for  
8 Indian and Northern Affairs.

9 And as you also know, we met here a little  
10 more than a month ago regarding a technical meeting  
11 for the project. I think a very useful process.  
12 It fostered a real flow of information, of  
13 technical information, that is. We resolved many  
14 issues while we were here, and of course at the end  
15 of that a couple of days, all parties agreed that  
16 the water permit submission conformed to the  
17 guidelines.

18 This is just a very general map showing the  
19 location. I am sure we all know where we are.  
20 Jericho is located approximately 200 kilometres  
21 southeast of where we are this evening, about 350  
22 kilometres from Cambridge Bay, and about 400  
23 kilometres, approximately, northeast of  
24 Yellowknife.

25 This shows us a little closer scale, Jericho  
26 being located on the north end of Contwoyto Lake.

1 And of course you can see Kugluktuk on this map, as  
2 well as Bathurst Inlet also being about 200  
3 kilometres away from the Jericho site.

4 This picture basically just shows the  
5 exploration camp that exists at the Jericho site  
6 today. It is used for our exploration crew to  
7 conduct their work out of, and we will be utilizing  
8 part of this during the very early phases of some  
9 construction, but there is no long-term plans for  
10 utilizing this camp.

11 I want to very quickly point out some of the  
12 most important components of the proposed future  
13 mine site to just give everyone a general idea of  
14 where those items are located, because the  
15 consultants are going to be speaking about each of  
16 them in much more detail as we move through our  
17 presentation.

18 Just to start in the north end, we have the  
19 airstrip that exists today. Our intent is to  
20 lengthen that airstrip to accommodate some larger  
21 aircraft into that area, onto that strip. Moving  
22 down, we have the open pit that will be constructed  
23 where the kimberlite ore will be removed.

24 Waste-rock stockpiles are located adjacent to the  
25 open pit. Processed kimberlite piles and ore piles  
26 located here, right next to the processing plant,