

0001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

NUNAVUT WATER BOARD HEARING

RE: MEADOWBANK GOLD MINE PROJECT TYPE A WATER LICENSE

HEARING HELD AT THE
COMMUNITY CENTRE
BAKER LAKE, NUNAVUT
APRIL 15, 2008

1 APPEARANCES:
2 NUNAVUT WATER BOARD (NWB):
3 Mr. L. Toomasie Chair
4 Mr. G. Kakkiarniun Member
5 Mr. G. Porter Member
6 Mr. T. Tatatuapik Member
7 Mr. R. Hanson (by phone) Member

8 NUNAVUT WATER BOARD STAFF:
9 Mr. W. A. Tilleman, Q.C. (by phone) Legal Counsel
10 Ms. C. Emrick, Esq. Legal Counsel
11 Ms. D. Filiatrault Executive Director
12 Mr. D. Hohnstein Acting Director Technical
13 Services
14 Mr. B. Kogvik Secretary/Interpreter/
15 Translator
16 Mr. J. Seto Senior Geotechnical Advisor
17 Mr. D. Carr Licensing Administrator
18 Mr. R. Dwyer Licensing Administrator
19 Mr. S. Lines Tunaley Lines &
20 and Ms. K. Tunaley Associates

21 LICENSEE:
22 AGNICO-EAGLE MINES LIMITED (AEM)
23 -Mr. L. Connell Manager of Environment, Social,
24 and Government Affairs, AEM
25 Meadowbank Division
26 -Mr. T. Eldridge Golder Associates
27 -Ms. V. Bertrand Golder Associates
28 -Mr. D. Walker Golder Associates
29 -Mr. J. Donihee Legal Counsel
30 -Mr. G. Mann Azimuth Consulting
31 -Mr. S. Doire Mine Site Environmental
32 Coordinator
33 -Mr. R. Vanengen Mine Site Environmental
34 Coordinator
35 -Ms. R. Gould Environmental Manager of
36 Permitting and Compliance
37 Monitoring
38 -Mr. S. Robert Environmental Engineer, AEM
39 Abitibi Division

1 INTERVENERS:

2 INDIAN AND NORTHERN AFFAIRS CANADA (INAC)

3 -Mr. M. Nadler Nunavut Regional Director
General

4 -Mr. J. Rogers Manager of Water Resources

5 -Mr. K. Landa Legal Counsel-Justice Canada

6 -Mr. K. Armstrong Technical Specialist

7 ENVIRONMENT CANADA (EC)

8 -Ms. A. Wilson Water Pollution Specialist

9 -Mr. G. Groskopf Mining Specialist

10 DEPARTMENT OF FISHERIES AND OCEANS CANADA (DFO)

11 -Ms. A. Liu Habitat Management Biologist

12 -Mr. D. Balint Habitat Management Biologist

13 GOVERNMENT OF NUNAVUT-DEPARTMENT OF ENVIRONMENT
(GN-DOE)

14 -Ms. H. Yeh Manager of Environmental
Assessment and Land Use

15 -Mr. E. Baddaloo Director of Environmental
Protection

16 NUNAVUT TUNNGAVIK INCORPORATED (NTI) AND
KIVALLIQ INUIT ASSOCIATION (KIA)

17 -Mr. J. Lindell

18 -Ms. J. Ehaloak

19 -Mr. L. Manzo

20 -Mr. S. Hartman Environmental and Water Officer,
KIA Lands Department

21 INTERPRETERS/TRANSLATORS:

22 Mary Hunt Inuktitut Language

23 Rhoda Perkison

24 Trevor Bourque Sound Technician (PIDO)

25 Karoline Schumann, CSR(A) Court Reporter

26

0004

1	INDEX	
2		Page
3	Opening Comments and Introductions	5
4	Application History	9
5	Roll Call	13
6	PRESENTATION BY AEM	15
7	INAC Questions AEM	54
8	EC Questions AEM	61
9	DFO Questions AEM	69
10	KIA Questions AEM	76
11	Public Questions AEM	80
12	NWB Staff Question AEM	93
13	Procedural Matters	116
14	PRESENTATION BY INAC	117
15	AEM Questions INAC	134
16	KIA Questions INAC	138
17	NWB Staff Question INAC	142
18	COMMUNITY PRESENTATION BY AEM	166
19	Community Questions	186
20	AEM President Addresses Community	212
21	Reporter's Certificate	215
22	Exhibits	216
23		
24		
25		
26		

1 (PROCEEDINGS COMMENCED AT 9:06 A.M.)
2 THE CHAIR: Welcome, we'll start now.
3 Prior to the conference, I would like to call on David
4 Aksawnee, the Mayor of Baker Lake.
5 MR. AKSAWNEE: Good morning. Welcome to
6 Baker Lake and have a good meeting. There's -- as a
7 community, people here in Baker Lake, and if you do not
8 know where some people are located, the people that you
9 wish to see, you're welcome to approach us.
10 And also, I wish you will have a good meeting during
11 your stay, have a good meeting today, and you'll be --
12 carry on with your meetings in related to the gold
13 mining project.
14 This is my fourth year, and I understand the project
15 quite well myself, but today as a community, people
16 here, the population is big in community here, and
17 they're very in support of the mining project. And I go
18 up to the mine site periodically just to update myself
19 on behalf of my community, and I wish to welcome them
20 all, the Proponent, and I hope you will carry on to do
21 your best job as you can.
22 This is related to water licensing, although I
23 understand we have heard these lengthy discussions in
24 regards to this project since the Cumberland company.
25 Now, it's taken over by Agnico-Eagle Mine. It's still
26 the -- it's related to the same project.

1 Please feel welcome. Where our office is open, if
2 you have any questions, to approach us any time.
3 THE CHAIR: Thank you, Mayor Aksawnee.
4 Good morning. My name is Lootie Toomasie. I'm the
5 Chair for the purpose of this public hearing and
6 application. The Acting Chair of the Nunavut Water
7 Board, Thomas Kabloona from Baker Lake, is down here in
8 the audience, and the Vice Chair, Geoff Kusugak, from
9 Rankin Inlet, and Raymond Kayasark from Kuggark have
10 declared that they will not participate in the hearing
11 of this application to ensure there are no conflicts of
12 interest or apprehensions of bias.
13 I will introduce the members of the Board shortly.
14 However, to remove any concerns about Board quorum, I
15 advise the parties now that Robert Hanson is
16 participating in this hearing via teleconference.
17 Robert, are you on the line; can you hear us?
18 Robert Hanson, are you on the line?
19 MR. HANSON: Yes, I am. Lootie, can you
20 hear me?
21 THE CHAIR: Yes, we can hear you. Thank
22 you, Bob, for participating via teleconference.
23 MR. HANSON: No problem, Lootie. Thank
24 you.
25 THE CHAIR: Thank you. Before we
26 proceed with the hearing, let us begin with a prayer. I

1 have asked Board Member, Tommy Tatatuapik from Arctic
2 Bay, to say a -- to say a prayer for the opening prayer.
3 Tommy.
4 (OPENING PRAYER)
5 THE CHAIR: The Nunavut Water Board is
6 an institution of public government created under
7 Article 13 of the Nunavut Land Claims Agreement, and it
8 is responsible for the use, management, and regulation
9 of freshwater in the Nunavut settlement area.
10 On behalf of Nunavut Water Board, I welcome everyone
11 to Baker Lake.
12 The purpose of this public hearing is to review the
13 application filed by Agnico-Eagle Mines Limited for a
14 Type A water license in accordance with the Nunavut
15 Waters and Nunavut Surface Rights Tribunal Act.
16 With me today is the Members of the Board. On my
17 far right-hand is Bob Hanson participating on telephone,
18 and next to him (sic) is Guy Kakkiarniun. To my far
19 left is Tommy Tatatuapik, and George Porter is right
20 here sitting beside me.
21 Several Staff members are -- and NWB consultants who
22 have helped the NWB conduct technical reviews of
23 application are present. I will introduce key
24 individuals attending today: Dionne Filiatrault,
25 Executive Director; David Hohnstein, Acting Director of
26 Technical Services; Richard Dwyer, License

1 Administrator, down by the door; Ben Kogvik,
2 interpreter/translator, just over this -- by the booth;
3 Steve Lines and Karlette Tunaley and Jack Seto,
4 consultants; William Tilleman Professional Corporation,
5 administrative counsel to the Board; Catherine Emrick is
6 here with us today, and Bill Tilleman is available to us
7 via teleconference.

8 Bill, are you there?

9 MR. TILLEMEN: Yes, good morning. Can you
10 hear me okay?

11 THE CHAIR: Thank you. Bill -- okay,
12 thank you, you're on the line.

13 MR. TILLEMEN: Yes.

14 THE CHAIR: In addition, we have several
15 interpreters available for simultaneous translation, Ben
16 Kogvik and Mary Hunt, and we also have Rhoda Perkison;
17 is that right? Thank you, thank you for participating.

18 To ensure the accurate record of the proceeding, we
19 have with us a court stenographer, Karoline Schumann.
20 To assist Karoline, I ask that all parties please state
21 their name before speaking.

22 In the past, parties in other proceedings have
23 approached the media prior to the release of the Board
24 decision, suggesting comments about what the Board is
25 going to do either procedurally or in terms of final
26 results.

1 Since the Board cannot comment on pending matters,
2 either by confirming or denying the accuracy of other's
3 statements to the media, the Board would appreciate it
4 if all parties would refrain from any such comment that
5 may imply a certain action or decision by the Board.
6 The Board members will not discuss the hearing or
7 the matters before the Board with any of the parties or
8 the media. If you have any question about the Board and
9 practice or procedures, please speak to the Executive
10 Director, and we'll assist you.
11 APPLICATION HISTORY:
12 I will now give a brief history of the application.
13 In 2003, an initial application was filed by Cumberland
14 Resources Limited, CRL, and forwarded to NIRB for
15 environmental assessment in accordance with Article 12
16 of the NLCA. A Part 5 review was completed in 2006 with
17 a Project Certificate, NIRB PC Number 004, issued in
18 December 2006. The Project Certificate means we can
19 proceed to regulatory, and that is what we are doing at
20 this hearing.
21 The NWB provided CRL with guidelines in March 2007
22 in accordance with Section 48(3) of Act and Article
23 13.8.1 of the NLCA to assist them in meeting the
24 information requirement of the Board. On August 1,
25 2007, Agnico-Eagle Mines Limited amalgamated with
26 Cumberland Resources and Meadowbank Mining Corporation,

1 a wholly owned subsidiary of the Cumberland.

2 For the purpose of all Type A water license
3 documents, the terms "Cumberland", "Meadowbank", "MMC",
4 "MEA" -- sorry, "AME" (sic) mean the same entity as
5 Agnico-Eagle Mines Limited.

6 The NWB acknowledged receipt of a revised
7 application from AEM on September 24th, 2007.

8 On October 24 of last year, the NWB sent a letter to
9 the Applicant with a copy of interested parties
10 outlining the purpose (sic), process, and time lines for
11 completeness and concordance review of application. All
12 parties were requested to provide their determination on
13 completeness and concordance by November 2, 2007.

14 The Board confirmed with AEM on November 13th that
15 submissions were received on completeness and
16 concordance with GN-DOE, EC, DFO, INAC. At that time,
17 the Board requested that AEM provide clarification and
18 confirmation on AEM's ability to respond to the
19 deficiencies identified by the parties and when
20 supplemental information was to be provided.

21 In conjunction with the Geoscience Forum in
22 Yellowknife, NWB and NIRB Staff representative took the
23 opportunity to meet with AEM and their consultant on
24 November 21st to discuss the regulatory process in
25 Nunavut as it relates to the Meadowbank Gold Project.

26 Any decision of the Board requires that it be

1 consistent with Project Certificate issued by NIRB. As
2 a result of this meeting, it was determined that it was
3 necessary for AEM to confirm with NIRB if the amendment
4 to the NIRB PC was required to satisfy the conditions
5 Number 8 and Number 17 of the NIRB PC. On December 10,
6 2007, NIRB issued a determination that the amendment to
7 NIRB PC for these conditions were not required.

8 Concluding on November 4, 2007, the Board received
9 comments from INAC, EC, DOE, and DFO respecting the
10 Board determination of completeness of the water license
11 application and supporting documentation. The Board did
12 not receive any indication that the application should
13 not proceed through the regulatory process, and the
14 Board confirmed on December 10 the concordance of AEM
15 application to the Board guidelines as issued March
16 2007.

17 On December 10th, the Board also confirmed the
18 receipt of letter from AEM opposing the accelerated
19 schedule for the water license regulatory review
20 process. The Board is accommodating the accelerated
21 schedule to the extent possible given the Board's
22 schedule, work plan, and legislative requirements. AEM
23 was notified that the onus remains on AEM to submit
24 full, concise information and appropriately incorporated
25 into the application on a timely basis. That direction
26 still applies.

1 Further, on December 10th, the Board gave notice to
2 all parties and interested persons to begin a thorough
3 technical assessment of the application and to make
4 submission to the Board by February 15, 2008, in
5 preparation for the pre-hearing meeting to be held by
6 the Staff.

7 To facilitate AEM's request for accelerated
8 schedule, on January 25, 2008, the Board gave notice
9 pursuant to the Act for the public hearing to be held in
10 Baker Lake starting April 15, 2008.

11 A pre-hearing conference was held by the Staff on
12 February 26th, 27th, 2008, in Baker Lake. The following
13 parties participated in the pre-hearing conference, EC,
14 INAC, DFO, GN-DOE, NTI, and Kivalliq Inuit Association.
15 At the PHC, the aforementioned parties identified
16 themselves as having a role in the final hearing. It
17 was recommended that the community of Chesterfield Inlet
18 be invited to attend the hearing. For a complete list
19 of commitments from the PHC, I will refer you to the
20 pre-hearing decision of March 5, 2008.

21 Of note, the NWB, on a recommendation of the Mayor
22 of Baker Lake, committed to providing a community public
23 session on the mandate of the NWB. Mr. Don Carr,
24 Hearing Coordinator for the NWB, held a community
25 session on March 27, 2008.

26 The Board confirmed in its March 4, 2008 PHC

1 decision the date of this public hearing, April 15 to
2 17, 2008, time lines for submission of information, and
3 a list of issues to be presented at this final hearing.

4 AEM confirmed in writing following the pre-hearing
5 that the application filed and supplemental information
6 received since September 2007 does not introduce new
7 project components which were not part of the original
8 proposal or that their conclusion would not
9 significantly modify the project, thereby require
10 screening or additional review by NIRB under Article
11 12.4.3 of the NLCA.

12 Written submission for this hearing have been
13 received from INAC, EC, DFO, GN-DOE, NTI, and KIA. If I
14 have missed any parties' written submission, please let
15 me know.

16 ROLL CALL:

17 If there are no concerns, I would like to go forward
18 to roll call. I will begin with the Applicant.

19 MR. CONNELL: Thank you, Mr. Chairman. We
20 are here.

21 THE CHAIR: Thank you. And then go to
22 other intervening parties. Kivalliq Inuit Association?
23 Will you come to the microphone to identify yourself.
24 Go ahead.

25 MR. MANZO: Luis Manzo, Kivalliq Inuit
26 Association.

1 THE CHAIR: Thank you. And Nunavut
2 Tunngavik Incorporated?
3 MS. EHALOAK: Jeannie Ehaloak, NTI.
4 THE CHAIR: Thank you. And GN-DOE?
5 MS. YEH: Helen Yeh with GN-Department
6 of Environment.
7 MR. BADDALOO: Earle Baddaloo, Department
8 of Environment.
9 THE CHAIR: And INAC?
10 MR. NADLER: Michael Nadler with Indian
11 and Northern Affairs Canada.
12 THE CHAIR: Thank you. And DFO?
13 MS. LIU: Amy Liu from Fisheries and
14 Oceans Canada.
15 MR. BALINT: Dave Balint, Fisheries and
16 Oceans.
17 THE CHAIR: Thank you. And Environment
18 Canada?
19 MS. WILSON: Thank you. It's Anne Wilson
20 with Environment Canada, and Glenn Groskopf is with me.
21 THE CHAIR: Thank you. If there's other
22 interveners who would like to speak, please identify
23 yourself. I take it there's none.
24 Are there any members of the general public who
25 would like to identify themselves? I take there is
26 none.

1 It is our tradition to give respect to our Elders.
2 At any time an Elder may speak to the application on
3 file.
4 Before proceeding, I would like to request that all
5 parties register with Richard Dwyer at the back there,
6 License Administrator.
7 PRESENTATION BY AEM:
8 The Applicant is requested to make a brief
9 presentation and application before the Board.
10 Mr. Connell, how long will you need?
11 MR. CONNELL: Thank you, Mr. Chair. We'll
12 try to keep it to two hours.
13 THE CHAIR: Thank you. Catherine
14 Emrick, please swear an oath or affirm the witness.
15 LARRY CONNELL, DAN WALKER,
16 VALERIE BERTRAND, GARY MANN, TERRY ELDRIDGE, sworn:
17 MR. DONIHEE: Mr. Chairman, my name is
18 John Donihee. I'm counsel for Agnico-Eagle Mines. We
19 have a number of other experts who are with us and
20 members of the company, and Mr. Connell may call on them
21 to assist with questions, depending on what the
22 questions are. Perhaps it would be simpler if we had
23 those folks sworn when they came forward, or would you
24 prefer to do them all at once?
25 THE CHAIR: Yes, go ahead.
26 SYLVAIN DOIRE, RYAN VAN

1 Rachel Gould, who is the Environmental Manager in
2 Permitting and Compliance Monitoring; next to Rachel is
3 Stephane Robert, who is an environmental engineer from
4 the Abitibi division or region of Agnico-Eagle; and next
5 to Stephane is Kathryn McIvor, who also works in the
6 Environmental Department of the Vancouver office. Just
7 to inform you, my name is Larry Connell. I'm the
8 Manager of Environment, Social, and Government Affairs
9 for the Meadowbank division for Agnico-Eagle.

10 I wish to thank the Board for giving us this
11 opportunity to come before you to make the presentation
12 on the mine, and if you don't mind, I'll do it from this
13 position, and I'll try to move through it as fast as I
14 can.

15 Just the first slide is just to give you some
16 indication of who Agnico-Eagle Mines is. Our head
17 office is located in Toronto. We are a Canadian-based
18 company. We've been in the gold mining business for
19 over 35 years, and the main operations the company is
20 built from are in the Abitibi region of northern Quebec.
21 This region here, the LaRonde mine.

22 We're a mine builder. We're based as a mine
23 production company. We -- as you have heard, Cumberland
24 Resources was purchased by Agnico-Eagle in 2007 and has
25 subsequently been amalgamated into the one company.

26 We established a new project office here in Baker

1 Lake in 2008, and we are developing projects, gold
2 projects as you can see, in various regions of the
3 world. We have a division in Finland, a division in
4 Mexico, and, of course, Meadowbank. We're also
5 expanding our operations significantly in the Abitibi
6 region, so that's where we're doing business in the
7 world today.

8 On their environmental performance and our record,
9 just to give you some of the background about what we
10 have -- we have a strong belief in environmental
11 protection. It is part of our business. We need to
12 ensure it, and we have a company policy that we will use
13 the highest standards in any of the jurisdictions that
14 we operate in, and we have significant in-house
15 expertise to be able to do that.

16 We enjoy an excellent relationship with all
17 regulatory agencies, and that's because we believe we
18 have to work in a transparent, open-door policy. We
19 have to be honest, we have to build trust, and you build
20 trust by working openly with those regulatory agencies.

21 As examples of that, we have a very successful
22 partnering with the Quebec Government on the
23 rehabilitation of the Manitou abandonment tailings.
24 What we have done is taken an old tailings deposit that
25 was not from our making but from many years ago that was
26 causing environmental harm and have used that tailings

1 in one of our new divisions or our new mines and have
2 come up with a technique to stabilize that tailings pond
3 and use that as the tailings pond we're using for this
4 new mine. So we're actually solving an old problem by
5 how we move forward.

6 We're also a member of a consortium of companies
7 from Quebec that are paying to clean up some of the
8 abandoned exploration sites that were left in Nunavut.
9 These are not sites of our making, but we believe that
10 we have to improve the legacy that we, as a mining
11 company, leave behind, to clean up the mess that our
12 forefathers left or its business.

13 We received the 2008 Sustainability Development
14 Prize for western Quebec from the Desjardin Group, and I
15 think this is a recognition to our belief in being a
16 sustainable company. And we have received certification
17 in Mexico as being a socially responsible company, and
18 that's something that we had to go through an entire
19 process in order to obtain. It wasn't just given.

20 Where is the project? I think everybody knows the
21 project is located to the north of Baker Lake. It's now
22 connected to Baker Lake by a 110 kilometre all-weather
23 access road. It's important to note that this project
24 is on Inuit-owned land.

25 There is an Inuit Impact and Benefits Agreement in
26 place, and that -- first payments have already been made

1 on that. A construction decision under the IIBA was
2 given in December of last year. There is also a Water
3 Compensation Agreement in place with the Kivalliq Inuit
4 Association under Article 20 of the Land Claim
5 Agreement. And while the terms are confidential, that
6 agreement addresses compensation for water that's used
7 by the project, the water flows we alter by the project,
8 and it provides for monitoring by the KIA to make sure
9 that what we're doing is in accordance with what we said
10 we would be doing. So we're actually, through that
11 agreement, funding this independent monitoring. We also
12 have a Development Partnership Agreement with the
13 Government of Nunavut.

14 Just a quick picture of the signing of the Water
15 Compensation Agreement.

16 Just some quick facts of the mine. The mine has a
17 life of 12 years with the reserves we know now; that's
18 two years of construction and ten years of operation. We
19 are being successful in finding new resources, and so we
20 anticipate that we will be able to go beyond ten years.
21 That's what we know right now.

22 The throughput is 8500 tonnes per day. We're going
23 to be mining the ore from three open pits. There's the
24 Goose Island Pit, the Portage Pit, and then to the north
25 here is the Vault Pit. Our total open pit reserve right
26 now is 3-and-a-half million ounces of gold.

1 Where is the ore? The ore in this situation is
2 primarily under the lake bed. We have some outcroppings
3 of the ore on surface so that they are covered by
4 overburden, but it's important to note that, in this
5 case here, our Portage deposit lies also under the lake
6 as does the Goose Island deposit. This is Third Portage
7 Lake, and it flows into Second Portage Lake and then to
8 the north.

9 So how do we get to the ore? The process is that we
10 will build dikes to actually isolate the pieces of the
11 lake that we need to. So in 2008, our plan would be to
12 build this dike here and a dike across here to allow us
13 to dewater this portion of the lake here so that we can
14 start mining in this area. Then in 2009, we would
15 construct this dike here, and that would allow us to
16 dewater this and expand our pit to the -- this
17 direction. All of the water dewatered from here will be
18 transferred back into Second Portage Lake here. And
19 then in subsequent years, we would also build a dike out
20 here in order to access this portion of the lake in the
21 Goose Island Pit. So it's a sequence of these --
22 building of these dikes in order to isolate us from the
23 lake and to allow us to then dry that lake bed in order
24 to mine.

25 The project schedule, this is just to reaffirm what
26 I've just gone through, partially dewater that northeast

1 arm of Second Portage Lake in the late fall of 2008.
2 This is assuming we do have the permits in place. We
3 would construct the storm water dike in late 2008, 2009,
4 and we would start development on the south Portage pit
5 in 2008 and then the north end in 2009. The mill and
6 shops will be constructed in 2008, 2009, leading to the
7 start of production in late 2009 or early 2010, and the
8 first tailings deposition will take place at that point.

9 In building these dikes, it's important to
10 understand how they get done. The first step -- this is
11 the lake. Looking across the cut-out section through
12 the lake, here is the underlying bedrock, and then over
13 top of that bedrock, there is lake sediments. The first
14 step is to put turbidity barriers in. These are like
15 a -- they're a plastic floating curtain like you would
16 use for an oil spill except they're deeper. They go
17 down deeper into the lake, and their purpose is to
18 prevent -- once we start building here, we'll stir up
19 the bottom, and their purpose is to stop that sediment,
20 the water that's clouded up by the bottom material,
21 prevent it getting out into the rest of the lake.

22 The next step is to build two rock structures, so
23 there's one rock structure and another rock structure on
24 the other side that goes for the entire length of those
25 dikes, and you can see the turbidity curtains now in
26 place here. We still have water in between.

1 Once that is completed, then we come back and
2 actually place a till material where that water is in
3 between to actually make a barrier to the water being
4 able to pass through this dike once it's completed.
5 This is just a detail of the construction of that -- of
6 the filter that sits inside this core, and that's to
7 prevent this till material from actually running through
8 this rock fill. Once the till is in place, we then
9 excavate a trench and put in a cutoff wall in order to
10 prevent water being able to pass through. So at that
11 point, we're now ready to start dewatering, removing the
12 water from the lake.

13 So as I said, we then remove the water from this
14 portion of the lake first, allow us to start mining
15 here, and then in 2009, to do this, and then in 2010.
16 This picture actually represents what it would look like
17 at the end of that ten-year period. So this is what it
18 would look like at the end of the ten-year period.

19 Just a close-up view of the facilities, the plant
20 site. So here's the open pit in the background, and
21 here's the camp in this location here. This is the mill
22 building where the ore would be processed to extract the
23 gold. This building here is the maintenance shop for
24 the open pit trucks and equipment. The ore would come
25 out of the pit, come up this hill, and it goes through a
26 crusher located here, and then it's stored inside this

1 round building. That's a building just to store the
2 crushed ore before it goes into the mill.

3 Also a note, we've got cold storage warehousing over
4 here. The fuel -- there's only one small fuel tank --
5 well, it's not small, but there's one fuel tank at the
6 site, and the reason for that is the other fuel tanks
7 are located here in Baker Lake, and we can move fuel by
8 the road.

9 This structure here is a landfarm. That's intended
10 to be a facility where we can take contaminated snow or
11 contaminated soil if we've had spills into that soil so
12 that we can then clean that soil before it's -- so that
13 we don't let that material get into the environment.

14 I'm going to go through the types of waste that the
15 project will produce. This is a list of them, and the
16 next slides are going to deal with each one in turn.

17 So the first one is waste rock. This mine will
18 generate approximately 60,000 tonnes of waste rock a
19 day, and that waste rock is ore -- sorry, is -- that
20 waste rock is basically rock that we mined that doesn't
21 contain gold of value to be taken to the mill. So it's
22 that rock that we mine that's not ore. We have to
23 remove it in order to access the ore.

24 Some of the rock will be potentially
25 acid-generating, and some is not. What I mean by
26 potentially acid-generating, what I'm talking about is

1 rock that has sulfide minerals in it. These minerals if
2 they're exposed to air can oxidize, and when they
3 oxidize, they release acid, and that acid, in turn, can
4 leach metals, and so this is the type of rock we don't
5 want to just put anywhere. It has to be managed to
6 prevent this oxidation taking place.

7 So the mine plan has us testing the rock as it's
8 produced right from the time we drill it in the pit and
9 determining whether it's nonacid-generating or
10 acid-generating. The rock that's acid-generating we're
11 going to place in a cell within the waste rock dump and
12 then bury it underneath nonacid-generating rock, so that
13 it's essentially frozen away from oxidation or from air
14 so that this acid can't be regenerated. And some of it
15 will also go into the base of some of the dikes in those
16 areas where we know it will be under water, because if
17 this acid-generating rock is placed under water, it
18 can't oxidize because it's isolated from the air. It
19 needs the air contact in order to generate this acid.

20 So we start off with waste coming from this pit,
21 going to this waste rock pit over here, and then that
22 remains after the mine is closed, so that becomes a
23 permanent feature after the mine is closed. We have
24 taken the drainage from that with pumps and it's
25 collected in a series of sumps. We monitor it, and
26 depending on its water quality, it either comes back

1 here or it goes into this pond.

2 The Goose Island waste rock, which is this pit here,
3 the Goose Island pit waste is actually going to be
4 placed in the bottom of this pit here for the life of
5 the mine. The Vault waste rock pile, which is up to the
6 north, it's mostly nonacid-generating rock, but it too
7 would -- the small amount we do generate, we use the
8 same principle. We take that acid-generating rock and
9 make sure it's very deep within the pile.

10 The other product that is produced is mill tailings.
11 Mill tailings are the product, the ground up product
12 from the mill after we've extracted the gold, and those
13 tailings are taken and placed within the rock-lined bed
14 that is dewatered. When I say, "rock-lined", it's not
15 rock we're placing there; it's the natural bedrock.
16 We're dewatering that basin, so we remove the water, and
17 we have a natural rock underneath of it. That area is
18 permanently isolated by the dams, this one here and also
19 this one here.

20 At the end of the mine life, we remove all of the
21 water that's left on the top of these tailings and put
22 them into these pits, and then we cover this entire area
23 with nonacid-generating rock in order to make sure that
24 the tailings themselves remain below the active layer,
25 below the area of the surface that thaws, so the
26 tailings remain frozen in perpetuity.

1 The tailings going out to the tailings impoundment
2 are treated at the mill, so we actually treat the water
3 before it goes out to the tailings to make sure we
4 remove the cyanide, destroy it, and precipitate the
5 metals. And then we recycle the water from this
6 tailings pond to the mill to use it to process ore.

7 We also will generate organic wastes. Organic
8 wastes is that kind of kitchen waste, packaging that
9 comes in contact with food, basically things that would
10 attract wildlife if they were to just put it into a
11 landfill. So we need to keep those out of the landfill
12 to prevent us attracting wildlife and causing harm that
13 way.

14 So these types of waste are going to be collected at
15 the source and then burned in an incinerator on an
16 ongoing daily basis. And we have coming a new
17 incinerator that will arrive on site, hopefully this
18 summer, that will meet the new Canada-wide standards for
19 dioxides and furans, that it will replace the current
20 incinerators at site.

21 We also generate other forms of garbage, a
22 nonhazardous garbage, nonorganic garbage such as clean,
23 broken machine parts, waste, scrap steel; that will be
24 placed in a landfill that will be constructed within the
25 waste rock dump, and so ultimately at the end of the
26 mine, that becomes buried within the waste rock dump.

1 We will segregate the garbage into piles so that we can,
2 if possible, recycle as much as we can or reuse it to
3 prevent putting unnecessary materials into the landfill.

4 The landfill, as I said, will be located within the
5 waste rock dump. It will be a specially built area.
6 Only the nonhazardous wastes will go there, and any
7 drainage from that landfill will be collected with the
8 drainage from the waste rock dump and either discharged
9 to this pond or this pond depending on its water
10 quality. So we will monitor that water and decide which
11 of the ponds it should go to based on water quality. At
12 the end of the day, all of that garbage is covered over
13 with rock to prevent it from blowing around and becoming
14 exposed to the environment.

15 We will also generate some waste oil. The intent is
16 to collect that waste oil, place it in a tank, and then
17 use it to -- for incineration for either supplementing
18 fuel to the incinerator but also to generate heat.
19 Waste antifreeze, waste solvents, chemicals, old
20 batteries, these are hazardous wastes; they'll be
21 isolated at source, pulled from the garbage streams, and
22 stored in a specially designated storage area, and then
23 shipped south each year by barge to a recycling facility
24 or a licensed disposal facility in the south, and we
25 will do that under the proper hazardous manifests that
26 are authorized by the GN-DOE.

1 While we don't anticipate or don't want to have any
2 spills or accidents, it's prudent to plan so that when
3 you do have a spill or an accident, we have some way of
4 dealing with them. So we will construct a landfill -- a
5 landfarm, sorry, on site. That's a lined area with two
6 cells. We will take our snow and oil that's been
7 contaminated by, say, diesel fuel, spilled diesel fuel,
8 it will be taken to this landfarm facility, and then the
9 runoff from that facility will be collected and treated
10 before it can be released so that it doesn't result in
11 materials reaching the environment. The soil will then
12 be landfarmed until it meets a standard, and once we
13 have reached an acceptable standard, we can then pull it
14 from the landfarm and use that for reclamation.

15 We will generate obviously sewage at the site, so
16 all of the toilets, sinks, shower water will be
17 collected and sent to a sewage treatment plant. During
18 the mine life, the operational life, that treated sewage
19 would then be co-mixed with the tailings and go to the
20 tailings impoundment. During the construction, that
21 treated water will go to our storm water pond, and the
22 sludge will be filtered and incinerated.

23 Next subject I'm going to go into is the -- how we
24 will use water at Meadowbank. Our drinking water will
25 come from Third Portage Lake, and our processed water
26 will also come from the lake, but it will be primarily

1 coming from recycle from our tailings impoundment. I'm
2 going to discuss in a lot more detail the storm water,
3 snow melt, and the water diversions.

4 All of the site runoff and snow melt will be
5 collected in this natural pond. This is a small pond on
6 the site called Tear Drop lake. It's a very shallow
7 lake. It doesn't contain fish because it freezes to the
8 bottom each year. We will build up that pond so that we
9 can use it as a storm water runoff pond, and then the
10 water that collects in that pond will either be used in
11 the mill or sent to the attenuation or reclaim pond,
12 depending upon its water quality. We will monitor that
13 storm water and send it to the appropriate pond based
14 upon the standard of that water.

15 So before getting onto -- there are two ponds
16 basically. This is the reclaimed pond that's a part of
17 the tailings pond. That water does not get released to
18 the environment. That water comes to the mill, goes
19 back into a circle, and stays locked during the life of
20 the mine. So the objective is that if this water
21 quality was poor, this water quality from here was poor,
22 it would come into this pond, and it would not get
23 released to the environment. If the water quality was
24 sufficient that it could be released to the environment,
25 it will go into this pond, the attenuation pond. So the
26 attenuation pond will receive the water from the open

1 pits and the waste rock storage facilities and storm
2 water pond if they meet a standard for discharge. We
3 will test that water, and that -- the excess water from
4 that attenuation pond would then be released each --
5 during the open summer season through a diffuser out
6 into the lake here. And the water quality that we're
7 asking to be met at the end of the pipe in this diffuser
8 has been designed so that it would protect the aquatic
9 life within a 30-metre zone of that diffuser.

10 We obviously are having an impact on a portion of
11 the lake, and so we have designed and put in place a
12 no-net-loss plan with Department of Fisheries and Oceans
13 to try and offset that loss of fish habitat. And here's
14 some of the features: What we are proposing to do is
15 build off of the side of our dikes these finger dikes so
16 that we could actually create new habitat in the lake to
17 offset what we've lost.

18 There are also some artificial reefs that are
19 created in the lake called sea mounds, and you see here,
20 we're also creating features in that exposed upper area
21 of the pit that's been dewatered, so that at the end of
22 the mine life when the pits are put back as part of the
23 lake, we have created some reef habitat for fish within
24 the lake to offset what's been lost, because the
25 tailings impoundment portion is permanently lost as
26 water.

1 This is just a quick picture of what those finger
2 dikes would look like and how they would be built.
3 Basically what you're doing is creating a nice-sized
4 reef so that this material has to be a size so that the
5 fish can utilize the material for spawning and for
6 protection in their early, young phases of life.
7 Mr. Chairman, I think this is probably a good spot
8 for a short break, and then we can come back and go to
9 the next section.
10 THE CHAIR: Yes, thank you. Yes, we'll
11 take a short break. Well, a 15-minute break for now.
12 (BRIEF ADJOURNMENT)
13 THE CHAIR: We should start again with
14 the presentation from Applicant. Before we start, I
15 like to ask Bob Hanson, are you on the line now?
16 MR. HANSON: Yes, I'm here. Thank you,
17 very much.
18 THE CHAIR: Bill Tilleman, are you on
19 the line?
20 MR. TILLEMAN: Yes, I am, thank you.
21 THE CHAIR: Before we start with the
22 Applicant, I would like to introduce some people in the
23 audience; they are from Chesterfield Inlet: Brenda
24 Putulik, Leonie Mimialik, and Leo Mimialik.
25 So, Larry, go ahead.
26 MR. CONNELL: Thank you, Mr. Chairman. I

1 apologize these next slides may be a little dry, but
2 unfortunately they are necessary issues we have to go
3 through.

4 The next half of the presentation is what we have
5 put forward as what we believe should be the terms, some
6 of the critical terms of the license. The first issue
7 is how long should the license go for. We have asked
8 the Board to give us a seven-year license, and our logic
9 is that that gives us two years to finish the
10 construction, and then a first five years of operation,
11 and that would have us coming back to the Board in 2014
12 to apply for a second license term. So about halfway
13 through the mine life, we would be coming back to the
14 Board for the -- a second license. And hopefully that's
15 not halfway, hopefully that's -- it will go on, but with
16 what we know right now, that would be the halfway point.

17 The next three slides I won't try to read through
18 them, you have them in front of you, it's a list of all
19 of the items that we need or we feel should be
20 incorporated as the scope of this license. And this is
21 important because we have two Type B licenses that we
22 are asking to be incorporated into this Type A license.
23 We have a Type B license for the facilities we have here
24 in Baker Lake, and we have a Type B for the road between
25 here and the mine site. So we're asking that those all
26 be incorporated into one Type A license so that all of

1 the mine facilities are under one license. And we've
2 also included in here the Fisheries compensation
3 measures because these will need to be built to offset
4 the losses, and they take place within waters of
5 Nunavut.

6 The first one I've got is how much water are we
7 asking to use. We are asking for an annual water use of
8 0.7 million cubic metres per year. That is 72.2 cubic
9 metres an hour for process water or 1733 cubic metres
10 per day, and 3.3 cubic metres per hour as potable water,
11 that's 79.2 cubic metres per day. That total amount of
12 water is about 0.2 percent of the volume of Third
13 Portage Lake, which is where we would take this water
14 from.

15 We are also asking for authorization to dewater a
16 section of Second and Third Portage Lake and Vault Lake
17 to allow us to mine under those portions of the lake,
18 and so these are the volumes of water that we would
19 actually have to remove from the lake and transfer into
20 the other portions of the lake to allow us to proceed
21 with mining.

22 The next is the issue of security. We have asked
23 the Board to set financial security for this first
24 license term at \$26.1 million, and we've asked that it
25 be broken down as follows, and that breakdown really
26 recognizes the fact that we aren't going to do that

1 disturbance all day one. It's going to cause -- it's
2 going to come over the first license term, and so we've
3 asked the Board to set the security to grow as the
4 disturbance occurs, with the understanding that we are
5 putting the security in before the disturbance takes
6 place.

7 This schedule would ensure that all of our mine
8 disturbances that are going to occur in that first
9 license term are fully bonded. The schedule also
10 assumes that we will not do any progressive reclamation,
11 although that's not our plan. Our plan is to do
12 progressive reclamation during the life of the mine, but
13 this amount of money doesn't assume that.

14 We also believe that by doing it -- by focussing on
15 this first license term that all parties can then look
16 at our performance over that first license term, look at
17 what reclamation we've actually done and completed and
18 can recalculate security for the second license term.

19 This is taken from INAC's presentation. INAC, in
20 doing their calculation of security, did a -- sorry,
21 this is taken from a combination of the three security
22 estimates you have in front of you. Our estimate
23 originally, the one we did with the application, came in
24 \$18.0 million. The INAC one was 43.8 million, and the
25 KIA is 43.46. Obviously a very big difference that we
26 need to address to you.

1 Why is that difference? In the -- our estimate, we
2 allowed for the fact that we are doing reclamation
3 during the life of the mine: We are closing out
4 tailings; we are closing out portions of the waste rock
5 as we're moving forward. However, both INAC and KIA are
6 taking the more conservative approach and assuming that
7 the mine operator won't do those things, and so it all
8 needs to be bonded as one sum.

9 The other big issue is the required depth of the
10 capping rock over the PAG rock and tailings. We have
11 used and costed in our estimate a 2-and-a-half metre
12 depth. The NIRB process, through the NIRB process, we
13 discussed a 2-metre depth, and that was what went
14 through the process with the condition that we would
15 say -- sorry, that the condition was that we would place
16 a 2-metre depth, that that was adequate, with an
17 adaptive plan to monitor that and change it if
18 necessary. We used 2-and-a-half metres to provide a
19 small amount of conservancy.

20 In INAC's presentation, they have put forward a
21 4-meter depth of cover, thus, that dramatically
22 increases the cost or the amount of material that has to
23 be hauled and placed over the tailings and over the
24 waste rock. And as INAC will tell you, that decision to
25 go with 4 metres is based on some preliminary experience
26 from the Ekati mine site.

1 We're suggesting to the Board that this comparison
2 is not truly valid as Meadowbank is in a different
3 climate setting, as evidenced by deeper permafrost at
4 the site. The Meadowbank site has about a hundred
5 metres more permafrost than we do at the Ekati site.
6 And if you look at the aggressive global warming
7 predictions, and I'll show you those on the next map,
8 the Meadowbank site remains within what's predicted to
9 be a continuous permafrost zone, whereas Ekati may slip
10 out of that zone. So we are definitely in a different
11 zone climate-wise.

12 And I won't try to belabour you with this map, but
13 this here is the current limit of continuous permafrost,
14 and with the aggressive predictions, that is where it's
15 predicted to move to, and you can see Meadowbank is
16 right here, so we're still well within what's predicted
17 to be continuous permafrost as we look into the future.

18 What do I mean by progressive reclamation? I'll
19 just give you a couple of examples. If you assume that
20 this is our tailings impoundment, we are placing
21 tailings in this portion of the impoundment. So we
22 start by placing tailings going this direction from the
23 dam, so slowly but surely we place a small amount of
24 tailings and then more and more until we fill this
25 entire basin in. As the mine life is proceeding, about
26 four years in, we start to actually put a capping layer

1 on top of that. We don't wait until the very end to do
2 it; we start doing it during the mine life. And that's
3 what we mean by progressive reclamation: We're actually
4 reclaiming some of the site as we're moving forward, not
5 leaving it all to the end.

6 The Government in their -- being conservative, they
7 take the proper approach to say that we can't trust that
8 all companies will do what they said they would do, we
9 need to protect to the maximum. We understand that; we
10 recognize that that's their job is to protect to the
11 maximum extent from a company that doesn't do what it
12 says it will do.

13 Same thing with the waste rock dump: With our
14 Portage waste rock dump, this is the area that has to be
15 left exposed or the footprint of that dump year by year.
16 So you can see it starts off small and grows, but in
17 year 2012, we stop this pile growing any further, and so
18 we will actually start putting the capping layer on top
19 of that waste rock dump in 2011 and have it completely
20 finished by 2012. So this pile will actually be
21 completely reclaimed prior to the end of this first
22 license term.

23 So we propose the following solution between these
24 differences in numbers. We recognize that the
25 Government has to take its conservative approach; they
26 have to protect the public from companies that don't do

1 what they say they will do. So we've asked the Board to
2 just focus the reclamation liability looking at the term
3 of this first license, that being the seven-year term,
4 look at what the liability will be during the seven-year
5 term and to set the bond based on that.

6 This means that we would post a reclamation security
7 of 26.1 million. Where do we get that number? We
8 actually took that from INAC's estimate. Rather than
9 try to argue how we do the estimate, we looked at INAC's
10 numbers and said, Well, if we're just focussing on this
11 period of time, let's just pick their number for the end
12 of that first five years of operation.

13 In that period, we'll do aggressive reclamation.
14 We'll collect field data to help us determine what that
15 depth of capping should be, and we'll come back to the
16 Board later and argue with some data and with the fact
17 that we've already done reclamation, and for the second
18 license term, then argue that it's not going to go to 43
19 million because we've already done some of the work.
20 And all parties at that point would recalculate the
21 liability for the second license term based upon the
22 actual conditions at site, the work that's been done,
23 and looking at the data we've collected on this capping
24 depth. We're confident in doing that. At this point,
25 the reclamation liability that we come to at the end of
26 the life of the mine will be much less than that \$43

1 million because of the work we've done.

2 This is just a quick chart. I won't go through it.
3 This is taken from the INAC presentation. They
4 calculated reclamation liability end of year one and end
5 of year five. This is the fifth year of mining
6 operation, so seven years from now, and that's where we
7 got our \$26.1 million from.

8 This is just another quick chart to show you how we
9 calculated the build-up of that \$26 million and the
10 activities that have occurred on site year-by-year, and
11 I won't try to read through that. I'll leave that for
12 you to look at. You've got the slides in front of you,
13 but it just shows you what's taking place on the site to
14 show this increasing disturbance level and how the bond
15 should increase. And you can see that it actually
16 reaches 26.1 million in the fourth year of operation.
17 These numbers would actually be a bond posted at the
18 beginning of each year, so before the activity takes
19 place.

20 The other issue we'll hear a lot about during the
21 next two days is the split between water and land
22 liability. INAC has recommended in their submission
23 that that split between land and water should be a
24 two-third/one-third split; in other words, two-thirds of
25 it coming to land and one-third coming to water -- I'm
26 sorry, it's the other way around.

1 The AEM has not tried to determine a split. We
2 haven't done that split because, in our opinion,
3 reclamation can't be broken up. It has to be done as a
4 cohesive one job. You can't just differentiate an
5 activity that affects water versus land. If you do,
6 it's subjective. Reclamation has to be done as a
7 holistic approach.

8 So as an example, we took an example from the INAC
9 estimate. If you look at the waste rock dump, the waste
10 rock dump is all on land; however, in the INAC estimate,
11 they have decided that that should be divided 96.5
12 percent as a liability to water and 3-and-a-half percent
13 as a liability to land. That's assuming that -- the
14 split is assuming that reclamation totally fails, and so
15 everything then is related to water because whatever we
16 did on land failed and ultimately affected the water.
17 In that case, I could argue that even if I don't take a
18 building down, if I let it just sit there and rot,
19 ultimately, it will release contaminants which will
20 affect water. We can say that for everything. So
21 perhaps taking that logic, everything is a water-related
22 liability.

23 We recognize that the parties have been working
24 very, very hard to identify this issue with double
25 bonding and come to a solution, but we know that to
26 date, as far as we know coming into this hearing,

1 accommodation hasn't been met as to how the security
2 could be held. And it really isn't critical to
3 Agnico-Eagle as to how it's split or how it's held. Our
4 concern is that we're not asked to bond more than the
5 total of the security, that we're not asked to bond it
6 twice.

7 As you see here in this slide, if it -- if that
8 reclamation security were to be what the two parties
9 have asked for, INAC has recommended that you seek from
10 us 29.1 million of the security, of that 43 million, as
11 water-related. That leaves the KIA having to decide
12 what security they should ask for. Is it the difference
13 of 14.9 million, or do they ask for the whole 43.9
14 million to protect them from claims against the land?
15 It is their land. If that were the case, this could
16 result in Agnico-Eagle having to post a security bond of
17 58.8 million, which we can see is well above the
18 actually cost that anybody predicts reclamation security
19 to be, so this is what we call double bonding of 14.9
20 million.

21 This is an issue we recognize the Water Board has
22 already spoken to, and we recognize that you have
23 indicated in the past that you agree that land and water
24 can't be split, that they're interrelated. In trying to
25 isolate water from land, we end up, if we were to work
26 that way in actually doing reclamation, our reclamation

1 would be very inefficient. For example, I would have
2 one group coming in to do one activity, and they have to
3 bring all their equipment to the site, and then another
4 group coming in to do another activity because they're
5 doing only land and I'm only doing water, it would not
6 be an efficient way of moving forward, and it would
7 result in much higher costs. You'd have double
8 management, double administration.

9 On a very large scale, that double bonding could add
10 tens of millions of dollars to a reclamation bonding
11 requirement, which would make development of mining
12 projects on Inuit-owned land at a disadvantage compared
13 to Crown land where you don't have those two owners or
14 two responsible parties. So it places a disadvantage,
15 this double bonding, the ability for mines to actually
16 move forward on Inuit-owned lands. It's also an issue
17 that would be unfair to industry as it does result in us
18 having to put more money into a bond at the front end
19 than is actually needed to do reclamation.

20 And I won't go through these in great detail, but
21 here's just three ways we think this could be resolved.
22 And I'll let you read through those; I won't take you
23 through them, but there are ways that the parties could
24 resolve how they hold bonds so that we don't end up with
25 a double bonding.

26 No matter how you look at this, it's really an issue

1 between INAC and the landowner. We recognize that the
2 landowner has worked very diligently to try to find a
3 solution to this. We know that. And perhaps the Board
4 could encourage these parties to address and resolve
5 this issue as part of their interventions. Perhaps the
6 landowner could hold all of the security, or perhaps a
7 50/50 split is equitable, but the key point to Agnico is
8 that we do not believe that we should be asked to put
9 out more money than the cost of total reclamation as
10 calculated by all parties.

11 Going on to construction conditions, Part D, we have
12 proposed in our application a staged approach to the
13 licensing of the dewatering dikes and the associated
14 facilities. What we mean by that is we have put in
15 front of you the detailed design drawings or the
16 engineering drawings for the construction of the east
17 dike and the Portage pit -- of the Bayzone dike. These
18 are the first dikes that are required for 2008, 2009,
19 and for the first portion of mining. We have given you
20 conceptual designs for the next phase but not the
21 detailed designs.

22 And what we've asked the Board to do is to place in
23 the license a condition where we would submit those
24 detailed drawings to you six months for approval prior
25 to us building. The reasoning for that is to allow us
26 to gain experience from these first dikes and to

1 incorporate those into the final engineering drawings
2 and to bring that experience base back to the Board and
3 allow the process to move forward without re-opening the
4 license but to have the Board have its opportunity to
5 approve those final designs.

6 Conditions applying to water management, there are a
7 number of areas where water will have to come -- be
8 released from this project. This is a listing of them.
9 At the technical meeting, all the parties worked
10 diligently to try to come forward with some suggested
11 discharge parameters, and I think we have come a long
12 way, and so what I'm going to show you on the next
13 slides is what we have approached as the discharge
14 standards for the license.

15 The first is for noncontact water. That's water
16 that's been diverted from the site but doesn't come in
17 contact with our specific rock or facilities. We've
18 proposed these two limits as the numbers for the license
19 for those two periods for the total suspended solids.

20 We also have to dewater Portage Lake, Second Portage
21 Lake, to get this dewatering done, and so we have
22 proposed these as the license limits at the end of the
23 pipe for discharge of that water that we're dewatering.

24 Environment Canada will speak to turbidity. We have
25 asked that that be set as an objective only, not an
26 enforceable limit. And the reason we have asked that is

1 we do not have enough information to be able to assure
2 the Board that we know we can meet a standard of 10. We
3 believe -- we definitely feel the protection of the
4 aquatic environment is actually filled by this line
5 here, by the total suspended solids, and we do know
6 that. We believe that turbidity should be measured, but
7 we do not know -- guarantee that we know we can meet
8 that kind of limit.

9 This is a similar thing for -- if we look at the
10 Vault and Portage attenuation ponds, this is the kind of
11 timing, first of all. The Portage pond is operating for
12 four years, and this is the volume that we estimate will
13 be discharged over the life of the mine. The Vault then
14 operates for five to eight years, and this is the volume
15 we expect to come from that attenuation pond. We are
16 going to use diffusers to make sure that we mix the
17 water of the lake. And this is the dilution of factors
18 that we believe we will get from those two diffusers.
19 That's based upon the engineering of the diffuser.

20 So our standards were based upon this as a
21 background. So this is a table of the end-of-pipe
22 discharge standards that are proposed for the Portage
23 attenuation pond, and I've put on there the limits
24 proposed by Environment Canada and the limits proposed
25 by Agnico-Eagle Mines, and you'll see, by and large,
26 that there is agreement, with the exception of

1 turbidity, and I'll speak to that in a little bit, but,
2 by and large, there is now agreement between the
3 parties, and that didn't come -- it came from the work
4 we did with all the interveners during the technical
5 meetings.

6 This is a continuation of that same table, and you
7 can see that we've agreed with Environment Canada's
8 numbers on all the rest of those elements. This is for
9 the Vault attenuation pond. I won't go through the
10 detail, but you can see there is, by and large,
11 agreement, and the same -- this is a continuation of
12 that same table.

13 Looking at the ones that are different, where there
14 are differences, the first one is turbidity. We've
15 asked that that be set as an objective only because we
16 don't have sufficient data right now that we can be
17 confident of the relationship at our project between
18 total suspended solids and turbidity. Thus, we don't
19 know that we can actually comply with the Environment
20 Canada standard. So we're proposing that we collect the
21 data during this first license term and that then we
22 could address this in more detail later in the life of
23 the mine. But the TSS standard that we've put in here
24 will provide adequate environmental protection to the
25 environment.

26 The next issue is total dissolved solids. We have

1 proposed the use of chloride in place of total dissolved
2 solids. And I think we had proposed a limit of 1,000
3 and 2,000, and Environment Canada will make their case
4 that these are -- that this number here should be lower.
5 We have discomfort with that. We don't believe we can
6 achieve a TDS limit of 1500 milligrams per litre in the
7 Portage attenuation pond, and that's because as the pond
8 re-floods, it's going to receive deep groundwater that
9 moves into the bottom of the pit. This is groundwater
10 that's come from many, many years ago, and it contains
11 some TDS, some solid materials within it. So it's not
12 something we're adding to the water, it's coming from
13 the groundwater that will come into that pit.

14 There's also a difference between the nitrate.
15 Environment Canada proposed 28 milligrams per litre, and
16 we have proposed 50, and that's because we believe that
17 we will see some short-term duration upsets. That 28 is
18 what we predicted the number to be, and so if we set the
19 number at our prediction, it leaves us no room for an
20 upset every once in a while, and so we feel that 28 is
21 just a little too tight. Both parties on chromium now
22 have agreed that this should be a monitored parameter.
23 Chromium isn't a big issue for this property. There
24 isn't a lot of chromium that comes from the deposits.
25 The concern is with what may come from the lake bed
26 sediments.

1 We also have the storm water discharge pond, and
2 during the construction phase, we're going to place our
3 sewage, treated sewage, after it comes out of the sewage
4 treatment plant into this lake, and so we need a
5 standard if we discharge the water from the small storm
6 water pond into Second Portage Lake, which is the plan.
7 And so Environment Canada have put forward a proposed
8 limit at that point for the end of the pipe, and we, by
9 and large, have agreed fully with that number.

10 We have also added an additional standard, and this
11 is for water that would come from, say, our fuel
12 containment facility here at Baker Lake. You get snow
13 melt that collects inside the berm for those fuel tanks,
14 and we would then have to process that water through an
15 oil/water separator and then discharge that to the
16 environment, and so we propose these as a standard for
17 that kind of a discharge. We've actually taken that
18 directly out of the Type B license that the Board has
19 issued for our project. We're just assuming that the --
20 or we're asking that the same numbers be brought forward
21 into this new license.

22 Contingency planning. Agnico has prepared and
23 implemented separate contingency plans for the varied
24 components of the project. We have a plan for marine
25 transportation that was put together by NTCL and covers
26 all of the marine portion of goods coming into Baker

1 Lake. We have a separate plan for Baker Lake for the
2 marshalling facility and the fuel storage facilities
3 here that was put together for our Type B license. We
4 have a separate contingency plan for the
5 all-weather-access road that, again, was put together
6 for the Type B license, and it was developed by NUNA
7 M & T, and we've adopted that as being the plan for the
8 road.

9 And then we have a separate contingency plan,
10 emergency plan, for the regional exploration activities
11 and for the Meadowbank site. These came about because
12 of the time that the licenses were issued. Each one had
13 the requirement for a separate plan, and it makes sense
14 that these now be consolidated into one plan. And so
15 we're asking the Board to give us six months from the
16 date of when that license is issued to complete and
17 resubmit a consolidated plan that brings all these
18 together under one umbrella. That six months allows us
19 to actually determine the names and phone numbers of the
20 people who will actually be doing the various responses.
21 It allows us to reflect what we actually are going to be
22 doing as we build a team here on site.

23 With respect to water quality monitoring, we have
24 submitted previously a water quality and flow monitoring
25 plan. This was updated with some -- a letter follow-up
26 following the technical meetings, and that's Document

1 626 that was submitted to the Board. And this plan sets
2 out the proposal for where we should sample, how often,
3 and what parameters, and we would ask that that become
4 the basis for our surveillance network program for this
5 license. That was adapted to try and reflect the input
6 that we heard at the technical meeting, so we believe we
7 have successfully achieved that input.

8 Aquatic effects. This is monitoring of the effects
9 that the mine will have on the aquatic environment
10 outside the mine boundaries, so looking downstream and
11 the lakes that will receive the water. We need to look
12 at those lakes and determine what impacts the mine is
13 having over time on the water, the sediment, the small
14 critters that live in the bottom, and right up through
15 to the fish to ensure that we can predict or see if any
16 bad trends are occurring.

17 We have already submitted an Aquatic Effects
18 Monitoring Plan, a proposed plan, and we're actually
19 implementing that plan. We did a program in 2006, again
20 in 2007, and have another one coming in 2008 so that
21 we're collecting the data as we move through
22 construction into operation. We're asking the Board
23 that -- sorry, this plan will evolve. We recognize that
24 we will learn each year, and so the plan will evolve and
25 adapt to reflect the things we learn, and so it will
26 need to be periodically updated.

1 We're asking the Board to set a condition that the
2 first update be required by March 31st of 2009. That's
3 so that we can get all the experience through -- we
4 learn through 2008 into a report, into the plan in time
5 to do the fuel season in 2009, and then that we have
6 further updates at three-year intervals, formal updates
7 at three-year intervals.

8 Closure and reclamation planning. Again, similar to
9 the spill contingency plan. Because of the way the
10 project has evolved, there are already four separate
11 closure plans in place for pieces of this project. They
12 were all designed to be in accordance with INAC's
13 guidelines for closure planning, and they're at the
14 preliminary phase, which is what is appropriate under
15 the INAC guidelines for this phase of the mine life.

16 However, detailed additional planning needs to go on
17 as we get into the construction or as we get through
18 construction to reflect what we've actually built. And
19 so we have committed to continue that closure planning
20 and complete a consolidated plan that is at the next
21 level of detailed planning, what's called an interim
22 plan, and submit that to you. That will include
23 information as to what we've built for the construction
24 phase and information from the field studies we're
25 doing.

26 We're asking the Board to set the date for that next

1 plan at six months after the start of milling operations
2 or six months after construction is finished, as that
3 would be the date to submit the next level of detail for
4 closure plans, this interim plan, moving from
5 preliminary to interim.

6 In summary, the pre-construction activities of
7 Meadowbank are already underway. There is excellent
8 potential at that site to find more gold. We've had
9 good results to date. In the year that Meadowbank has
10 been with the project, the reserves have grown from 2.9
11 to 3.5 million ounces.

12 There's excellent support for the project. The
13 project is fully financed, and Agnico-Eagle intends to
14 work with all the stakeholders in the region. We have
15 been demonstrating that in our past year, and we will
16 continue to do that. It's not just something we're just
17 doing at this phase; it's a core part of our business.

18 We will continue to build the relationships we've
19 developed with the local communities and with the KIA,
20 and we -- especially with respect to the IIBA and the
21 Water Compensation Agreement. And training of local
22 personnel is a priority. We recognize that this mine,
23 its legacy is the skills it will need and the jobs it
24 creates.

25 On that basis, I would like to thank you and close
26 at that point, Mr. Chairman.

1 THE CHAIR: Thank you, Mr. Connell, for
2 your presentation. Now, this will be open for question.
3 Before we do that, I'd like to ask Bob Hanson
4 whether he's stayed on the line. Bob, are you on the
5 line?
6 MR. HANSON: Yes.
7 THE CHAIR: Thank you. And, Bill, are
8 you on the line?
9 MR. TILLEMAN: Yes, I am.
10 THE CHAIR: Thank you. Before we
11 proceed with the questioning, I'd like to recognize some
12 audience down there. The MLA for Baker Lake, David
13 Simailak, as well as we -- also one of the Board Members
14 also came in this morning down in the audience -- he's
15 not in the room right now -- now the Vice Chair, Geoff
16 Kusugak also in the room as well.
17 Okay, again, we start with INAC, if you have a
18 question to the Applicant.
19 INAC QUESTIONS AEM:
20 MR. ROGERS: Do we have to be sworn in?
21 MS. FILIATRAULT: Mr. Chairman, no, they don't
22 need to be sworn in unless they actually submit any
23 evidence during their questioning of the Applicant.
24 THE CHAIR: Thank you. Go ahead, INAC.
25 MR. ROGERS: I'm Jim Rogers, Manager of
26 Water Resources for Indian and Northern Affairs.

1 Sitting next to me is John Brodie of Brodie Consulting
2 Limited, who has worked on this project and has done a
3 fair amount of calculations on the amount of money that
4 the -- INAC believes would be required to reclaim the
5 area. And on my far right is Michael Nadler, he's the
6 Regional Director General for the Indian Affairs Nunavut
7 regional Office.

8 We have many questions, but we'll try to keep it
9 fairly short and fairly sweet.

10 We appreciate what Larry presented, however, the
11 Board should be aware that some of this information has
12 been recently submitted. This is either the first time
13 or we haven't seen this information for more than a
14 week, so some of the information hasn't been delved into
15 in great deal, and I believe Agnico-Eagle understands
16 that point.

17 Our major issues are over the reclamation estimates
18 that we did not make a recommendation at this time to
19 the Board. We will make that in the presentation on the
20 amount of reclamation security that we feel the Water
21 Board should set so the water-related issues can be
22 handled over the future. There is some disagreement in
23 that point.

24 There's also some points on -- on the cover, Larry
25 did mention two points, that the NIRB approved 2.0
26 metres of cover, and they've calculated 2.5, and we've

1 calculated 4 metres of cover over the waste rock and
2 tailings.

3 Now, as we know, NIRB did not approval 2.0 metres of
4 cover. NIRB recommends that the 2 metres of cover would
5 be the minimum and defers the actual amount of cover to
6 the regulators as required under the land claim, so
7 the -- because of recent experience in Ekati and Diavik
8 and other projects in the north, we are less confident
9 that the 2 or 2-and-a-half metres would be sufficient to
10 provide the thermal break and allow the tailings and
11 waste rock to remain frozen.

12 So the question on the cover will Agnico-Eagle Mines
13 Corporation or Limited, I guess, be agreeable to a
14 licensed term which requires them to submit for approval
15 of the Board a plan for collecting field data and
16 modelling, doing a thermal model, a block model, to
17 determine if the -- the appropriate cover thickness?

18 THE CHAIR: Thank you. Applicant?

19 MR. CONNELL: Thank you, Mr. Chairman.

20 We acknowledged in our presentation that we knew
21 that these issues were going to be controversial.
22 That's why in our presentation when we proposed a
23 solution to it, we said rather than get into that
24 argument at this point in time with respect to a depth
25 of cover, what's right, what's not, we would just take
26 INAC's numbers because we know that that's protective.

1 And then we would develop that information over the
2 first five-year license term so that the second license
3 term, the types of data that Mr. Rogers is talking about
4 would be available.

5 So our presentation acknowledged the fact that these
6 were issues that were outstanding between the parties
7 and is in the compromise or trying to find compromise,
8 it was our position that we just accept the 26.1 million
9 from the INAC estimate rather than try to have the Board
10 have to deal with these issues when we as technical
11 people haven't dealt with them yet.

12 In respect to Mr. Rogers' request with collecting
13 field data and having that as a condition, that is
14 something we are comfortable with. The company's intent
15 is to develop information on that cover over the life of
16 the operation so that we can have the information for
17 the Board at the end of that five-year period.

18 THE CHAIR: Thank you. Just remind INAC
19 that you will have a presentation right after all the
20 parties are questioning the Applicant. Go ahead, INAC.

21 MR. ROGERS: The other question -- and I
22 probably will go into greater depth in our presentation,
23 although it won't match it -- is the -- Larry, you
24 should have numbered your slides -- the Meadowbank Type
25 A water license application, Part C, where you have the
26 ramp-up from 12 to \$26 million slide. The difference

1 between that and -- you have a ramp-up of \$14 million
2 over five years. Did you develop a set of numbers that
3 we could review on that, or is it just a straight-line
4 curve?
5 THE CHAIR: Before you answer, INAC,
6 please focus your attention to the Chair when you speak,
7 thank you.
8 MR. ROGERS: I'm sorry, Mr. Chairman, my
9 mistake.
10 THE CHAIR: Okay, Applicant, go ahead.
11 MR. CONNELL: Thank you, Mr. Chair. Larry
12 Connell speaking.
13 When they did those, we didn't develop any new
14 numbers because we knew that that would be
15 controversial. What we did was take the INAC estimates,
16 the INAC estimates were only on two points, basically
17 end of year one and end of year five, and we have tried
18 to use those same numbers to ramp-up, and obviously
19 we've had to interpolate between those two. You'll see
20 where we have actually used our numbers earlier rather
21 than wait, rather than try to develop any new numbers.
22 THE CHAIR: Thank you. Go ahead.
23 MR. ROGERS: Thank you, Mr. Chair. It's
24 Jim Rogers again.
25 I'm unsure, Mr. Chair, about the -- when the --
26 combining the B licenses into the A licenses was

1 proposed and the changes in plans. Was Agnico-Eagle
2 recommending that the Board maintain the existing
3 approvals under the B license until that time where the
4 other plans and conditions are implemented, or would
5 there be a time span within there where there would be
6 no plans approved? It was -- we were unsure through the
7 presentation. An example would be the contingency plans
8 that would be rolled up, but in the meantime, you've got
9 six months waiting for a new plan. The B plans would be
10 in place, I assume, or I'm not sure.

11 THE CHAIR: Thank you. Applicant?

12 MR. CONNELL: Thank you, Mr. Chairman.

13 Larry Connell.

14 It would be our intent that the existing plans would
15 remain in force until they were replaced with a better
16 plan. Obviously it would be very imprudent to ever move
17 forward without having contingency plans in place,
18 emergency plans in place, and so it would be our
19 position that those plans would stay there to protect
20 all parties and to protect ourselves during that interim
21 phase.

22 THE CHAIR: Thank you. Rogers?

23 MR. ROGERS: Thank you, Mr. Chair. It's

24 Jim Rogers again.

25 So I assume that the Agnico-Eagle is asking that
26 that's a term and condition within the license, that all

1 those plans would remain in place and active until
2 they're replaced by additional plans?
3 THE CHAIR: Applicant?
4 MR. CONNELL: Thank you, Mr. Chairman.
5 Larry Connell.
6 Yes, that would be acceptable with the company, that
7 that would make logical sense that it would be set up
8 that way.
9 THE CHAIR: Thank you. Any more
10 questions from INAC? Mr. Nadler?
11 MR. NADLER: Thank you, Mr. Chair. It's
12 Michael Nadler. Just another question relating to the
13 ramp-up of security, Mr. Chair.
14 The slide relating to security of Meadowbank Type A
15 water license application, Part C, conditions applying
16 to security. The first bullet in that slide lays out a
17 series of payments ramping up over a period of years. I
18 guess our basic question on this slide is whether the
19 Proponent is proposing an incremental payment of
20 security or whether they're proposing paying one full
21 security.
22 Thank you, Mr. Chair.
23 THE CHAIR: Thank you. Applicant?
24 MR. CONNELL: Thank you, Mr. Chairman.
25 Larry Connell.
26 It was our intent that what we would see would be a

1 phase, that the license will contain a series of
2 payments, that the security deposit required would start
3 at this number, and the next year would go up by this
4 number, and then go up by this number as the disturbance
5 increased.
6 THE CHAIR: Thank you. Any more
7 questions from INAC?
8 MR. ROGERS: No, we have no further
9 questions of the presentation at this time, Mr. Chair.
10 MR. NADLER: Thank you very kindly,
11 Mr. Chair and Board Members.
12 THE CHAIR: Thank you, INAC. The next
13 department would be Environment Canada. Environment
14 Canada, you may proceed with your question.
15 EC QUESTIONS AEM:
16 MS. WILSON: Thank you, Mr. Chairman. As
17 I'm not sworn in, I'm just going to keep my questions
18 very general without -- oh, it's Anne Wilson, sorry --
19 without much discussion.
20 The first question has to do with the incineration
21 and the new incinerator. Would you be able to tell us
22 what model and type of incinerator has been ordered in?
23 THE CHAIR: Thank you. When you speak,
24 would you please speak and face your -- toward me. Go
25 ahead, Applicant.
26 MR. CONNELL: Thank you, Mr. Chairman.

1 We have not placed an order yet, but we have put
2 together -- our engineering consultant has put together
3 a specification. That specification has been
4 circulating the past week to make sure that it meets all
5 the things we've been discussing, and Hatch are now
6 finalizing that issue. They're going out for broad
7 tender this coming week. We could provide to the Board
8 a copy of that draft specification that is going to be
9 going out publicly, so we could submit that to you if
10 you would so like.

11 THE CHAIR: Thank you. Environment
12 Canada?

13 MS. WILSON: Thank you.

14 If the Board gets a copy of the specifications,
15 Environment Canada would be happy to have a look at them
16 and ensure that they would be appropriate.

17 My next question was to do with incineration still
18 and whether the sewage sludge needs to be incinerated or
19 if it could be disposed of within the rock area.

20 THE CHAIR: Thank you. Applicant?

21 MR. CONNELL: Sorry, Mr. Chairman, I was
22 just getting clarification. It's Larry Connell.

23 It was our thought that during the construction
24 phase that the incineration of sludge would be an
25 inappropriate means because of not having storage,
26 although an alternative would be to store that and then

1 put it within tailings later. But once we have an
2 operational mine site, we should be able to then take
3 those sludges and co-dispose with tailings as a more
4 appropriate fashion than incinerate. That was the plan.

5 Mr. Chair, if possible, I have a copy of that
6 incinerator specification, and I'll make sure that I get
7 a copy to Anne Wilson today.

8 THE CHAIR: Thank you. Environment
9 Canada?

10 MS. WILSON: Thank you, Mr. Chairman.

11 My last question on this is with regard to the
12 disposal of the incinerator ash. Have there been any
13 refinements in the plan for spreading it within the
14 landfill? I believe that was the latest I had heard.

15 THE CHAIR: Thank you. Applicant?

16 MR. CONNELL: Thank you, Mr. Chairman.
17 Larry Connell.

18 No, we haven't refined that yet. We -- the steps we
19 have taken to date is we've just taken some samples.
20 We've actually got them out for analysis right now. We
21 don't have them back, and so we're trying to get a sense
22 of what we're dealing with right now, but we have not
23 put together a standard operating procedures to do it.
24 Obviously we want to do it in a manner where it doesn't
25 become airborne immediately. It's got to be done in
26 such a fashion where it can be contained, whether it be

1 done just before being covered with rock, but I don't
2 have a written procedure to that at this point in time.
3 THE CHAIR: Thank you.
4 MS. WILSON: Thanks very much.
5 I'm just moving on to the landfarm facility, and the
6 concern I have is with bird deterrence in case there is
7 pooled or accumulated liquids. That wasn't mentioned,
8 but I trust that would be in the landfarm management?
9 THE CHAIR: Thank you. Applicant?
10 MR. CONNELL: Thank you, Mr. Chairman.
11 Larry Connell.
12 Yes, we acknowledge that, that when you've got
13 oil/water some place that you'd you want to keep the
14 birds out. What we envision there is a sump area that
15 is covered with absorbant pads at all times so that
16 we're minimizing that risk, and obviously we will have
17 to keep an eye open. We obviously don't want to allow
18 any birds to use that area, but the primary focus would
19 be to have the oil-absorbant pads on the sump so that
20 you don't have a large expanse in an area where birds
21 would want to come to.
22 THE CHAIR: Thank you. Environment
23 Canada?
24 MS. WILSON: Thank you. It's Anne Wilson
25 again.
26 I'm moving now on just to a quick question on

1 turbidity of the Proponent, Mr. Chairman. I just wanted
2 to be really clear that the Proponent differentiates
3 between turbidity as a way to look at total suspended
4 solids, because often it is used as an alternative
5 measurement to gauge total suspended solids, to
6 differentiate that from turbidity as a standard of
7 concern on its own because of the effect it has on water
8 clarity. I didn't get a sense of that from the
9 presentation. Thanks.

10 THE CHAIR: Thank you. Applicant?

11 MR. CONNELL: Thank you, Mr. Chairman.

12 Larry Connell.

13 Yes, I think we understand that TSS is not --
14 turbidity is not just a surrogate for TSS and that
15 turbidity itself is the very fine particles and that
16 there's an issue that it needs to be protective of the
17 aquatic environment that way. Our concern -- that's why
18 we have said that it should be a monitored parameter.

19 Our concern is that we just don't have enough
20 information to be able to say to the Board, If we set
21 10, yes, we can make 10, or if it has to be 15. We
22 don't have that information, and none of us have that
23 information.

24 THE CHAIR: Thank you. Environment

25 Canada?

26 MS. WILSON: Anne Wilson again. Thank

1 you.
2 I won't put the Proponent on the spot for this one
3 entirely. It's to do with the nitrate limits that are
4 proposed for end-of-pipe of 50. What would be helpful
5 to me on this is to have a sense of what the most
6 sensitive receiving environment organisms are, so maybe
7 that's something that the proponent could look up in the
8 baseline work and bring back to us when it's our
9 presentation. We'll be discussing this again. Would
10 that be reasonable?
11 THE CHAIR: Thank you. Applicant?
12 MR. CONNELL: Thank you, Mr. Chairman.
13 Yes, it sounds like a reasonable approach, but to be
14 able to properly answer that, I need to discuss it with
15 our consultants obviously, but it sounds like a very
16 reasonable approach to do that, and we would definitely
17 be inclined to definitely do the appropriate monitoring
18 to ensure that we're checking to make sure that that
19 would not be causing degradation to the environment.
20 THE CHAIR: Thank you. Environment
21 Canada?
22 MR. GROSKOPF: Glenn Groskopf, Environment
23 Canada.
24 My question related to the waste rock handling and
25 segregation. It's obviously key in your proposal for
26 handling waste with the problematic rock being covered

1 by the more benign material. Can you describe how
2 you're going to segregate that rock?
3 THE CHAIR: Thank you. Applicant?
4 MR. CONNELL: Thank you, Mr. Chairman.
5 The methodology would start right from the drilling
6 of the blast patterns. We would collect samples of the
7 drill cuttings. Those would be then taken on site, to a
8 laboratory on site, analyzed for total sulphur. We,
9 prior to that, would look to develop a curve between
10 total sulphur and our acid basic counting results so
11 that we can go down and make the relationship, which,
12 based on that sulphur, whether this rock is likely to be
13 acid-generating or not.
14 That would then allow the project engineers to
15 actually establish the dig limits within the blasted
16 area. They actually go up and they put flags to
17 differentiate where these areas are. And as then the
18 shovels come in to start excavating that rock, they
19 assign the good rock to go to one spot in the pile, and
20 the rock that's been flagged as being potentially bad
21 rock to go to another spot on the pile.
22 So we basically create cells within the waste rock
23 dump where this PAG rock is placed, and the cells will
24 change over that time, but that cell is then what
25 becomes embedded within the dump.
26 MR. GROSKOPF: Thank you very much.

1 THE CHAIR: Thank you. Any more
2 questions from Environment Canada?
3 MS. WILSON: It's Anne Wilson again. I
4 almost missed my last question.
5 This is to do with the end-of-pipe discharge
6 standards proposed from the landfarm. The oil and
7 grease standard of 15 milligrams per litre just caught
8 my eye. I hadn't seen that before. I'm just wondering
9 what would the receiving environment be? Would that be
10 an overland or a water-receiving environment and where?
11 Thanks.
12 THE CHAIR: Thank you. Applicant?
13 MR. CONNELL: Thank you, Mr. Chairman.
14 That standard that we took actually --
15 THE CHAIR: Before you speak, can you
16 repeat your -- mention your name first to that --
17 MR. CONNELL: Sorry, Larry Connell.
18 Mr. Chairman, that standard that we had put there
19 actually came out of an existing Water Board license,
20 one that was just recently issued for the Meadowbank
21 regional exploration, and so we're looking at a generic
22 standard that would allow us to do that.
23 For here at -- the marshalling facility here is we
24 would land-apply the water from a water -- from an
25 oil/water separator. At the mine site itself, we had
26 anticipated that that water would be directed into a

1 storm water management pond and go through the system
2 that way so that we contain it because we have
3 proximity. But there will be other areas where we have
4 a fuel tank that, depending on its proximity and the
5 ability to pump it, may be a land-applied rather than
6 handled through the attenuation of a pond.

7 THE CHAIR: Thank you. Any more
8 questions by Environment Canada? Anne?

9 MS. WILSON: Thank you, Mr. Chairman.
10 It's Anne Wilson. That's all our questions, thanks.

11 THE CHAIR: Thank you. The next
12 department would be DFO, if you have question to
13 Applicant.

14 DFO QUESTIONS AEM:

15 MR. BALINT: Dave Balint for Fisheries
16 and Oceans. Thank you, Mr. Chairman, for this
17 opportunity. I have a couple of questions.

18 DFO's concern is mostly with fish and fish habitat
19 and freshwater environment, and one of our major
20 concerns is with the adequacy of monitoring, so I have a
21 couple questions related to that.

22 Specifically our concerns are related to the
23 collection of baseline data, and that will definitely be
24 of concern to development and impacts to the aquatic
25 environment. The company in our pre-hearing conference
26 made a submission or commitment to submit some baseline

1 data, and I thought that was to be given to us to review
2 so that we could see how that data had been collected,
3 and I believe the date was March 31st. To my knowledge,
4 that has not been presented, so I would like to ask if
5 that information had been presented and where it might
6 be in the process.

7 THE CHAIR: Thank you. Applicant?
8 MR. CONNELL: Thank you, Mr. Chairman.
9 Larry Connell.

10 The reference is to the Aquatic Effects Monitoring
11 Plan, the data for the past two years for 2006, and was
12 it 2007 as well? 2007 as well. The requirement or the
13 commitment the company made at the pre-hearing was to
14 submit that to the Water Board by March 31st, and those
15 reports were submitted to the Water Board by March 31st.

16 THE CHAIR: Thank you. DFO?
17 MR. BALINT: Thank you. Another question
18 is related to the --

19 THE CHAIR: Please mention your name --
20 MR. BALINT: Dave --
21 THE CHAIR: -- for the record --
22 MR. BALINT: Dave Balint, Fisheries.

23 Another question is related to the Aquatic Effects
24 Monitoring Program, and the company, in its submission
25 this morning, stated that it had already submitted the
26 Aquatic Effects Program and then asked that the Water

1 Board set a condition that the first update be required
2 by March 31st, 2009.

3 My question is related to the process or the status
4 of the Aquatic Effects Monitoring Program. So I would
5 like to ask the question that could the company please
6 describe what they see as the process in the approvals
7 thus far or the conditions of that program, and then
8 what the process is in approving these types of plans in
9 the future.

10 THE CHAIR: Thank you. Applicant?
11 MR. CONNELL: Thank you, Mr. Chairman.
12 Larry Connell.

13 I would presume that, this is stepping over maybe
14 our jurisdiction, we would presume that we would submit
15 plans to the Water Board and that the Water Board would
16 then dictate the process for approval and that we don't
17 have an approved plan until somebody from the Water
18 Board tells us we have an approved plan. We may
19 continue to continue monitoring under what we believe,
20 but we believe the process would be what the Water Board
21 dictates for approvals on those plans.

22 THE CHAIR: Thank you. DFO?
23 MR. BALINT: Dave Balint, Fisheries and
24 Oceans.

25 There were a number of issues that were brought
26 forward in the pre-hearing conference that I don't think

1 were maybe resolved with the Aquatic Effects Monitoring
2 Program; therefore, the question I would have is the
3 submission that was entertained before, as I believe has
4 been presented this morning, the company would believe
5 that that was the program that is in place, and that
6 would be the question: Is that the company's position?
7 THE CHAIR: Thank you. Applicant?
8 MR. CONNELL: Larry Connell.
9 I'm just going to take a moment to ask that question
10 to my expert in that field and then respond. Give me 2
11 seconds.
12 THE CHAIR: Go ahead, Applicant.
13 MR. MANN: Gary Mann.
14 Mr. Chairman, we have -- we submitted an Aquatic
15 Effects Management Plan to the -- during the NIRB
16 process, and the commitment was made to do two years of
17 preconstruction monitoring, and that was 2006, 2007, and
18 both of those reports were submitted to the Water Board
19 on the 31st of March of this year. Thank you.
20 THE CHAIR: Thank you. DFO, do you have
21 any more questions?
22 MR. BALINT: Dave Balint, Fisheries and
23 Oceans.
24 I understand that that data had been submitted. My
25 question that I had just asked was the AEMP, that is one
26 of the documents that has been presented, is that the

1 final plan or proposal as submitted?
2 THE CHAIR: Thank you. Applicant?
3 MR. MANN: Gary Mann.
4 As per the presentation that Larry gave today, that
5 AEM gave, we have committed to updating the AEMP plan by
6 March 31st of next year, so incorporating the two years
7 of information and making appropriate revisions and then
8 submitting that to the Board for their approval at that
9 time.
10 THE CHAIR: Thank you. DFO?
11 MR. BALINT: Dave Balint, Fisheries and
12 Oceans.
13 One of the issues that may arise is that many of the
14 interveners, the Board, Board Staff may have some issues
15 that arise during monitoring activities and as that
16 information is presented. I would like to ask how the
17 company would be able to incorporate the comments that
18 interveners bring forward for that Aquatic Effects
19 Monitoring Program.
20 THE CHAIR: Thank you. Applicant?
21 MR. CONNELL: Thank you, Mr. Chairman.
22 Larry Connell.
23 I would presume that the best way forward would be
24 for people to write to the Board to tell us what those
25 concerns are, what those issues are that should be
26 incorporated, and then, yes, then we would know of them

1 and could incorporate them into our monitoring program
2 and make sure that they got into that 2009 March update.
3 We need a process to obviously get that information to
4 us so that we can look at it and incorporate it so we
5 adapt accordingly.

6 THE CHAIR: Thank you. DFO?

7 MR. BALINT: Dave Balint, Fisheries and
8 Oceans.

9 As I've mentioned, one of the concerns that we have
10 is with the adequacy of monitoring, and I heard the
11 company mention today that they are very concerned about
12 the environment and interested in monitoring. I would
13 just ask one final question. If the company could just
14 briefly explain or expand to give us a little bit of a
15 better idea of what resources they have proposed; for
16 instance, how many people are in their Environment
17 Department, just to give us an idea to -- as far as
18 their capacity for doing that work.

19 THE CHAIR: Thank you. Applicant?

20 MR. CONNELL: Thank you, Mr. Chairman.
21 Larry Connell.

22 Agnico-Eagle does take its environmental
23 responsibility very seriously. This project, even prior
24 to going to construction phase or having a water license
25 in place, we have two environmental coordinators on
26 site, working two weeks on, two weeks off.

1 Cross-shifting to them, we have an environmental
2 technician so that there's continuity. So we have three
3 people who are servicing the site today even before we
4 enter construction.

5 We currently have -- are looking, we have postings,
6 we're working through the local region to hire some
7 additional technicians in anticipating of starting
8 construction this summer and also for an additional
9 environmental technician to supplement that team.

10 We also have laid out a whole series of field
11 programs that will be taking place this summer through
12 our consultants, and so -- where we don't have the
13 resources, that resource comes to us through our
14 consultants.

15 So right off the bat, we currently have three people
16 at the site. We also have the ability to draw on
17 additional resources out of our Abitibi regional office
18 and also out of the Vancouver office. There are three
19 of us in environmental relating to that at the Vancouver
20 office, and there are a larger number available in the
21 Abitibi region for us to draw on. So I believe we have
22 the resources that we need to respond and to ensure that
23 we carry forward our responsibility.

24 THE CHAIR: Thank you, Applicant. DFO,
25 you have more questions?

26 MR. BALINT: Dave Balint, Fisheries and

1 Oceans. I have no more questions. Thank you for the
2 opportunity.
3 THE CHAIR: Thank you, DFO. The next
4 department will be GN-Department of Environment.
5 MR. BADDALOO: Thank you, Mr. Chair. We'd
6 like to acknowledge the very informative presentation --
7 THE CHAIR: Please state your name for
8 the record.
9 MR. BADDALOO: It's Earle Baddaloo,
10 Government of Nunavut. We'd like to acknowledge the
11 very informative presentation made by the Proponent; at
12 this time, however, GN doesn't have any specific
13 questions.
14 MS. YEH: GN-DOE, Helen Yeh, I don't
15 have a question at this time. Thank you, Mr. Chairman.
16 THE CHAIR: Thank you. Next will be
17 NTI. Do you have any questions?
18 MS. EHALOAK: Jeannie Ehaloak with NTI.
19 Just for the Board's information, NTI and the Kivalliq
20 Inuit Association have prepared a joint submission, so
21 we'll be asking our joint questions. NTI at this time
22 doesn't have any questions, but KIA may have.
23 THE CHAIR: Thank you. KIA?
24 MR. MANZO: Thank you. My name is Luis
25 Manzo. We have a question. Thank you, Mr. Chairman.
26 KIA QUESTIONS AEM:

1 MR. HARTMAN: Thank you, Mr. Chairman. My
2 name's Steve Hartman with the Kivalliq Inuit
3 Association. We just have one question that we want a
4 little bit of clarification with, and that was with
5 regards to the dike safety committee that was talked
6 about at the pre-hearing meetings. I just wondered
7 if -- I didn't see anything in the presentation today,
8 but I was wondering if Agnico-Eagle may have given any
9 more thought to who might be on this committee, what the
10 committee might be doing, and reporting requirements for
11 it. Thank you.

12 THE CHAIR: Thank you. Applicant?

13 MR. CONNELL: Thank you, Mr. Chairman.
14 Larry Connell.

15 As you can well imagine, there's lots of things I
16 didn't get into in this morning's presentation for
17 brevity. Agnico-Eagle had committed and it is still is
18 our commitment that we are going to create an
19 independent geotechnical peer review panel that is a
20 panel of geotechnical specialists, engineers, who would
21 look at the design that our consultants do for the dikes
22 and dams and advise the company independently on the
23 adequacy of those designs and make sure that -- and the
24 reason for this is we see these dikes as being very,
25 very critical to ourselves. It's our employees that
26 will be working inside those, and so we have a

1 responsibility to ensure that we do things appropriately
2 from a health and safety perspective.

3 We have approached, and he has accepted, a fellow by
4 the name of Dr. Morganstern has accepted to act in that
5 role as the chairman of this independent geotechnical
6 peer review panel. Dr. Morganstern is a well-known
7 geotechnical engineer, formerly with the University of
8 Alberta.

9 In discussing the makeup of the committee, because
10 it's independent, what we have said to Dr. Morganstern,
11 he has basically said to us is that the two other
12 members that are selected to sit with him will be chosen
13 by him. They won't be chosen by us. We will have yes
14 or no, but it's -- basically he is the one who will
15 select so that it's truly independent, but the committee
16 will be fully paid for by Agnico. It's an internal
17 committee.

18 We see very seriously something that we need to
19 ensure that our employees are safe and that we continue
20 to be safe for -- during this -- with the construction
21 of these very critical facilities.

22 THE CHAIR: Thank you. KIA, you have
23 further question?

24 MR. HARTMAN: Thank you, Mr. Chairman.

25 Just -- we will be discussing and bringing this up
26 in our presentation later on, but KIA was hoping in some

1 way to have a member -- one of these elected members to
2 come from -- be a representative from KIA in some formal
3 way. We were hoping is there a way -- is that a
4 possibility to discuss that now, or would that be at a
5 later time?

6 THE CHAIR: It's between you, I think.
7 MR. CONNELL: Mr. Chairman, I think I can
8 help in that respect. Larry Connell again.

9 I think we proceed -- as the reports and things that
10 come from this independent peer review panel, we fully
11 anticipate being able to share them with the landowner
12 partnership, and so you can sit right beside us as we
13 collect the information.

14 In being an independent panel, the geotechnical
15 engineers said that they didn't want somebody to just be
16 electing members and foisting them onto them. They
17 wanted to ensure that the people who sat to make those
18 reviews were of their choice in that they were of the
19 same stature as Dr. Morganstern, and so he didn't want
20 to be in a position where we just gave him two people
21 and said, Those are the two people you should have to
22 sit with. He wanted to pick those two people.

23 Now, having said that, where we can definitely
24 involve the Kivalliq Inuit Association is to be present
25 when they get the story back, be present when they make
26 their deliberations as a full partner that way.

1 THE CHAIR: Thank you. KIA?
2 MR. HARTMAN: Thank you, Mr. Chairman.
3 Steve Hartman with the Kivalliq Inuit Association. We
4 have no more questions.
5 MR. MANZO: Luis Manzo from Kivalliq
6 Inuit Association. We have no more question for
7 Proponent.
8 THE CHAIR: Thank you. Now, I'd like to
9 ask public whether there's any question to Applicant on
10 their presentation?
11 PUBLIC QUESTIONS AEM:
12 MR. KABLOONA: Thank you to Agnico-Eagle
13 Mine for giving presentation, but my question is to
14 Agnico-Eagle.
15 The Meadowbank Project have agreed to work with the
16 people of Baker Lake. I don't live in Baker Lake; I
17 live in Chesterfield. The people in Baker Lake should
18 be consulted, and Agnico-Eagle have worked with the
19 community, and there are a lot of hunters. There are a
20 lot of hunters in this community.
21 Have Agnico-Eagle been able to let the community use
22 the access road to the mine? They had -- also had a
23 pre-road before the road was construction. The people
24 of Baker Lake have not voiced their concerns, and there
25 is Inuit associations. Have you had an agreement with
26 the people of Baker Lake so that they can access the

1 road to Meadowbank?
2 I'm not sure if my comments are correct, but I am --
3 we are both from the Kivalliq area, and there is KIA,
4 NTI, I want to -- while each organizations are here, I
5 would like to express these concerns. There will be a
6 lot of sea lift in the future, so this is my concern.
7 So I would like to thank the Agnico-Eagle for their
8 presentation. Thank you.
9 THE CHAIR: Applicant, do you have a
10 response?
11 MR. CONNELL: Thank you, Mr. Chairman.
12 Larry Connell.
13 I thank you for those comments; I think they're very
14 valuable.
15 With respect to the road, the -- through the NIRB
16 process, there was a lot of discussion about access on
17 the road, and I don't want to go through that. I'll
18 just summarize that one of the conditions that came out
19 of that whole process was that the road should be a
20 private road with some kind of control on it because of
21 the concern of what would take place from that road, and
22 so the company has made it a private access road.
23 However, we -- and so we have a gate on it. Does that
24 necessarily stop all community members from using the
25 road? I can't say yes to that, and it's not our
26 responsibility to do that.

1 This is an issue that has been discussed with the
2 Kivalliq Inuit Association, and I suspect will be -- the
3 subject will go on for the life of the operation. We
4 have divergent opinions. We have the community of Baker
5 Lake who may not agree with that decision, and it makes
6 it -- some complex -- complexity to it, and we have to
7 walk very carefully between those.
8 THE CHAIR: Thank you. Is there any
9 more question from public?
10 MS. PUTULIK: Thank you, Mr. Chairman.
11 Brenda Putulik from Chesterfield Inlet.
12 The things that I feel that would be a concern to
13 the people of Chesterfield, it was discussed that the
14 percentage of water liabilities. I can certainly
15 understand if water contaminants were to happen in the
16 community of Baker, that would be the first priority.
17 My question is what are the percentage of any wastes
18 or contaminants flowing down to -- through the river
19 onto our sea; in other words, that are a way to Baker,
20 what are the percentage, or is it -- should we be
21 concerned?
22 THE CHAIR: Quyannamiik.
23 MR. CONNELL: Thank you, Mr. Chairman.
24 Larry Connell.
25 You should not be concerned, and the reason that I
26 say that is the end-of-pipe standards that were

1 discussed earlier on, they were set to meet the CCME
2 aquatic guidelines that guarantee protection of the
3 aquatic life, water standards, protection of the fish,
4 even the benthic species that the fish live off of, that
5 has to be met within 30 metres of that end-of-pipe.

6 And so when you look at then the dilution factors
7 that would take place as you move further -- even
8 further away, you will not see any impact even in Baker
9 Lake or further out. So I think that the protective
10 standards that have been talked about with the technical
11 people that are put forward will ensure that there is
12 protection well -- close to the mine well before it ever
13 gets further away from the mine.

14 THE CHAIR: Thank you. Brenda, do you
15 have any more questions?

16 MS. PUTULIK: My other concern is it was
17 said that there would be contaminants or anything that
18 would be toxic to the land would be shipped out. My
19 concern is during one of those ships that has these
20 toxins or these contaminants, it's always one of those
21 what-ifs. What happens, let's say a ship got a hole on
22 the barge or the ship, and it contaminated the -- our
23 sea? What kind of safety -- will there be anything in
24 place? For example, oil pads for the land and for the
25 sea. These kinds of things that need to be -- I feel
26 that has to be addressed. It's better safe than sorry.

1 Having all these toxins in your sea and you can't get
2 any of these cleaning products because they're all in
3 the mines. I can certainly understand that the mine is
4 the first priority. So that's my question.
5 THE CHAIR: Thank you. Applicant?
6 MR. CONNELL: Thank you, Mr. Chairman.
7 Larry Connell.
8 It's a very good question, and thank you for it.
9 The amount of material we will ship away from the mine,
10 these are things like the batteries, the vehicle
11 batteries that are no longer necessary, antifreeze when
12 we drain it out of a vehicle. We're not talking about
13 large quantities. We're talking about one shipping
14 container a year going back on the barges so that we can
15 appropriately take those to places in the south. So
16 there's small volumes, but we still always have risk,
17 always have some risk of damage or an accident or
18 whatever happening.
19 We have response plans in place. We have our
20 response plans at the mine, which have response
21 equipment stationed here because we have the same
22 concern around the fuel facilities when we're offloading
23 the barges here.
24 But we also rely upon our shipper, which is NTCL,
25 the barge company, and they too have a very extensive
26 spill contingency plan. We've got copies of it. We've

1 actually put them into the record, and they too have
2 stockpiles of material to respond in case of an
3 accident. So it wouldn't just be Agnico-Eagle
4 responding, it would also be a response from NTCL, who's
5 the shipper at that point.
6 THE CHAIR: Thank you. Brenda, do you
7 have any more questions?
8 MS. PUTULIK: Thank you. Brenda Putulik.
9 My other question and concern is the wildlife,
10 example, harbor seals, seals, belugas, and orcas,
11 narwhals have recently been spotted, and I can -- I was
12 told that once the barge for the ship starts coming in,
13 a lot of these mammals would follow the ships or the
14 barge.
15 My concern is what happens if there's no more seals
16 or harbor seals on our area because of the continuous
17 traffic, because I'm assuming that in the beginning of
18 the project being started up, there's -- there would be
19 at least what, 10, 15 barges, ships that would be
20 passing our area? So what happens once the -- if the
21 wildlife has been reduced due to the traffic?
22 Quyannamiik.
23 THE CHAIR: Quyannamiik. Applicant?
24 MR. CONNELL: Thank you, Mr. Chairman.
25 It's Larry Connell.
26 Thank you for that question. It's a difficult one

1 for me to address because my understanding -- and I'm
2 not a wildlife specialist, I should make that clear --
3 my understanding was that, as through the NIRB process,
4 wildlife was -- is a major discussion and that the
5 experts at that time felt that the procedures in place
6 would make it unlikely or would make it -- wouldn't
7 result in that traffic actually causing any impact like
8 you're talking about the loss of the seals. I think
9 maybe other things might take place but --

10 And also, as counsel just pointed out to me, there
11 is protection under Article 6 of the Nunavut Land Claim
12 Agreement with respect to wildlife, and so if something
13 were to happen like that, we would definitely be -- have
14 to participate in addressing how that would be resolved.

15 I don't see at this point personally how the number
16 of ships we have coming would actually result in that.
17 We don't see any impact to date. So I don't have a good
18 answer for you, a perfect answer for you, because the
19 experts tell me that that won't happen, but if it -- for
20 whatever reason something happens that we don't know, we
21 will have to participate in finding answers.

22 THE CHAIR: Thank you. Brenda?

23 MS. PUTULIK: Quyannamiik. The other
24 thing that I've noticed in the community of Baker Lake,
25 I've noticed that there's two barges, one ship that have
26 been frozen up in the lake here. I couldn't help but

1 wonder, halfway through going up or going down the
2 river, it freezes up. It has happened now, and I'm
3 assuming that it's going to happen again in the future.
4 Rather than having it just be froze somewhere in the
5 middle or in the community of Baker Lake, has any
6 consideration been brought up to store these barges or
7 the ships in Chester within the community to ensure that
8 if there's toxic waste or contaminants in there, that it
9 would be in an area where it's -- could be monitored
10 rather than being froze somewhere in the middle and, God
11 forbid, anything were to happen.
12 THE CHAIR: Thank you. Applicant?
13 MR. CONNELL: Thank you, Mr. Chairman.
14 Larry Connell.
15 What happened last year was unique in the fact that
16 it was -- we were shipping very late into the season and
17 got caught. But even when that happened, we recognized
18 that it would be very inappropriate to leave barges out
19 in any open, exposed area, and so we actually halted our
20 shipments and actually sent the remaining shipments
21 either to Baker Lake, the remaining one to Rankin, or
22 some even went south. We actually returned fuel south
23 last year because we did not want to leave it stuck in
24 the north.
25 We have learned and that cost us a lot of money, but
26 we felt that that was the appropriate solution, and

1 we're learning from our experience on that basis that we
2 need to move and plan our shipping earlier so that we
3 get those materials in and are finished well before the
4 shipping season comes to an end. So we will do
5 everything in our power not to have barges frozen in --
6 anywhere in the future.

7 But, you know, we can never say that will never
8 happen, but if it were to happen, we would work with the
9 communities like we did this year with Rankin. We went
10 to the community of Rankin and said, We have two barges,
11 can we bring them into your community. And the
12 community gave us permission to do that.

13 THE CHAIR: Thank you. Brenda, do you
14 have any more questions? Go ahead.

15 MS. PUTULIK: Quyannamiik. So my question
16 is has Chesterfield Inlet been considered as a place
17 where they can store the barges or the ships if this
18 were to happen in the future? Quyannamiik.

19 THE CHAIR: Thank you. Applicant?

20 MR. CONNELL: Thank you, Mr. Chairman.
21 Larry Connell.

22 I don't think anybody's considered Chesterfield
23 Inlet as a spot. I don't think any of that's been
24 discussed with NTCL. Our discussions with NTCL have
25 been to try and avoid anything being left, but I do not
26 know of any discussions that we've had with NTCL that

1 talk about using Chesterfield Inlet as a place to place
2 barges. Our talk has been to try and not have barges
3 left here because of the cost of leaving them, as well
4 as the risk.

5 THE CHAIR: Thank you. Is there any
6 more questions from the public?

7 MS. MIMIALIK: My name is Leonie Mimialik.
8 My concern is if there is a water spill from a barge and
9 a lot of food that is being transferred will -- or the
10 wildlife would be spoiled, and our descendants will be
11 using this food, so my concern is a spill.

12 And my other concern is if there are 300 barges, I
13 believe Chesterfield has to be considered too because
14 the wildlife will be impacted by the barges, and
15 Chesterfield is deeper than Rankin, so this should be
16 considered.

17 THE CHAIR: Quyannamiik. Response from
18 Applicant?

19 MR. CONNELL: Thanks, Mr. Chairman. Larry
20 Connell.

21 My understanding is that -- I agree with your
22 questions, in that we as a company need to make sure
23 that when we ship our commodities to the north, to the
24 mine site, that we are not going to do it ourselves; we
25 are going to use professional companies who do shipping
26 to other communities in the north. We will be part of

1 that. We won't be bringing in our own ships. We will
2 be using companies that currently do that shipping.
3 Those companies have been doing it for many years in the
4 north. They understand the north. They have the
5 equipment in place to deal with spills, and so we would
6 build upon that.

7 We obviously will have some increase in traffic, but
8 it won't be as big as 300 barges. That's on the high
9 side, but we acknowledge that we need to prevent spills,
10 and we need to work with those companies that ship
11 commodities to make sure that they do the best to
12 prevent spills and that they have the equipment in place
13 to address a spill if it were to occur.

14 And we recognize that that's a concern to
15 Chesterfield Inlet. We will definitely work with the
16 community to address those concerns. Chesterfield Inlet
17 is a community that is one of the communities that we
18 will be targeting for employment as well as ongoing
19 community relations with your community, and we share
20 your concern, and we will work diligently with these
21 companies to ensure that we prevent spills.

22 THE CHAIR: Thank you.

23 MS. MIMIALIK: I am getting my comments
24 mixed up. So my main concern is either last year or the
25 year before, we heard that a ship was stuck, and there
26 were a lot of buoys, and there was a lot of oil smell on

1 the shoreline, so this is one of our concerns.
2 THE CHAIR: Applicant?
3 MR. CONNELL: Thank you, Mr. Chair.
4 I can't speak to that point. It's the -- I don't
5 know anything about that incident, whether it was
6 anything to do with ourselves. But just as I say, we
7 obviously need to make sure that we make sure that
8 these shipping companies that we use are those that are
9 professionally engaged here in the north and know the
10 north and that we ensure that they live to a high
11 standard for spill protection because we too don't want
12 to see that. It would be extremely detrimental to our
13 project, and we work to ensure that these companies do
14 put in place proper protection.
15 THE CHAIR: Thank you.
16 MS. MIMIALIK: I think it was last year I
17 heard that in Chesterfield that they will be bringing
18 people from Chesterfield on the barges, but we haven't
19 heard or seen anybody bring a local person to Baker Lake
20 to -- and if the -- I'm sure that there will be a lot of
21 barges that will be stuck on the ice, and this will
22 impact our water in the future. These are my comments.
23 Thank you.
24 THE CHAIR: Quyanamiik.
25 MR. CONNELL: Thank you, Mr. Chairman.
26 There was a commitment made by Agnico-Eagle to put

1 local people from Chesterfield Inlet onto the barges so
2 that they could actually see the entire route and then
3 be comfortable with what they see themselves. And my
4 understanding was the company asked NTCL to arrange this
5 last year. NTCL went to the local community, and they
6 addressed -- and I won't put a name on it. They
7 arranged for this to happen, and for whatever reason, it
8 fell apart right there, and the individuals weren't then
9 put on the barges because they didn't come from the
10 community. And I don't want to blame anybody. I don't
11 think that -- I think it fell apart somewhere in there.

12 Anyways, Agnico has heard that and said that this
13 year again we want to do that, we want to make sure that
14 takes place. And so we have had discussions with the
15 MLA for the region just in the last week actually, and
16 he has agreed to help us in approaching the community to
17 find the right contact to get people that we could
18 actually take from Chesterfield, have them transported
19 by plane to Churchill, and actually come with the barge
20 all the way through to Baker Lake so that they could
21 understand and see firsthand how NTCL does the operation
22 and act as a monitor. The company has committed to do
23 that, and we're now trying to make it happen.

24 THE CHAIR: Thank you.

25 MS. MIMIALIK: That were all my questions,
26 thank you.

1 THE CHAIR: It's lunchtime. We shall
2 come back here by 1:20. Why don't we take a lunch break
3 right now.
4 (PROCEEDINGS ADJOURNED AT 11:55 A.M.)
5 (PROCEEDINGS RESUMED AT 1:27 P.M.)
6 THE CHAIR: We'll resume the meeting.
7 Bob, are you there? Bob, are you on the line now?
8 MR. HANSON: I'm on the line.
9 THE CHAIR: Thank you, Bob. So we had
10 an Applicant -- questioning to the Applicant this
11 morning. The Staff should also have -- asking questions
12 to the Applicant. Go ahead, Staff, if you have any
13 questions.
14 Actually before Staff asking questions, I'd like to
15 recognize the Elders here, that the Elders speak any
16 time to the file. The Elders have an opportunity to say
17 any time when they wish to. They're being given an
18 opportunity to respect them. Please feel welcome,
19 Elders.
20 Okay, Staff?
21 NWB STAFF QUESTION AEM:
22 MR. HOHNSTEIN: Thank you, Mr. Chair. It's
23 Dave Hohnstein here. We're going to be jumping around
24 between different topics for some questions, but we'll
25 start with Steve Lines. He's got a few questions.
26 THE CHAIR: Thank you. Go ahead, Steve.

1 MR. LINES: Thank you, Mr. Chair. It's
2 Stephen Lines. I just have a number of minor
3 clarifications for the Applicant.
4 The first question, Mr. Chair, I'd like to ask is
5 the Applicant outlines the criteria for breaching the
6 pit lake dikes at closure, and they referred that it be
7 based on CCME guidelines and ambient lake conditions and
8 on risk-based criteria. And I just wanted to ask the
9 Applicant if they could clarify that the ambient
10 conditions mean predevelopment conditions or not. Thank
11 you.
12 THE CHAIR: Thank you. Applicant?
13 MR. CONNELL: Mr. Chairman, Larry Connell.
14 The intent was that when we come to the period of
15 time when we would be ready to start breaching of the
16 dikes to allow the lake to restore, that prior to that,
17 that there would have been a full assessment to ensure
18 that the water that's within those pits is acceptable to
19 be now intermixed again with the lake, and that could
20 either be by achieving CCME where possible. In some
21 cases, CCME may not be achievable, where we look at
22 baseline, the pre -- what the water quality in the
23 outside lake already is, or it could be done through
24 risk-assessment. And that what we have states that --
25 we would expect that whatever happened that there would
26 be an application or permission from the Board to say,

1 yes, everybody's had their say, we're happy, and now we
2 can excavate those dikes. There's no urgency to doing
3 that, and so it should be something that, at the time,
4 we look at all the data we have in front of us and an
5 informed decision is made when it's time to allow the
6 waters to intermix again.

7 THE CHAIR: Thank you. Any more
8 question from Staff?

9 MR. LINES: Thank you, Mr. Chair.
10 Stephen Lines again.

11 My next clarification was regarding the difference
12 between a 2-metre cover and a 4-metre cover, and if, by
13 whatever means, at the end of the project, there was a
14 4-metre cover, I was just wondering is there enough
15 clean rock available to meet a 4-metre cover. Thank
16 you.

17 THE CHAIR: Thank you. Applicant?

18 MR. CONNELL: Thank you, Mr. Chairman.
19 Larry Connell.

20 The difference basically between 2 metre and 4 metre
21 is twice as much rock is required to build a cap. It's
22 the same area; we just need twice the volume of rock.
23 The mine over the life of the operation has sufficient,
24 good quality rock, the rock that's nonacid-generating,
25 to do that. And so there is sufficient rock to do that
26 over the time. It's just a cost factor. Obviously it's

1 twice as much rock removed, twice the cost.
2 THE CHAIR: Thank you. Any more
3 questions from Staff? Steve?
4 MR. LINES: Thank you, Mr. Chair.
5 Stephen Lines.
6 As part of the scope of the application, it seems
7 that the modifications to the eastern-most channel have
8 been potentially put on hold. I'd just like to clarify
9 whether or not that's part of the application.
10 THE CHAIR: Thank you. Applicant, go
11 ahead.
12 MR. WALKER: It's Dan Walker replying.
13 An assessment of the eastern-most channel was
14 completed, and based on that assessment, it was decided
15 that an upgrade to the capacity of the eastern-most
16 channel was not required.
17 THE CHAIR: Thank you. Staff, go ahead.
18 MR. LINES: Thank you, Mr. Chair.
19 My next question is in regard to the slide entitled
20 "Reclamation Security Estimates - Why the big
21 difference?" And one of the bullets, as I understood
22 it, justifies a lesser cost of security based on the
23 Applicant undertaking progressive reclamation throughout
24 the course of the mine life.
25 And I would just like to clarify or have the
26 Applicant clarify how the progressive reclamation would

1 be undertaken for the tailings pond and the waste rock
2 pile if the hope is that the mine life would be extended
3 through the discovery of additional deposits, and how
4 that may affect the progressive reclamation of those two
5 facilities.

6 THE CHAIR: Thank you. Applicant?

7 MR. CONNELL: Thank you, Mr. Chairman.

8 Larry Connell again.

9 That's not quite correct. The revised number that
10 we put before the Board does not include progressive
11 reclamation. We took the attitude because the
12 interveners were telling us that we should not include
13 the value of that progressive reclamation just in case
14 we didn't do it. So we intentionally left that out of
15 our -- didn't give ourselves credit for that money. So
16 that's the first clarification.

17 The way it would work is with the first waste rock
18 pile is the Portage pit waste rock pile, I think it
19 started to be constructed in 2008, and it grows inside
20 as we continue to mine. In 2011, we start to put a cap
21 over half the pile because the pile is coming close to
22 the end of its life. And in 2012, that pile is finished
23 being built. We move on from there, and the waste goes
24 elsewhere. So 2012, we put the final cap over top of
25 the Portage pit. And then the new waste that's coming
26 from the Goose Island pit starts to go into the bottom

1 of the south Portage pit.

2 So what's happening is basically we're building over
3 the first years of the mine this Portage waste rock
4 dump, and as it comes close to the end of its life, we
5 start capping it, we -- close-capping it, and then we
6 move on to put the new waste into the bottom of the pit.
7 And then when we move up to Vault, we start on a new
8 Vault deposit. So the progressive reclamation is
9 basically not waiting to finish off that north -- that
10 Portage waste rock dump to the very end of the mine life
11 but doing it while the mine is still active.

12 And same with the tailings, we start off in the
13 tailings by advancing the breach from the dam, and we're
14 moving in one direction. So over the life of the mine,
15 we fill in the portion of that dewatered lake. At some
16 point, we've removed -- the tailings have settled to the
17 point where we can start capping behind us, so as we're
18 placing tailings, we can start capping behind us.

19 And we've allowed for the first cell, we'll fill up
20 I think it's about four years, and so we can then, after
21 that, start putting the rock cap on top of it, rather
22 than again waiting to the very end of the mine life to
23 do that. But our cost basis did not give ourselves
24 credit for that because we understood that there's this
25 concern that we may not do it.

26 THE CHAIR: Thank you. Any more

1 question from the Staff? Steve?
2 MR. HOHNSTEIN: Thank you, Mr. Chair. Dave
3 Hohnstein.
4 Just a quick question following up on the -- I guess
5 the progressive reclamation and extended mine life. I
6 was just wondering if there is capacity in the current
7 facility for extending beyond the eight to ten years of
8 production.
9 THE CHAIR: Thank you. Applicant?
10 MR. CONNELL: Thank you, Mr. Chairman.
11 Larry Connell speaking.
12 Yes, within the tailings facility, there is capacity
13 to continue to grow if the mine life continues to
14 expand. I don't know, at some point in time, you would
15 reach the end of that, but we have capacity to continue
16 on the same facilities beyond the end of that mine life.
17 We also don't know whether that expansion would be
18 continued open pit or whether it may be going
19 underground because these ore deposits continue below
20 where we are going with the pits. So a lot of variables
21 would have to come into play, but there is this capacity
22 to address expansion.
23 THE CHAIR: Thank you. Any more, Dave?
24 MR. HOHNSTEIN: Thank you, Mr. Chair. I'll
25 turn it back to Steve Lines.
26 THE COURT: Go ahead, Steve.

1 MR. LINES: Thank you, Mr. Chair.
2 Stephen Lines. I just have a few more minor ones.
3 I think there was a commitment there to, during the
4 operations, to monitor the cover that's put over the
5 tailings to verify the depth of the active layer, and I
6 understand that that confirmation is, I guess, half of
7 the concern, the other half relates to the long-term
8 predictions of global warming and how that may affect
9 the depth of the active layer. So I'm wondering if, as
10 part of that commitment, whether or not the Applicant
11 will be keeping itself up to speed with any new studies
12 that come out related to global warming predictions.
13 THE CHAIR: Thank you. Applicant?
14 MR. CONNELL: Thank you, Mr. Chair. Larry
15 Connell again.
16 Yes, the company will stay abreast of the current
17 predictions looking forward. The graph I showed you
18 this morning, the map I showed you this morning is one
19 of those. That's one that's a very aggressive look
20 forward, but we'll continue to keep our eye on where
21 predictions are going. None of us know what the future
22 holds with respect to global warming, but I think it's
23 unlikely that we're going to see no winter in the north
24 at any time in our lifetimes or even the future
25 lifetimes.
26 So yes, we will keep an eye on that, and yes, we did

1 commit to monitoring and instrumenting that cover to
2 ensure that the cover we put on, that we understand how
3 it's performing, we understand how the ground below it
4 is freezing, where the active layer is; that's part of
5 our commitment. And obviously having -- if we're ever
6 going to resolve this thickness of cap, we need to get
7 that data to be able to bring back to the Board and all
8 the interveners to actually demonstrate that we can pick
9 2 metres, 3 metres, 4 metres, whatever it be.
10 THE CHAIR: Thank you. Any more, Steve?
11 MR. LINES: Thank you, Mr. Chair.
12 Stephen Lines.
13 My next question is regarding the difference between
14 the effluent discharge criteria between the Portage Lake
15 and Wally Lake, and there's a couple parameters there
16 for the Wally Lake diffuser that are higher than
17 Portage, but Wally Lake has a lower dilution factor, so
18 I would have thought that the proposed criteria would be
19 lower for that lake, and I was just looking for, I
20 guess, some of the reasons or to understand the reasons
21 why they're actually higher. Thank you.
22 THE CHAIR: Thank you. Applicant, go
23 ahead.
24 MS. BERTRAND: Okay, I can answer that.
25 This is Valerie Bertrand.
26 The reason why there is a difference in Vault is

1 because some of these elements, I believe you're
2 referring to nitrates and ammonia, it's because we have
3 the -- we still meet, regardless of a -- Vault, we still
4 meet the CCME or come close to CCME at 30 metres away
5 from the diffusion point, from the point of the -- the
6 effluent point. But one of the reasons why it's higher
7 is because there's less dilution of explosives byproduct
8 in the Vault pit, and so that's why the concentrations
9 are predicted to be slightly higher.

10 THE CHAIR: Thank you. Any more from
11 Staff? Steve?

12 MR. LINES: Thank you, Mr. Chair. It's
13 Stephen Lines again. I just have two more quick
14 questions.

15 I may have missed, Mr. Chair, during Mr. Connell's
16 presentation the reason why chromium is proposed to just
17 be monitored and not to regulated. If he could just go
18 over that for me one more time. Thank you.

19 THE CHAIR: Thank you. Applicant?

20 MR. CONNELL: Thank you, Mr. Chairman.
21 It's Larry Connell.

22 Chromium was discussed during the technical meeting,
23 and it was both in discussions with ourselves, all the
24 technical interveners, and subsequently with Environment
25 Canada. It was recognized that chromium was not likely
26 to be a problem because of the nature of the rock, and

1 as a result, it was decided that chromium is one of
2 those elements where we don't have to regulate it. What
3 we have to do is to monitor to make sure that it isn't
4 going to become a problem, it's not going to surprise
5 us. But all of our predictions, all the work we've done
6 to date indicates that chromium is not likely to become
7 a problem with this specific site, this specific rock,
8 and so there was the agreement that we should just
9 monitor it, but not regulate it.

10 THE CHAIR: Thank you. Steve?
11 MR. LINES: Thank you, Mr. Chair.
12 Stephen Lines.

13 My last question has three little sub-parts to it,
14 but maybe Mr. Connell can answer them all at once, and
15 it's in regard to Tear Drop Lake. I just wanted to
16 confirm, I guess, where the receiving environment was.
17 I don't know if it's Second Portage Lake or wherever the
18 water from Tear Drop Lake would end up as or in. As
19 well, I was wondering if there's any containment
20 proposed for Tear Drop Lake, and if Mr. Connell could
21 maybe propose a frequency for the monitoring of the
22 parameters he's laid out. Thank you.

23 THE CHAIR: Thank you. Applicant?
24 MR. CONNELL: Thank you, Mr. Chairman.
25 Larry Connell.
26 Tear Drop Lake right now naturally drains towards

1 that channel that drains from Third Portage Lake into
2 Second Portage Lake. The intent is that that would be
3 blocked, that we would not have a natural outflow from
4 that small pond because we're making it into a storm
5 water collection pond for the site.

6 So what we would do is, using the roads that are
7 going to be built around that pond, we would create a --
8 raise the elevation in the pond by basically building up
9 the sides using road materials, with appropriate
10 barriers against those road materials, and that we would
11 then control and manage the discharge of that water by
12 pumping it, and we would pump it into the arm of Second
13 Portage Lake, which ultimately becomes the tailings
14 impoundment area, and we would manage that control
15 point.

16 So we would then, during periods of pumping, we
17 would propose that -- and I don't know if it's been said
18 anywhere, and I'm not sure if we proposed a frequency,
19 but I would propose that that be something in the order
20 of a weekly when we're discharging, something of that
21 nature, but we would take our advice from the Board.

22 Oh, I'm told that there was a plan in that
23 monitoring plan that outlines the frequency, so we
24 should refer to that rather than my taking a wild-ass
25 guess off the top of my head. Sorry, Mr. Chairman.

26 THE CHAIR: Thank you. Any more

1 questions from Staff? Stephen?
2 MR. LINES: That's all I had,
3 Mr. Chairman. Thank you.
4 THE CHAIR: Thank you. Dave?
5 MR. HOHNSTEIN: Thank you, Mr. Chair.
6 Karlette Tunaley has got a few questions for the
7 Applicant.
8 MS. TUNALEY: Thank you, Mr. Chair.
9 Thanks, Jack.
10 My first question is just about one of the
11 commitments from the technical meeting pre-hearing
12 conference regarding the list of plans, when they would
13 be revised and whether that would be submitted before
14 the end of this hearing.
15 THE CHAIR: Thank you. Applicant?
16 MR. CONNELL: Thank you, Mr. Chairman.
17 Yes, there was a commitment made by the company to
18 bring to this hearing a table with a list of those plans
19 and proposed dates for updating them. We do have that
20 with us. Our Staff are going through the final
21 culmination on it, and it is our intent that that will
22 be left with the Board as a submission as part of this
23 hearing.
24 THE CHAIR: Thank you. Karlette?
25 MS. TUNALEY: Thank you, Mr. Chair.
26 My second question is with respect to the 5.6

1 million litre fuel tank farm that is for the mine site.
2 I believe it's currently a component under the Type B
3 exploration license, and if that component would be --
4 you believe that component would be part of the project
5 for this Type A water license under review.
6 THE CHAIR: Thank you. Applicant?
7 MR. CONNELL: Thank you, Mr. Chairman.
8 Larry Connell again.
9 The -- quite frankly the Type B regional
10 exploration license currently has an approved
11 construction of a 5.6 million litre fuel tank at the
12 site. It would be our preference that that stay where
13 it is because the plan is to construct that in the very
14 near future, so we're -- we should leave this process to
15 run its course and not try to broach the two.
16 If the Board in the future wants to then take that
17 and amalgamate it, we're totally -- that's within the
18 Board's purview, and we would support it totally, but
19 the reason for that being put there was the intent of it
20 being built early, and so we should leave it where it is
21 in our opinion.
22 THE CHAIR: Thank you. Karlette?
23 MS. TUNALEY: Thank you, Mr. Chair.
24 My next question is with respect to again the scope
25 of the license and whether the proposal for transferring
26 water from the attenuation pond, reclaim pond to the

1 pits eventually, if that is being considered as part of
2 this license. I know it's part of the application, and
3 if so, if there is specific criteria required for that
4 discharge at this time or if it would be approved as
5 part of any sort of future plan that is anticipated by
6 the Proponent.

7 THE CHAIR: Thank you. Applicant?

8 MR. CONNELL: Thank you, Mr. Chairman.

9 Larry Connell.

10 In our application, we tried to lay before the Board
11 the entire life of mine operational plans, that you saw
12 the entire picture, not piecemealing it and giving it to
13 you over time. So, yes, that ultimate transfer of water
14 from the attenuation and reclaim ponds into the open pit
15 was included in this application so that you had the
16 entire picture in front of you. And it would be our
17 intent that whether the Board puts that as a clause or
18 whatever goes in the license, but it's part of our
19 application.

20 With respect to standards, it goes back to what we
21 said just earlier, that we would anticipate that, before
22 the dikes were ever breached to allow the intermixing of
23 the lake waters back into those pits, that there would
24 be an approvals system in place that all parties have
25 discussed and are comfortable that we have met what's
26 protective of the aquatic environment, be that CCME, a

1 combination of the background, or a combination of
2 risk-based assessment, that there would be consensus
3 that those waters are ready to be mixed, and so we would
4 see it handled in that format.

5 THE CHAIR: Thank you. Karlette, do you
6 have one more question? Go ahead.

7 MS. TUNALEY: Just a couple more
8 questions, Mr. Chair.

9 My next question has to do with some of the waste
10 rock being placed under water for the construction of
11 the dikes and the fisheries compensation finger dikes
12 and that. You've talked about a certain -- I guess
13 there's the PAG rock being placed under water, and I'm
14 just wondering if that rock needs to be placed below a
15 certain water elevation, either say if there's a metre
16 below the anticipated low water level, or if there's
17 sort of any thought behind that part of the use of the
18 PAG waste rock.

19 THE CHAIR: Thank you. Applicant?

20 MR. CONNELL: Sorry, Mr. Chairman. Larry
21 Connell. I'm going to answer the first part and then
22 defer to Dan for the second part.

23 Yes, in our planning for using this PAG rock for
24 building of fisheries and parts of the dikes, it was
25 very carefully looked at where we could use this rock so
26 that it would be isolated from air. The critical thing

1 is it can never see air, because the air would then
2 allow it to oxidize and create this cycle of creating
3 bad water. And so there was criteria established for
4 how and where this rock could be used, and I'm going to
5 defer to Dan to actually quote you that, the criteria
6 that we put forward.

7 MR. WALKER: It's Dan Walker.

8 We designed the fish habitat such that it is
9 constructed to be 3 metres below water surface to allow
10 for 2 metres for ice accumulation and an additional
11 metre for fish usage during that ice accumulation.

12 THE CHAIR: Thank you. Karlette?

13 MS. TUNALEY: Did those depths also --
14 that was for the fisheries. Does that apply to the
15 dikes as well, the dewatering dikes? Sorry, just to add
16 to that, Mr. Chair. The drawings just show it kind of
17 equal level.

18 THE CHAIR: Thank you. Applicant?

19 MR. CONNELL: Thank you, Mr. Chairman.
20 It's Larry Connell. Sorry, there was just a little
21 confusion over the question.

22 The drawing that you saw today obviously doesn't
23 allow the scale to show that, but the application quotes
24 a 1 metre on the dikes so that the PAG rock would stop 1
25 metre below, 3 feet down, from the surface of the water
26 to ensure that it never was exposed to air. But on the

1 scale on these drawings, it just doesn't show up on that
2 basis.
3 THE CHAIR: Thank you. Karlette, you
4 have more questions?
5 MS. TUNALEY: Yes, I have a couple more
6 questions, Mr. Chair.
7 My next question is a clarification with respect to
8 the discharges from the sumps at the fuel containment
9 and landfarm. If you could just clarify when those
10 discharges would be monitored, before discharge, if
11 there's any type of sort of again frequency for that
12 monitoring.
13 THE CHAIR: Thank you. Applicant?
14 MR. CONNELL: Thank you, Mr. Chairman.
15 Larry Connell.
16 These fuel containments or these areas of liners
17 where fuels or landfarm are contained, obviously they
18 don't require anything during the winter months when
19 they're totally frozen. The issue is coming from the
20 spring thaw and the freshet. Our intent would be to
21 then put in place the oil/water separator, recycle it
22 until we were comfortable and knew from analytical data
23 that we were achieving the standard for discharge, and
24 once we did that, then we would discharge that water,
25 and so it would only be once -- it would only be when we
26 actually have accumulations of water in those sumps. So

1 it can't be something that we can say it will take place
2 every day because we may not be discharging every day.
3 During the periods of discharge, again I would defer
4 back to the water quality flow monitoring program for
5 frequency, but we'd be in the order of, say, once per
6 week after we had established that we had met those
7 standards. These are short duration discharges. Once
8 the spring freshet and runoff is gone, that system is
9 shut down until the accumulation of water from a
10 rainfall.
11 THE CHAIR: Thank you. Karlette?
12 MS. TUNALEY: Thank you, Mr. Chair. This
13 is my last question.
14 I was just wondering if you could clarify with
15 respect to the NIRB's Project Certificate what the
16 status of any on-site lab accreditation might be at this
17 time.
18 THE CHAIR: Thank you. Applicant?
19 MR. CONNELL: Thank you, Mr. Chairman.
20 Larry Connell.
21 We have -- all of our environmental sampling, the
22 sampling that's required to prove compliance is
23 currently and for the first while will be done through
24 an off-site lab because our lab will still be under
25 construction, and so we'll be using accredited off-site
26 labs until we're comfortable with our own facilities.

1 We are starting to construct our facility this year.
2 The accreditation we've registered with the
3 accreditation group. These accreditations are not done
4 in a lab. You don't accredit a lab. What you do is you
5 accredit a lab for an element, so we get accredited for
6 copper, for example. And so it then takes a period of
7 time where we send our samples out to a number of labs.
8 We compare those to our labs, and after doing this cycle
9 of round-robin testing, we can gain accreditation for
10 that element. And we do this for each of the elements
11 our lab is doing. So there's no one accreditation for a
12 lab. You get accredited by sample, and as you can see,
13 it takes time for that. So we will use an outside lab
14 until we become accredited, and we're not even sure at
15 that point in time what we will do, but our intent is to
16 then work towards accreditation of our lab on the
17 specific elements that we need to be able to measure on
18 site.

19 THE CHAIR: Thank you. Any more
20 questions from Staff?

21 MR. HOHNSTEIN: Thank you, Mr. Chair. I've
22 got a couple questions just to -- one just a
23 clarification that -- I've got a quick question, and
24 then another for our legal.

25 Just a quick question to Larry regarding the mill
26 tailings treatment and the -- I think I read there's

1 going to be some sludge produced from treatment from the
2 cyanide detoxification, and I was wondering what the
3 plans for disposal of that sludge were.
4 THE CHAIR: Thank you. Applicant?
5 MR. CONNELL: Thank you, Mr. Chairman.
6 Larry Connell speaking.
7 We're using the SO2 air process, and we're going to
8 treat a slurry to destroy the residual cyanide and
9 precipitate metals. So the sludges that are generated
10 as part of that process are actually contained within
11 the slurry. They stay with the solids and go out to the
12 tailings impoundment with the solids, so those sludges
13 will be co-disposed with the mill tailings.
14 THE CHAIR: Thank you. Dave?
15 MR. HOHNSTEIN: Thank you, Mr. Chair, and
16 thanks, Larry. One last question.
17 Could AEM advise the Board if the security estimate
18 that was provided included that for the Baker Lake
19 facility, and if not, does the GN hold security for that
20 facility, which is on Commissioner's land?
21 THE CHAIR: Thank you. Applicant?
22 MR. CONNELL: Thank you, Mr. Chairman.
23 No, the numbers you saw there, their estimates do
24 not include the Meadowbank facility. Those were the
25 INAC estimates for the site. There have been separate
26 estimates done for the Baker Lake facilities; they're in

1 the closure plans that were submitted. And I do not
2 know the answer to the question of whether the GN holds
3 security yet for those. I don't think they do, but I
4 stand to be corrected on that.

5 THE CHAIR: Thank you. Dave?

6 MR. HOHNSTEIN: Thank you, Mr. Chair. No
7 further questions from the technical Staff. I believe
8 Dionne has a question.

9 THE CHAIR: Okay, Dionne?

10 MS. FILIATRAULT: Thank you, Mr. Chairman.
11 Dionne Filiatrault.

12 When the Board issued the Type B water license for
13 the marshalling area in Baker Lake last year, they did
14 not impose security on that facility. Through
15 discussions between the Water Board and Cumberland at
16 the time, and actually it was AEM had just taken over,
17 it was my understanding that that amount of security was
18 going to be incorporated into a total amount of security
19 that would be put under the Type A water license. Can
20 you confirm from your perspective if that was your
21 understanding?

22 THE CHAIR: Thank you. Applicant?

23 MR. CONNELL: Thank you, Mr. Chairman.

24 I didn't know of any of those negotiations. We
25 have -- obviously with the facilities here in Baker
26 Lake, we have been in the process of actually moving

1 those from a land use lease to a lease, and so what the
2 GN has done is extended our current permits for those
3 sites in order to allow us to complete a lease
4 arrangement, and we've been under the impression that,
5 during that lease arrangement, that security would be an
6 issue, but I'm not privy to whether that discussion took
7 place or how it took place. It's -- I can't answer that
8 question for you, Dionne.

9 THE CHAIR: Thank you. Dionne?

10 MS. FILIATRAULT: Thank you, Mr. Chairman.

11 Just for the Board's information, we will search the
12 written record and try and find confirmation that was
13 provided by AEM and put it on the record.

14 THE CHAIR: Thank you. Any more
15 questions from Staff?

16 MR. HOHNSTEIN: No.

17 THE CHAIR: Okay, thank you. Is there
18 any question from Board? I'd like to ask, Bob, do you
19 have any questions to Applicant?

20 MR. HANSON: No, Mr. Chairman. Thank you
21 very much. Everything is fine.

22 THE CHAIR: Thank you, Bob. Any
23 questions from this Committee? Thank you, Applicant.

24 Now, the next interveners would be INAC. Would you
25 come to the table. Dionne?

26 MS. FILIATRAULT: Thank you, Mr. Chairman.

1 I'm wondering if we could just take 5 minutes to load up
2 their presentation and make sure that everything's
3 working properly.
4 THE CHAIR: Okay, yes, we take that
5 5-minute break for preparation.
6 (BRIEF ADJOURNMENT)
7 THE CHAIR: Bob, are you on the line?
8 MR. HANSON: Yes, thank you.
9 THE CHAIR: Before we continue on with
10 INAC, the presentation, Don, can you take over this for
11 us a bit?
12 PROCEDURAL MATTERS:
13 MR. CARR: Thank you, Mr. Chair. Don
14 Carr here.
15 If there's no objections, I'd like to enter the
16 following as exhibits: Number 1, electronic "AEM Public
17 Hearing Presentation_r3", submitted April 2008 by Larry
18 Connell; Number 2, hard copy of the AEM Public Hearing
19 Presentation, April 2008, submitted by Larry Connell;
20 Exhibit 3, Meadowbank Gold Project Incinerator Equipment
21 Specifications, Identification Number MDVSM268, an
22 electronic undated version, submitted by Larry Connell.
23 That's everything.
24 THE CHAIR: Thank you. Applicant?
25 MR. CONNELL: Thank you, Mr. Chairman,
26 Larry Connell.

1 Board Members.

2 My name is Michael Nadler. I'm the Regional
3 Director General for Indian and Northern Affairs Canada
4 in Nunavut. I would like to thank the Water Board for
5 having this opportunity to make a presentation and for
6 having had the opportunity to make an intervention
7 regarding the Meadowbank Gold Mine Project's water
8 license.

9 I'm joined today by Jim Rogers at my far left, who
10 is the Manager of Water Resources for my department here
11 in Nunavut, and Ken Landa, who is with the Federal
12 Department of Justice and serves as counsel for our
13 regional office. Behind me, off to my left, I'd like to
14 introduce Mark Watson, Eric Fier, and Ken Armstrong of
15 EBA Engineering Consultants, as well as John Brodie from
16 John Brodie Consulting Limited, who have provided
17 technical advice to the Department for our intervention
18 and presentation.

19 On behalf of my colleagues, I would like to
20 express our appreciation to the Hamlet and people of
21 Baker Lake for their kind hospitality during our visit.
22 Our Department takes very seriously its role in water
23 management in Nunavut, so we would like to thank the
24 Water Board, the Kivalliq Inuit Association, and
25 Agnico-Eagle Mines for their collaboration and
26 cooperation in responding to our questions and concerns

1 in preparing this intervention and today's presentation.
2 Members of the audience, the public can find
3 handouts at the back of the room. The handouts are
4 slightly different. We've made changes to our
5 presentation based on the Proponent's presentation of
6 this morning and discussion with other parties. The
7 changes are very modest.

8 The project and these hearings are important
9 milestones for Nunavut. The project could be the second
10 major mining project to open in Nunavut, and these
11 hearings mark the Nunavut Water Board's third review of
12 the mining project. I'm making this presentation today
13 because Indian and Northern Affairs Canada has specific
14 responsibilities arising from legislation, regulation,
15 policy, and the Nunavut Land Claims Agreement to work
16 with the Water Board, the Proponent, and other parties
17 and stakeholders on water management issues in Nunavut.
18 These responsibilities include -- or these policies and
19 legislation and regulations include the Department of
20 Indian and Northern Development Act, the DIAND Act, the
21 Nunavut Land Claims Agreement Act, the Nunavut Land
22 Claims Agreement, the Territorial Lands Act and
23 Regulations, the Nunavut Waters and Nunavut Surface
24 Rights Tribunal Act, the Canadian Environmental
25 Assessment Act, and the Indian and Northern Affairs
26 Canada Mine Reclamation Policy for the Territory of

1 Nunavut.

2 Indian and Northern Affairs Canada has a very broad
3 mandate in the territory. For the Meadowbank Project,
4 we have roles in land and water administration,
5 environmental protection, and the management of natural
6 resource development. We take these roles very
7 seriously and have ensured that our intervention is
8 informed by the knowledge of individuals with
9 appropriate technical expertise and training.

10 Our review of Agnico-Eagle Mines' water license
11 application has considered the environmental assessment
12 review previously conducted by the Nunavut Impact Review
13 Board. We have also considered the applications and
14 supporting information of water licenses previously
15 issued by the Nunavut Water Board for the project such
16 as the lay-down area at Baker Lake, the all-weather
17 road, exploration activities, and construction
18 activities. Our work has also considered the present
19 application for a Type A water license and all
20 supporting information, plus information provided by
21 Agnico-Eagle at the recent pre-hearing and technical
22 meeting and the presentation of this morning.

23 While our Department's mandate is broad, we have
24 nonetheless limited our review to issues for which we
25 have responsibility. These include water quality and
26 quantity, surface and permafrost disturbance, waste

1 management where it may affect water, and abandonment
2 and reclamation planning.

3 Operations of the Meadowbank Gold project will be
4 almost entirely on Inuit-owned land administered by the
5 Kivalliq Inuit Association. The project's lay-down area
6 is located within the Hamlet of Baker Lake. The
7 project's access road has been constructed on IOL,
8 Inuit-owned land, Crown land administered by INAC, and
9 Commissioner's land administered by the Government of
10 Nunavut and/or the Hamlet of Baker Lake. INAC has
11 negotiated the issuance of a land lease for the
12 all-season road on Crown land and will enforce the
13 instruments of land tenure for this project component.

14 Under the Nunavut Waters and Nunavut Surface Rights
15 Tribunal Act, INAC will also be responsible for
16 inspecting and monitoring compliance to the conditions
17 of any water license issued by the Water Board.
18 Inspectors designated by the Minister under Section
19 85(1) of the Act will enforce license terms and
20 conditions.

21 INAC did not extensively review any third-party
22 compensation arrangements, such as the Fisheries
23 no-net-loss plan, because these are not captured by our
24 mandate. Further, INAC did not review those physical
25 structures that are planned within freshwaters as part
26 of the Fisheries Compensation Agreement but suggests

1 that the water license include provision for the final
2 plans for these structures. Accompanied by the
3 Fisheries and Oceans Canada authorization, the Nunavut
4 Water Board should also request that Fisheries and
5 Oceans Canada confirm with the Board and the INAC
6 inspector that these structures are built to
7 specifications and as defined in the water license.
8 Concerns identified by INAC during the Nunavut
9 Impact Review Board's Part 5 review and initial steps in
10 the regulatory phase have been addressed to a great
11 extent by information and commitments provided by the
12 Proponent. The written INAC intervention highlights
13 those issues that continue to be a concern for the
14 Department. Time does not permit us to go through the
15 entire intervention at this hearing; therefore, we will
16 touch only on key issues that relate to water resources,
17 land as it relates to water, monitoring, and abandonment
18 and reclamation. We can provide electronic copies of
19 our written intervention to anyone who would like to
20 review our observations in detail. There are also
21 copies available on the back table.
22 The Department recommends that the Nunavut Water
23 Board water license require the Proponent to report on
24 certain matters related to the management of its
25 proposed Meadowbank Gold Project. The primary issues of
26 concern for the department include: Monitoring the

1 geotechnical/permafrost stability of project structures;
2 monitoring the water balance and water quality model;
3 geochemical monitoring; waste rock management; waste
4 water management; solid waste management; and closure
5 and reclamation conditions.

6 The Department would like to make recommendations
7 concerning the geotechnical and permafrost stability of
8 the physical structures associated with the proposed
9 Meadowbank Gold Project.

10 We believe that as-built topographic surveys
11 together with thermal/deformation/seepage
12 instrumentation monitoring results should be provided to
13 the Water Board under the water license, and comparison
14 of these results with predicted performance should also
15 be a license consideration and reported in the company's
16 annual report. Site inspection program results should
17 be provided to the Nunavut Water Board on a regular
18 basis as observed in our intervention.

19 Final design drawings for project structures are
20 required especially for any designs changed in advance
21 of construction. INAC recommends that additional
22 geotechnical investigations of foundation conditions be
23 a requirement for any retention structure where the loss
24 of contained fluids or materials would negatively
25 influence water quality. For such structures, a
26 comprehensive geothermal analysis should be completed

1 for any designs where permafrost is a design component
2 necessary for adequate performance of the structure
3 and/or where either freezing or freeze/thaw could be a
4 detracting feature of the design.
5 Several issues related to water quantity and quality
6 have been raised by the Department through the water
7 licensing process. We believe that Agnico-Eagle has
8 made a very good effort to address many aspects of our
9 concerns. Certain details require further clarification
10 in the short and long term to satisfy our needs related
11 to water quality and quantity.
12 The Proponent has developed a water balance and
13 water quality model to manage the discharge of water
14 within the tailings containment area. This model is
15 designed to ensure that the quality of discharged water
16 will not exceed Metal Mining Effluent Regulations
17 criteria and that the Canadian Council of Ministers of
18 the Environment water quality guidelines for the
19 protection of freshwater, aquatic life are met.
20 INAC recommends that the Proponent collect climate
21 and hydrological data as part of its ongoing monitoring
22 program and incorporate collected data into the water
23 balance and water quality model. INAC recommends that
24 the Proponent be required to submit a water balance and
25 water quality modelling report every three months for
26 the initial two years of mine operation. The model

1 would be recalibrated as necessary at the end of each
2 three-month period. This will allow for confidence in
3 the water quality modelling results and the eventual
4 release of water. Following these first two years of
5 mine operations, water balance and quality monitoring
6 can become an annual occurrence.

7 The Proponent plans on depositing waste rock in
8 several areas during construction of project
9 infrastructure, which includes roads, building pads,
10 waste rock facility, and dikes and dams. INAC
11 recommends that the Proponent identify all waste rock by
12 general lithology and location relative to its
13 placement. This will allow for the Proponent and the
14 Nunavut Water Board to understand the type of waste rock
15 and provide a basis for investigating the source of acid
16 rock drainage should such drainage occur.

17 Nonacid-generating waste rock material will be
18 placed as cover over the waste rock facility and
19 tailings storage facility. The appropriate thickness to
20 protect the environment should be tested during
21 operations, and an annual report of the results of this
22 testing should be submitted to the Water Board for
23 review.

24 INAC recommends that the Proponent identify all
25 waste rock by general lithology and location relative to
26 its placement to understand the type of waste rock and

1 provide a basis for investigating the cause of any acid
2 rock drainage. Further, INAC recommends that the
3 Proponent determine the appropriate thickness to protect
4 the environment by testing during operations and submit
5 the results in an annual report to the Nunavut Water
6 Board for review.

7 INAC recommends that a geochemical monitoring and
8 waste rock storage report be provided to the Nunavut
9 Water Board on an annual basis. This report would
10 present and interpret data associated with tailings
11 solids, tailings supernatant, cyanide leach residue,
12 bleed from the cyanide destruction process, and waste
13 rock. This report is needed to assess the quality and
14 quantity of leachate produced within the project area
15 and to determine its effects on the receiving
16 environment.

17 Annual reporting of geochemical monitoring data
18 should include but not be limited to operational acid
19 base accounting and paste pH test work used for waste
20 rock designation, this would include potentially
21 acid-generating rock or nonacid-generating rock;
22 as-built volumetrics of waste rock used in construction
23 and sent to the waste rock facility with estimated
24 balance of acid generation to acid neutralization
25 capacity in a given sample as well as metal toxicity;
26 all monitoring data with respect to geochemical analysis

1 on site and related to road quarries and permanent
2 access road; leaching observations and tests on pit
3 slope and dike exposures; all water quality data,
4 geochemical or otherwise, with respect to locations that
5 have been collected during a given year. Reporting of
6 any geochemical outcomes or observations that could
7 imply or lead to environmental impact should be reported
8 to the Water Board within seven days of observation.

9 The Proponent has identified plans to provide for
10 sewage treatment and sludge disposal throughout the life
11 of the plant from the construction stage through the
12 operations and demolition stages. INAC recommends that
13 the sewage treatment plant treatment capabilities be
14 analyzed throughout operations to ensure that they are
15 meeting effluent quality requirements and that they meet
16 industrial waste discharge criteria established in the
17 Nunavut Department of Sustainable Development's
18 Guidelines for Industrial Waste Discharge of 2002.

19 Agnico-Eagle has proposed the use of a landfarm
20 facility to remediate fuel-contaminated soils. INAC
21 supports this idea. However, the landfarm facility
22 should be maintained and monitored to ensure that it is
23 performing as intended. A person with experience in
24 bioremediation should manage this facility. For
25 instance, the addition of nutrients must be carefully
26 managed. Overdosage or low moisture content within an

1 otherwise optimal dosage will inhibit microbial
2 activity, and as a result, the landfarm's effectiveness
3 in treating contaminated soils could be reduced.
4 Landfarm discharge should be monitored for daily flow.
5 Although incineration is not normally thought to
6 fall under the Waters Act, the ash and other particulate
7 material remaining after incineration will be placed in
8 the landfill and may become sources of leachate.
9 Agnico-Eagle should provide a clear indication of these
10 materials to be burned and the efficiency of the
11 incinerator. Emissions may be used to indicate what
12 types of byproducts are formed within the incinerator.
13 Agnico-Eagle, as part of the water license, should
14 monitor any liquid seepage from the solid waste
15 management sites and report the results to the Water
16 Board in its annual report.
17 The Water Board has informed the Proponent
18 and the interveners that the Board may wish to
19 incorporate all of the activities and operations
20 currently covered under the two Type B water licenses
21 for the Tehek Lake Road and the Baker Lake lay-down area
22 into the Type A water license application process for
23 the Meadowbank Gold Mine Project. Type B water license
24 8BC-MEA0709 with the expiry date of December 31st, 2009,
25 covers the barge offloading, marshalling facilities,
26 lay-down and storage areas, and fuel tank farm

1 associated with the Meadowbank mine site construction in
2 Baker Lake. Water license 8BC-TEH0708 with an expiry
3 date of February 8th, 2007, covers the all-weather
4 private access road and the associated stream crossings
5 between Baker Lake and the Meadowbank Project site.

6 INAC would support the amalgamation of Class B
7 licenses into the proposed Class A license. However,
8 the Department would like to emphasize the importance of
9 ensuring that conditions of existing licenses are
10 transferred to the proposed Class A license except where
11 they are replaced by new provisions. Further, INAC
12 would like to recommend that the license clearly
13 indicate where provisions apply to only one aspect of
14 the project or where they apply globally to all aspects
15 of the project.

16 At the conclusion of mining operations and mine
17 life, the mine site would be closed, and the location
18 restored to a viable and self-sustaining ecosystem. A
19 complete mine closure and reclamation plan would
20 normally include an interim and final plan developed
21 during operations by the Proponent; effective capping
22 requirements for waste and tailings as tested during
23 operations; geotechnical and geochemical stability of
24 all mine facilities, both at the mine site and off the
25 mine site for related infrastructure; proper disposal of
26 nonhazardous and hazardous materials, salvageable

1 materials during reclamation; no materials will be
2 disposed of in flooded pits; and long-term protection of
3 waters and wildlife.

4 Our Department recommends that the Proponent submit
5 an interim mine closure and reclamation plan not later
6 than six months after the start of mining and a final
7 mine closure and reclamation plan no later than 12
8 months before the expected end of mining to the Nunavut
9 Water Board for review and approval. Both the interim
10 and final plan should incorporate revisions that reflect
11 the ongoing status of mine development. The Water Board
12 may wish to instruct Agnico-Eagle to combine the
13 reclamation plans for the road and lay-down area if
14 necessary.

15 The mine site reclamation policy for Nunavut
16 outlines INAC's policy for the protection of the natural
17 environment and preparation for the possibility that the
18 Proponent may fail to close and reclaim a mine site
19 after the end of mining operations or at a point during
20 mining operations. The policy includes provisions for
21 returning the site, the mine site and associated sites,
22 to viable, and where practical, self-sustaining
23 ecosystems. The policy helps the Department to advise
24 parties and stakeholders on closure and reclamation
25 issues and also helps the Department to manage risks
26 associated with reclamation.

1 To meet this general objective, the policy requires
2 the development of estimates for reclamation costs.
3 These estimates are based on engaging a third-party
4 contractor to complete the work on site and that the
5 work is in relation to water and issues on land that
6 relate to water.

7 INAC has estimated the potential abandonment and
8 reclamation cost for the Meadowbank Project at the end
9 of year one, at the end of year five, and at the end of
10 mine life before closure activities begin. We have
11 estimated a total reclamation security including both
12 land and water of \$43.875 million. The costs that
13 relate to the reclamation of mine structures that could
14 affect water is 29.084 million. Our assessment of the
15 costs of reclamation of structures that are less likely
16 to affect water is 14.79 million.

17 The project will include infrastructure on
18 Inuit-owned lands, Crown lands, Commissioner's lands,
19 and municipal lands. This means that the KIA, the
20 Federal Crown, the Government of Nunavut, and possibly
21 the Hamlet of Baker Lake may all have need to request
22 reclamation security to protect themselves in the event
23 that they must themselves clean up part of the mine site
24 on their own or collaboratively with other parties.

25 INAC currently carries security for the all-weather
26 mine access road. INAC recommends that the Water Board

1 require the Proponent to provide reclamation security
2 for all water-related reclamation costs as part of the
3 proposed Class A license. This security would be
4 carried by the Minister of Indian Affairs and Northern
5 Development. We have estimated the total water-related
6 security to be 29.084 million.

7 INAC would observe that parties such as the KIA, the
8 Government of Nunavut, and possibly others would have
9 reason to seek reclamation security. We would further
10 observe that these parties have already or could in the
11 future negotiate reclamation security with the Proponent
12 through processes that are outside of the water license.
13 We feel that the water license for this project should
14 include only water-related security. This approach
15 would ensure that water-related reclamation costs are
16 secured, would grant landowners the latitude to
17 negotiate appropriate security with the Proponent for
18 land-related reclamation costs, and would limit the
19 possibility of overburdening the Proponent with
20 excessive security costs.

21 INAC would negotiate the form of security with the
22 Proponent. INAC would also give consideration to
23 comments and concerns of others on the form of the
24 security.

25 INAC recommends that the Nunavut Water Board set a
26 water-related security for the Meadowbank Gold Project

1 at the following levels: Initially at \$7.625 million.
2 By the beginning of year five of the mine's operations
3 at \$15.841 million. By year seven or as the end of mine
4 life approaches, partially based on Agnico-Eagle
5 providing the final abandonment and reclamation plan, at
6 \$29.084 million.

7 Again, as stated in the Water regulations attached
8 to the Waters Act, the company should approach the
9 Minister through the Nunavut regional office of INAC on
10 the form of security.

11 Overall, our Department is very pleased with
12 Agnico-Eagle Mines Limited's application. Our
13 Department commends the Proponent for their cooperation,
14 professionalism, and integrity during the course of the
15 water licensing process. We are confident the Proponent
16 will be able to operate this gold mine in a fashion that
17 will ensure the protection of freshwater resources and,
18 at the same time, provide meaningful and rewarding
19 socioeconomic opportunities for Nunavutmiut.

20 Our Department looks forward to a continued and
21 productive working relationship with Agnico-Eagle Mines
22 Limited, the Nunavut Water Board, the Kivalliq Inuit
23 Association, and other relevant stakeholders, including
24 the Government of Nunavut.

25 We would like to extend our gratitude to the Nunavut
26 Water Board, to the Proponent, to the Kivalliq Inuit

1 Association, to the Government of Nunavut, to the people
2 of Baker Lake, and to its Mayor and Council for allowing
3 us the opportunity to make a presentation today and for
4 hosting us with such gracious hospitality during our
5 visit to Baker Lake. Thank you, Mr. Chair.
6 THE CHAIR: Thank you, Michael.
7 Question to the presenters, to INAC? Does AEM have a
8 question to INAC presentation?
9 AEM QUESTIONS INAC:
10 MR. CONNELL: Thank you, Mr. Chairman.
11 Larry Connell.
12 These are more for -- just a clarification than
13 anything else. On the slide that's entitled "Water
14 Balance, Water Quantity, and Water Quality Models", they
15 say recommendation that we submit a water balance and
16 water quality modelling report every three months;
17 recalibrate as necessary for the initial two years of
18 mine operations.
19 It seems to me that three months is a very short
20 duration given the fact that up here, we don't always
21 get data every month of the year because of frozen
22 conditions, and that a lot of cases here, we won't have
23 much difference from one report to the next, and just to
24 clarify that what the logic is on why three months; why
25 not six, why not a year?
26 THE CHAIR: Thank you. INAC?

1 MR. ROGERS: Jim Rogers with INAC,
2 Mr. Chair.
3 The water model that you've used has got a very
4 short data stream within it. Three months doesn't sound
5 like much, but three months is a good proportion of the
6 amount of baseline data that you have. During
7 construction, you will have an additional two years of
8 data, so as you begin operations, you will have double
9 the amount of background data, so the models should be
10 more indicative of actual conditions.
11 Thank you, Mr. Chair.
12 THE CHAIR: Thank you. When you speak,
13 would you speak to me, speak to the Chair instead,
14 please. Thank you. Applicant? Sorry, yes, go ahead.
15 MR. CONNELL: Thank you, Mr. Chairman.
16 Larry Connell again.
17 On the slide that's addressed as "Closure,
18 Abandonment, Reclamation", there's a bullet that said:
19 (As Read)
20 An interim mine closure and reclamation plan not
21 later than six months after the start of mining
22 [should be submitted].
23 I just want to make sure that we all understand what we
24 mean by "start of mining". Does that mean the start of
25 when we do development of the open pit, when we start
26 milling? I'm just a little confused. I want to make

1 sure that we're all seeing those words and understanding
2 the same thing. Could we ask INAC to please define what
3 they're actually asking there?
4 THE CHAIR: Thank you. INAC?
5 MR. ROGERS: Normally it would be --
6 Mr. Chair, normally, it would be -- it's Jim Rogers, by
7 the way. I'm very terrible about that, Mr. Chair,
8 please, please, I apologize.
9 Mostly when they start actual mining the ore would
10 be the start of mining. However, we could delay that to
11 the start of the mill if the mill is constructed at the
12 same time as the initial stripping of the ore body, and
13 so milling starts fairly quickly afterwards. It's not a
14 firm date, but it's a date where you're moving your ore
15 to your mill and possibly starting your mill. Now, if
16 the Proponent said that was -- there was a long delay
17 between that, I would suggest that at the start of
18 moving the ore to the mill site.
19 THE CHAIR: Thank you. AEM, go ahead.
20 MR. CONNELL: Thank you, Mr. Chairman.
21 Larry Connell again.
22 Just one last -- again a clarification point. On
23 the slides where you've discussed reclamation and
24 liability, where INAC's put reclamation and liability,
25 the one that I'm looking at, it's titled "Estimated
26 Reclamation Liability for the Meadowbank Mine", you're

1 raising the term end of year one, end of year five, end
2 of mine life. I just want to confirm that when we're
3 talking about -- when INAC's referring to end of year
4 five, that means the end of the fifth year of the
5 operational side of the mine; doesn't include the
6 construction period. So it's two years of construction,
7 and then this is the five years of operations. I'm just
8 looking for confirmation of that.

9 MR. NADLER: It would be the fifth year
10 of -- excuse me, Mr. Chair, it's Michael Nadler.

11 Just to address the question, it would be the fifth
12 year of mine operations, so the fifth year of actual
13 mining.

14 THE CHAIR: Thank you. AEM?

15 MR. CONNELL: Thank you, Mr. Chairman.

16 That's my questions, thank you.

17 THE CHAIR: Thank you. Any questions
18 from other parties? Okay, Applicant, are you done for
19 now? Okay. Any other parties? Does Environment Canada
20 have -- okay, I take that no question. And, DFO, any
21 questions? Okay, I take that as --

22 Okay. Maybe it would be better for the record,
23 maybe you come to the microphone and identify yourself
24 for the recording here. So, Environment Canada, can you
25 come to the microphone and identify yourself that you
26 don't have a question?

1 MS. WILSON: Anne Wilson, Environment
2 Canada. We have no questions of INAC.
3 THE CHAIR: And DFO?
4 MS. LIU: Amy Liu from Fisheries and
5 Oceans. We have no questions at this time.
6 THE CHAIR: Okay, thank you. And
7 GN-Department of Environment?
8 MS. YEH: Helen Yeh with GN-DOE. We
9 don't have any question. Thank you, Mr. Chair.
10 THE CHAIR: Thank you. And then NTI, do
11 you have any question to INAC?
12 MS. EHALOAK: Jeannie Ehaloak, NTI. No
13 questions.
14 THE CHAIR: Thank you. KIA?
15 KIA QUESTIONS INAC:
16 MR. HARTMAN: Yes, Mr. Chair, we have one
17 question -- or two questions. My name is Steve Hartman
18 with the Kivalliq Inuit Association.
19 The first question we have is, INAC, in your
20 presentation, you mentioned that INAC recommends the
21 security be split into water and land components with
22 review triggers built into all permits and leases. The
23 question is what are the review triggers, and how often
24 would the reviews occur?
25 THE CHAIR: Okay, thank you. INAC?
26 MR. NADLER: Thank you, Mr. Chair.

1 That suggestion or recommendation is simply that;
2 it's a suggestion that any parties that may be
3 undertaking security relationships with the Proponent
4 regulate or review the amount of security that they've
5 assessed, given changes in market conditions or changes
6 in the project that might affect the amount of security.
7 THE CHAIR: Thank you. Any more
8 questions from KIA?
9 MR. HARTMAN: Yes, Mr. Chair. For
10 clarification on that one -- but it's Steve Hartman with
11 the Kivalliq Inuit Association.
12 What we're looking for is what reviews will you
13 be -- will INAC be doing -- or, sorry, INAC's triggers
14 that you'll be reviewing?
15 THE CHAIR: INAC?
16 MR. ROGERS: Thank you, Mr. Chair. It's
17 Jim Rogers with --
18 MR. NADLER: I'm going to answer this,
19 Mr. Chair. It's Michael Nadler.
20 Our own reviews will be limited to our own security
21 relationship with the Proponent. We'd undertake those
22 reviews for a number of reasons, again, relating to
23 changes in the market, changes in the project, changes
24 in scope. We would carry the results of our reviews to
25 the Water Board. Again just to emphasize, any reviews
26 we conduct of security would be limited to -- only to

1 the security carried by our Department.
2 THE CHAIR: Thank you. Any more
3 questions for KIA?
4 MR. HARTMAN: Thank you, Mr. Chair. It's
5 Steve Hartman with KIA. One more question.
6 Earlier Agnico-Eagle said that security should be
7 reviewed for the second license term. Does KIA have an
8 opinion or position on -- or, sorry, does INAC have a
9 response to reviewing that in the second license term?
10 THE CHAIR: Thank you, KIA. INAC?
11 MR. NADLER: Thank you, Mr. Chair.
12 We agree with a review of the security at that
13 point, though we would contend that that should be
14 not -- that should not be a reason to estimate a low
15 level of security at the beginning of the project.
16 THE CHAIR: Thank you. Any more, KIA?
17 MR. HARTMAN: No. Thank you very much,
18 Mr. Chairman.
19 THE CHAIR: Thank you. Is there any
20 question to INAC's presentation from public? So there's
21 none. I take it there's none, so can we -- we will have
22 a 10-minute break before Staff ask questions of INAC,
23 10-minute break.
24 (BRIEF ADJOURNMENT)
25 THE CHAIR: Shall we reconvene. Bob,
26 are you on the line?

1 MR. TILLEMEN: No, it's someone else.
2 Testing, 1, 2, 3.
3 MR. HANSON: Weird, I can't believe that
4 there's nobody answering us at all. Testing, 1, 2, 3.
5 Is anybody there?
6 THE CHAIR: Yes, we can hear you, Bob,
7 and --
8 MR. TILLEMEN: Okay, they can hear.
9 THE CHAIR: Yes.
10 MR. TILLEMEN: I can hear him in the
11 background.
12 THE CHAIR: Yes, we can hear you.
13 MR. TILLEMEN: They can hear us.
14 MR. HANSON: I can't hear nothing. All
15 I'm doing is printing something out, so I can't hear.
16 THE CHAIR: Bob, are we clear now?
17 MR. TILLEMEN: We can hear you, but it's a
18 very weak signal.
19 THE CHAIR: Okay, yes, the technician,
20 he's handling it right now.
21 MR. HANSON: That's better, that's
22 getting better.
23 THE CHAIR: Okay. 1, 2, 3, testing, 1,
24 2, 3. How is it?
25 MR. TILLEMEN: It's fine by me. Bob, are
26 you okay?

1 MR. HANSON: Yes, it's better now.
2 Testing 1, 2, 3. Do you copy me, Lootie?
3 THE CHAIR: Yes, we can hear you; you're
4 nice and clear.
5 MR. HANSON: Okay, carry on.
6 MR. TILLEMANN: Carry on.
7 THE CHAIR: Okay. Okay, we shall carry
8 on. Now, dealing with the Staff to ask question of INAC
9 on the intervention right now.
10 NWB STAFF QUESTION INAC:
11 MR. HOHNSTEIN: Thank you, Mr. Chair. Steve
12 Lines will have the first few questions.
13 THE CHAIR: Okay, thank you. Steve, go
14 ahead.
15 MR. LINES: Thank you, Mr. Chairman.
16 I just have a few minor clarifications for INAC.
17 The first one is regarding the time line for the
18 submission of an interim and final A & R plan. And I
19 guess if the Applicant were to submit an interim plan
20 six months after the start of mining, then they wouldn't
21 submit the final one until a year before the mine
22 closed. Would INAC be seeking or wanting to see a
23 significantly updated A & R plan upon renewal of a
24 license after seven years if one is issued?
25 THE CHAIR: Thank you. INAC?
26 MR. ROGERS: Mr. Chair, Jim Rogers, INAC.

1 Normally at a -- when a license comes up for
2 renewal, especially a Type A license, the Board will
3 again call a hearing or at least a written hearing, and
4 I would expect the Board would also request an update on
5 all those plans like closure plans at that time.

6 Depending on the length of period that the Board
7 issues the license, that may be well short of the point
8 of requiring a -- or well short of mine closure, and
9 therefore, I think the plans would have to be reissued,
10 updated using the best available knowledge at the time.

11 If the Board decides to have a longer-term license,
12 I would suggest if things change during the time of the
13 mine, the best available knowledge should be used to
14 update the interim closure plan.

15 Thank you, Mr. Chair.

16 THE CHAIR: Thank you. Steve?

17 MR. LINES: Thank you, Mr. Chairman.

18 My next question is if INAC could just provide us
19 with maybe a general plan, if they have one in mind, on
20 how and when INAC would undertake site inspections
21 during construction or operations, if they have a plan
22 laid out for that.

23 Thank you.

24 THE CHAIR: Thank you. INAC? Michael?

25 MR. NADLER: It's Michael Nadler

26 responding to the question, Mr. Chair.

1 First, just it would be difficult for us to
2 anticipate the frequency of inspection visits without a
3 license in hand. There may be conditions of the
4 license that would require more frequent visits. There
5 might be conditions that suggest less frequent visits.
6 Our inspection function follows a general rule of
7 thumb for projects of this scale, that we would visit
8 the project site at least four times in a year for
9 both -- this project is mostly on IOL, but if it were on
10 Crown land, that would include both land and water
11 inspections. There are aspects of the project, for
12 example, the all-weather road, that involve Federal land
13 use, so we would have Federal land inspectors looking at
14 the road. Again, that estimate would change possibly
15 based on the conditions of the water license.
16 Thank you, Mr. Chair.
17 THE CHAIR: Thank you. Steve?
18 MR. LINES: Thank you, Mr. Chair.
19 My next question is regarding -- it's a statement
20 made in INAC's submission on page 4, and it's -- I can
21 just read it off here, if that's okay. It says: (As
22 Read)
23 The annual report should include a geotechnical
24 site report completed by an independent review
25 panel.
26 And I would just like it if INAC could clarify, is that

1 panel different from the expert dike panel proposed by
2 AEM or, I guess, what that entails? Thank you.
3 MR. ROGERS: Mr. Chair, could I get a
4 clarification? Is that in the presentation we made
5 today or in our written intervention?
6 THE CHAIR: Go ahead, Steve.
7 MR. LINES: Yes, sorry for that. That's
8 in the written intervention on page 4.
9 MR. ROGERS: Thank you.
10 We believe it's up to the Proponent to hire an
11 independent engineer. I agree with the group or -- and
12 person that they've chosen to do the independent review.
13 It's not only to protect the Water Board and the license
14 and the people of Nunavut but it's also a prudent way
15 for the company to protect themselves. Sometimes it's
16 nice to have someone outside. So, well, I would suggest
17 that their group or outside group would be adequate if a
18 geotechnical engineer remains on that group.
19 THE CHAIR: Thank you. Steve?
20 MR. LINES: Thank you, Mr. Chairman.
21 My next question is again going back to the written
22 intervention on page 6 regarding the road quarries, and
23 the intervention states that INAC recommends that AEM
24 submit their plan for mitigation measures to the Board
25 by the fall of 2008, and that's again for the road
26 quarries. And I'd just like to maybe ask INAC to

1 clarify what specifically they're looking to have
2 mitigated. It's my understanding that those -- that the
3 road's already built, and I assume the quarries are
4 already excavated, and there's an A & R plan for most of
5 the quarries.

6 THE CHAIR: Thank you. INAC?

7 MR. ROGERS: It's Jim Rogers with INAC.

8 A number of quarries that were used in the
9 construction of the road both on Crown and on IOL land
10 did not have adequate geochemistry provided to the Board
11 and the interveners at the time of construction. I
12 believe Agnico-Eagle agreed that they would provide the
13 geochemistry for the remaining quarries and provide a
14 mitigation plan for the quarries based on runoff,
15 drainage, and if geochemistry indicates that there may
16 be generation of acid or metal leaching, how they would
17 mitigate the impacts of that.

18 So that's basically what our intervention meant,
19 that we'd like that information provided to the Board so
20 the interveners could look at it and the Board should
21 have some input. Thank you.

22 THE CHAIR: Thank you. Steve?

23 MR. LINES: Thank you, Mr. Chairman.

24 I've just been asked to maybe get a little more
25 clarification on the recommendation for the independent
26 panel. I just want to be clear that -- is INAC in

1 agreement that the expert panel be specifically for the
2 dikes, or should that panel address other geotechnical
3 issues in structures or earth works at the site?
4 I guess what I'm getting at here, there's other
5 sections of the INAC intervention that recommend that an
6 annual geotechnical inspection be carried out, and it's
7 just my understanding that that's also common in other
8 licenses issued by the Board. So is that something that
9 would be undertaken by one person, or is INAC
10 recommending that those specific inspections also be
11 undertaken by an expert panel? Thank you.
12 THE CHAIR: Thank you. INAC?
13 MR. ROGERS: Jim Rogers, Mr. Chair.
14 The expert panel was brought up at the NIRB
15 hearings, and both Cumberland at that time and
16 Agnico-Eagle now and I believe most of the interveners
17 thought it was an excellent idea, since some of this
18 engineering work is not common. It's fairly
19 ground-breaking in some aspects.
20 The expert panel would be used for the dikes. The
21 geotechnical reviews would be also used for the dikes,
22 because failure of the dikes is more than just an issue
23 for the company, it's actually a fairly large issue. So
24 the independent panel would look at that.
25 There is other areas that the independent panel
26 could look at, the pit walls, for example, would be to

1 have someone outside at arm's length come in and review
2 would be probably a good idea from our point of view.
3 And the results of that, more or less a confirmation
4 that the independent committee or group or reviewer
5 believes that the company is doing the right thing would
6 be provided to the Board, and they would have confidence
7 in not only the design but the operation that is being
8 carried out by the mining company.
9 MR. NADLER: Just to offer a
10 supplementary, Mr. Chair. It's Michael Nadler.
11 What we're recommending is that there be third-party
12 qualification of geochemistry that could be by one panel
13 or multiple panels, and we would not presume to impose
14 on the Board -- geotechnical, forgive me, geotechnical
15 observation. We would not presume to impose on the
16 Board a panel model there, but we would strongly
17 recommend third-party validation.
18 THE CHAIR: Thank you. Any more
19 questions from Staff? Steve?
20 MR. LINES: Thank you, Mr. Chair. I
21 just have three more questions.
22 The next one is again going back to the INAC
23 intervention on page 6, and there's a recommendation
24 that noncontact water should be tested twice per
25 open-water season at proposed compliance monitoring
26 points. And I guess my question is is that something

1 that INAC is looking to have included as a regulated
2 criteria of some sort in the license?
3 THE CHAIR: Go ahead.
4 MR. NADLER: Thank you, Mr. Chair. It's
5 Michael Nadler.
6 Yes.
7 THE CHAIR: So, Steve?
8 MR. LINES: Thank you, Mr. Chairman.
9 Again my next question is going back to the INAC
10 intervention on page 7, and INAC recommends that the
11 AEMP, the Aquatic Effects Monitoring Program, be
12 submitted for review and approval prior to the
13 commencement of site work, and I just wanted to clarify
14 is that site work meaning construction activities or
15 operation?
16 Thank you.
17 THE CHAIR: Thank you. INAC?
18 MR. ROGERS: Mr. Chairman, it's Jim
19 Rogers. Could I defer that for a second or two, if you
20 wouldn't mind, to give you a clearer answer?
21 THE CHAIR: Okay. Go ahead, Jim Rogers,
22 go ahead.
23 MR. ROGERS: This is Jim Rogers with
24 INAC.
25 Sometimes we have to confer with the rest of the
26 Federal family on these issues. The Aquatic Effects

1 Monitoring Plan is normally part of Environment Canada's
2 role, and we assist them, and Environment Canada has
3 agreed with the '09 date, which is after construction
4 before actual mining begins.

5 Thanks, Mr. Chair.

6 THE CHAIR: Thank you. Steve?

7 MR. LINES: Thank you, Mr. Chairman.

8 I just have one last question, and it's just
9 regarding the difference in the security estimates, and
10 I anticipated hearing a little bit more about it in the
11 presentation and especially the discrepancy in the
12 differences between the cover and how those estimates
13 came to be, and I would ask that if INAC could provide a
14 little more detail here on their opinion of that aspect
15 specifically of the closure estimate. Thank you.

16 THE CHAIR: Thank you. INAC?

17 MR. NADLER: Thank you, Mr. Chair. Thank
18 you, Stephen, for your question. It's Michael Nadler.

19 The Proponent today presented the use of the 2.5
20 metre cover, and that was the cover used in the security
21 estimate calculation or estimated costs for reclamation.

22 The purpose, as many of the people around the table
23 understand, that the purpose of this cover is to ensure
24 that annual thawing does not reach potentially
25 acid-generating rock. The Department reviewed in great
26 detail the modelling information provided by the

1 Proponent, and site data shows a 2.15 metre thawing, and
2 also the modelling information used was based on rock
3 rather than highly vegetative soil, which has a higher
4 specific gravity.

5 The other thing to keep in mind is that while we
6 have referred in our work and while the Proponent's
7 presentation referred to Ekati and observed that the
8 Ekati area is warmer than the Baker Lake area, it is
9 nonetheless an important source of information on this
10 aspect of potential reclamation.

11 In our own review of that information and the Ekati
12 experience, we too recognized that it's a warmer
13 location than Baker Lake, and that led us to consider a
14 slightly lower fill level. So while Ekati, the depth of
15 the active layer, the active permafrost layer is 5
16 metres deep at the margins, we proposed a 4 metre cover
17 in recognition of the fact that the permafrost layer
18 here is deeper, and the region and the rough area around
19 the mine site is colder.

20 What we recommend and why you see that our security
21 estimate is higher is that we'd observe that there is
22 necessity in being conservative in security estimates
23 and a recognition of the fact that a 4 metre cover might
24 be required. And following that conservative approach
25 to environmental protection, we have estimated the use
26 of a 4 metre cover.

1 I believe this, while conservative and while
2 reflective of an observation -- of observation based on
3 the Ekati experience, we've nonetheless modified those
4 observations to reflect the unique climatic environment
5 around the Meadowbank site.
6 Thank you, Mr. Chair.
7 THE CHAIR: Thank you. Any more
8 questions from Staff?
9 MR. HOHNSTEIN: Thank you, Mr. Chair. Dave
10 Hohnstein here. I've got a couple questions; then I'll
11 pass it over to Karlette.
12 With respect to the Type B licenses that are going
13 to be or plan to be incorporated into a Type A, if it's
14 issued, INAC has, I guess, agreed that -- to the request
15 to incorporate these, the relevant conditions into the
16 Type A.
17 There was at the pre-hearing and technical meeting a
18 commitment made by INAC to provide compliance reports
19 for these Type B licenses prior to the intervention
20 deadline. However, the NWB has not been in receipt of
21 these compliance reports, and in order to evaluate the
22 compliance of the licensee, the NWB would like to
23 request that these reports be provided prior to the end
24 of the hearing if possible.
25 Thank you.
26 THE CHAIR: Thank you. INAC?

1 MR. NADLER: As part of our inspection
2 function -- excuse me, Mr. Chair, thank you. My name
3 again is Michael Nadler.

4 As part of our regular function, we produce
5 inspection reports. We would be very pleased to share
6 the inspection reports associated with the existing
7 licenses with the Water Board to give an indication of
8 compliance to the Board. Thank you.

9 THE CHAIR: Staff? Dionne?

10 MS. FILIATRAULT: Thank you, Mr. Chairman. I
11 think -- it's Dionne Filiatrault.

12 What the Board is looking for is what was done early
13 on when the boards were created, when things were
14 transferred to the NWB from the Northwest Territories,
15 and yes, there are inspection reports that are done on
16 an annual basis, but there were also compliance reports
17 that were done in the past on each individual term and
18 condition of a particular license, and these compliance
19 reports were prepared by Indian and Northern Affairs and
20 submitted to, at the time, the NWT Water Board.

21 This practice seems to have somewhat gone by the
22 wayside, but now with this particular license, where the
23 Board is being asked to consider incorporation into
24 another license, it's important that the Board has an
25 understanding of whether or not the licensee for those
26 Type B's has, in fact, complied with the specific terms

1 and conditions of the license. Not solely -- they're
2 not looking for the inspection reports. The inspection
3 reports have been filed with the Water Board already by
4 the Water Resources officer. What the Board is looking
5 for is the compliance reports.
6 THE CHAIR: Thank you. Michael?
7 MR. NADLER: Thank you, Mr. Chair. As
8 Dionne observed, this is no longer part of our business
9 practice in the Nunavut regional office, so there might
10 have been a misunderstanding when the compliance reports
11 were requested. What we understood that to mean were
12 inspection reports. We may have to look at -- if this
13 is a critical need for the Board, we would have to
14 probably sit and discuss with Board Staff some means of
15 meeting the requirement. Those reports are no longer
16 prepared by our inspection team or by our Department in
17 the region.
18 THE CHAIR: Thank you. Dionne?
19 MS. FILIATRAULT: Thank you, Mr. Chairman.
20 Just a point of note at the pre-hearing conference, it
21 was made very clear to INAC the distinction between what
22 the Board was requesting, whether it was an inspection
23 report or a compliance report, and that clarification
24 was provided in February.
25 THE CHAIR: Thank you. INAC?
26 MR. NADLER: It's Michael Nadler again.

1 Oh, I'm certain the misunderstanding is our own.
2 I'm not blaming the Board for the misunderstanding.
3 However, if information is required, we'd have to work
4 with Board Staff to provide some facsimile of a
5 compliance report in order to provide you with the
6 confidence that you need.

7 THE CHAIR: So any more questions from
8 Staff? Catherine?

9 MS. EMRICK: It's Catherine Emrick with
10 the Water Board. I'd just like to ask for some
11 clarification on a response to I believe it was KIA's
12 question regarding the review of security at the end of
13 the term of the license. And I'm paraphrasing, but I
14 think the reply was -- from INAC was that, We agree with
15 the review of the security at the end of the term of the
16 license, though we contend it should not be a reason to
17 establish a low level of security at the beginning of a
18 project.

19 And I'm just wondering if you could clarify that
20 statement a little bit, and essentially what I'm looking
21 to understand is if you agree that it's appropriate to
22 require security as being proposed by AEM to -- for the
23 development to the end of the seven-year license or five
24 years operating life, or if your expectation is that the
25 Board would require security to cover the full
26 development to the end of the mine life, and if you

1 could just give us some idea of what your reasoning is
2 for whichever one of those approaches you're looking
3 for. Thank you.
4 THE CHAIR: Thank you. INAC?
5 MR. NADLER: Forgive us, Mr. Chair.
6 We're just trying to clarify our understanding of the
7 question, and we might have to pose a question back in a
8 moment, forgive us.
9 THE CHAIR: If you need time to
10 discuss --
11 MR. NADLER: I guess we'd ask for the
12 question to be rephrased, Mr. Chair. We don't really
13 understand what the question is. Forgive us, and,
14 again, we take the blame for misunderstanding. We just
15 haven't -- we're having a hard time determining what
16 you're seeking.
17 THE CHAIR: Okay, Catherine, can you
18 repeat that?
19 MS. EMRICK: Thank you, Mr. Chair.
20 We're just seeking clarification on essentially
21 INAC's position. We understand, I think we understand,
22 that you agree with a review of the security requirement
23 to the end of the term of the license. So maybe if we
24 ask this in a couple of parts, that would be helpful.
25 Is that a correct understanding?
26 THE CHAIR: Thank you. INAC?

1 MR. NADLER: Thank you, Mr. Chair.
2 Yes, we would concur with an assessment of security
3 for the tenure of the first instance of the license.
4 That would also have to consider the development of the
5 next license afterward, however.
6 THE CHAIR: Thank you.
7 MR. NADLER: You really have to forgive
8 us. We're having a hard time grasping what you're
9 asking, and maybe it's our perception of security.
10 THE CHAIR: If you need the time, we can
11 take a short break if you need more time to -- but,
12 Dionne?
13 MS. FILIATRAULT: Thank you, Mr. Chairman.
14 Dionne Filiatrault. I'll try and clarify.
15 In your presentation, you had the table with the
16 estimated reclamation liability for the Meadowbank Mine,
17 and up and to the end of the fifth year of operation,
18 the total reclamation liability is \$26.1 million. And I
19 believe that is the same figure that AEM has agreed is
20 for the term of the license that they're requesting
21 right now. To include construction and five years of
22 operation, they're asking for a seven-year license, so
23 the total reclamation security for the term of the
24 license that's requested, AEM has agreed to post 26.1,
25 and would you agree that that is the total reclamation
26 for this particular license request?

1 THE CHAIR: Thank you, Staff. INAC?
2 MR. NADLER: Thanks, Mr. Chair.
3 Okay, to clarify. In the first instance, our
4 estimate of water-related reclamation costs up to the
5 end of year five would be 15.841 million, not 26.105
6 million.
7 To clarify further, we would concur that the 15.841
8 million would be reflective of the costs of reclamation
9 up to the end of year five. We would observe, however,
10 that based on the project, as it has been proposed,
11 total water-related reclamation costs would be 29.084
12 million based on our assessment.
13 MS. FILIATRAULT: Mr. Chairman?
14 THE CHAIR: Go ahead.
15 MS. FILIATRAULT: Dionne Filiatrault.
16 So for the term of this license, is it INAC's -- is
17 INAC looking, assuming water-related only -- just for
18 the sake of that argument -- that you're looking for
19 15.8 or 29 million for this particular water license?
20 THE CHAIR: Thank you. INAC?
21 MR. NADLER: Thank you, Mr. Chair. For a
22 license with a tenure up to end of year five, yes, we
23 would contend that 15.841 million is sufficient to cover
24 water-related reclamation. At the renewal point of a
25 license, so at the point of a second issuance of a
26 license, we would recommend that a site inspection be

1 undertaken to assess what kind of reclamation has been
2 undertaken by the Proponent, and that might change the
3 total requested for the second phase of a license,
4 and -- but right now at this point, our estimate of the
5 costs of reclamation, based on the project as it has
6 been proposed in its entirety, would be the 29.084
7 million. Of course, a second phase license might have a
8 different outcome based on a site inspection or based on
9 the progress of the -- the company's progress in
10 progressive reclamation.

11 Thank you, Mr. Chair.

12 THE CHAIR: Thank you. Any further
13 questions from Staff? Dionne?

14 MS. FILIATRAULT: Thank you, Mr. Chairman.
15 Dionne Filiatrault.

16 A final issue: Is -- as you're aware, a portion of
17 the project is on Commissioner's land. The question
18 becomes has INAC considered or does INAC have any
19 thoughts on the Water Board's responsibility for
20 requiring security for the marshalling area in Baker
21 Lake?

22 THE CHAIR: Thank you. INAC?

23 MR. ROGERS: INAC did hire an outside
24 consultant, John Brodie, Brodie Consulting Limited, to
25 come up with an estimate of the reclamation of what we
26 call the lay-down area within Baker Lake. The Community

1 and Government Services of the Government of Nunavut has
2 received a copy of that estimate. However, the water
3 portion is exceedingly small. The total reclamation was
4 estimated at around slightly less than half a million;
5 the land related was about 450, 450,000, which left
6 about 45,000 for water.

7 We feel that the 15 million -- or the 29 million --
8 sorry, my mistake -- 29 million would be sufficient to
9 handle the water-related issues on the lay-down area.
10 We assume that Agnico-Eagle will discuss reclamation for
11 land-related issues with the -- whoever, the Hamlet or
12 the Community and Government Services.

13 THE CHAIR: Thank you. Dionne?

14 MS. FILIATRAULT: Thank you, Mr. Chairman.

15 Just to confirm, so the estimate that you're
16 referring to regarding the marshalling area that was
17 done by Mr. Brodie, has that information been provided
18 to this Board for their consideration with any
19 recommendations from INAC?

20 THE CHAIR: Thank you. INAC?

21 MR. ROGERS: Jim Rogers with INAC.

22 The total reclamation would be sufficient to handle
23 the water-related areas on that. That specific estimate
24 that was done by Mr. Brodie is mostly land-related;
25 therefore, we just provide it to the -- to Community and
26 Government Services with the Government of Nunavut and

1 not to the Water Board.
2 THE CHAIR: Thank you. Dionne?
3 MS. FILIATRAULT: So I'd just like to confirm,
4 based on what you've just said, and please correct me if
5 I'm wrong, but are you indicating to me that there's no
6 risk to Baker Lake related to the marshalling area in
7 Baker Lake from a water impact point of view?
8 THE CHAIR: Thank you. INAC?
9 MR. ROGERS: Jim Rogers, INAC, Mr. Chair.
10 The security estimate that we've done is for
11 reclamation costs of the lay-down area developed by
12 Agnico-Eagle. It's not an insurance plan; it's a
13 reclamation cost estimate. To reclaim the area to an
14 environmentally -- reasonably and environmental
15 reclamation, so Baker Lake is not being reclaimed; it's
16 not part of the lay-down area.
17 And that's -- because the project is planned, you
18 know. They built a lay-down area, a fuel storage area.
19 It's well within secondary containment. They plan on
20 not having any accidents; therefore, to reclaim it, it's
21 removing the tanks, the secondary containment area, and
22 any shoreline structures that they built.
23 MR. NADLER: It's Michael Nadler,
24 Mr. Chair, just to add a supplementary.
25 So just to respond directly to the question, there
26 will be risks associated with the mining project for

1 Baker Lake; however, they are not part of reclamation of
2 the lay-down area. Reclamation is limited to
3 reclamation activity.
4 I'm advised just to remind the Board that we're
5 talking about planned reclamation activities.
6 THE CHAIR: Yes, thank you. One of the
7 Board Member have to take a break. As well as, Bob have
8 to go home very shortly, so maybe we should take a break
9 for now, or you want to -- okay, Dionne, a short one.
10 Thank you.
11 MS. FILIATRAULT: Thank you, Mr. Chairman. I
12 believe this is -- do you have more questions? Oh,
13 okay. Okay, Mr. Chairman, if it's -- if you'd like to
14 take a break, that's your...
15 THE CHAIR: Yes, maybe we should take a
16 break because I want to respect the Board Members. Bob
17 have to go from his office to get home now, and then
18 George have to take a break as well, so we take a break
19 for the day now, and we'll come back by 7:00 tonight for
20 community session here, back here at 7:00.
21 MR. NADLER: Sorry, Mr. Chair, just a
22 point of clarification.
23 Does that mean our evidence continues some more --
24 MR. HANSON: It's because I wanted to not
25 sit here all through 6:00. I'm just going to go home
26 and call you from there because right now it's quarter

1 to 4 your time, and you've got another hour or two if
2 you want to go later. It's up to you.
3 THE CHAIR: Okay. Dionne?
4 MS. FILIATRAULT: Thank you, Mr. Chairman.
5 There is the issue of one of the members being on
6 the phone and needs to move from one location to the
7 other over the next half an hour. There's also the
8 issue that it will be a long day, especially with an
9 evening session, so unfortunately we were hoping to
10 finish the questions to INAC, but I believe there
11 probably still is a couple questions that the Staff
12 would like to hold for first thing tomorrow morning to
13 INAC, Mr. Chairman.
14 THE CHAIR: Yes, we can do that.
15 MR. HANSON: Mr. Chair, if you want to
16 carry on and ask the last few questions to INAC, I have
17 no problem with that. Just if you're going to be
18 carrying on, I'm just going to go home and change
19 phones, that's all.
20 THE CHAIR: Okay.
21 MR. HANSON: So go ahead and carry on
22 until the Staff finishes with INAC, and then they'll be
23 done for the day then.
24 THE CHAIR: Okay, sure, yes. At the
25 meantime, we just take a short break because George have
26 to go right now, a 10-minute break, then we'll continue

1 on with INAC.
2 (BRIEF ADJOURNMENT)
3 THE CHAIR: I'll have Dionne to explain
4 the situation right now for tonight and tomorrow.
5 Dionne?
6 MS. FILIATRAULT: Thank you, Mr. Chairman, and
7 for the information of the parties, we were trying to
8 logistically figure out the optimal way to continue
9 with -- to make the best use of everybody's time.
10 Unfortunately, we had various options considered,
11 and they have now since fallen through because we are
12 restricted for hotels and meals between 5:30 and 6:30.
13 So given the availability of the Member that's on the
14 phone and his availability, we are going to break now
15 until 7.
16 Mr. Chairman, if that works, is acceptable to you,
17 we will come back with the community session and start
18 tomorrow morning with follow-up questions from the Staff
19 to INAC, which we don't forecast taking too long.
20 Mr. Chairman, I think we probably are on a pretty good
21 schedule right now, and I think we're going to be okay
22 to make it through tomorrow.
23 THE CHAIR: Okay. If it's agreeable to
24 all parties, we can take Dionne's suggestion now. Okay,
25 we'll come back tonight at 7:00 for community session.
26 Dionne?

1 MR. CONNELL: Yes, that's fine for us,
2 Mr. Chairman.
3 THE CHAIR: Thank you. INAC?
4 MR. NADLER: Thank you, Mr. Chair. It's
5 Michael Nadler. We'd be pleased to return and take
6 questions in the morning.
7 THE CHAIR: Any more suggestion,
8 objection? No? Okay. We'll come back at 7:00. Thank
9 you.
10 (PROCEEDINGS ADJOURNED AT 4:11 P.M.)
11 (PROCEEDINGS RESUMED AT 7:14 P.M.)
12 THE CHAIR: Thank you. We're going to
13 continue with our meeting this evening. Thank you for
14 your hospitality, Qamani'tuaq residents. We are going
15 to have a community meeting on your behalf. If you have
16 any questions with regards to water licensing, we are
17 Nunavut Water Board. If you have any questions, any
18 questions? That's fine.
19 We are Nunavut Water Board, and the mining project,
20 they're requesting for the application for water --
21 water licensing. We're here to listen to you in regards
22 to water licensing. If you have any concerns, if you
23 have any concerns or questions, and if you need to hear
24 anything, you like to be clarify what you have heard
25 before in regards to the Applicants requesting for the
26 water licensing from the mining project.

1 COMMUNITY PRESENTATION BY AEM:
2 MR. CONNELL: Thank you, Mr. Chairman.
3 Welcome, Ladies and Gentlemen. We are very pleased
4 to be in Baker Lake again and pleased to have such a big
5 turnout tonight. Thank you for coming.
6 I'm going to start off by giving you a short
7 presentation on the Meadowbank Project, and I'll try to
8 go through it as fast as I can, and then we'll turn to
9 yourselves for questions.
10 I'm going to start off by talking about who
11 Agnico-Eagle Mines Limited is. Who are we? We're a
12 Canadian mining company. Our head office is located in
13 Toronto. We've been a gold mining company for 35 years,
14 and our original operations, our main operations where
15 we started from are in northwestern Quebec. In this
16 area here. Specifically the LaRonde mine. Our company
17 is a company that is experienced with building mines.
18 We do exploration, but we build and operate mines.
19 In 2007, our company purchased all the shares of
20 Cumberland, so the Cumberland Resources that you've
21 heard about in the past has now become part of
22 Agnico-Eagle, so they're all the same now, one company.
23 And as you know, we opened an office here. We had an
24 office here in 2007 and have now moved into a brand-new
25 office here in 2008, so this is now our base of
26 operation for this project.

1 We're also doing other mining projects around the
2 world. We have a gold mining project that's in
3 development that's in Finland, up here in the north in
4 Lapland. We have a project that's underway in Mexico,
5 in Chihuahua, Mexico, we have Meadowbank, and we also
6 have expansion going on in Quebec at the LaRonde mine, a
7 brand-new mine at Goldex and Lapa. So the company is a
8 growing company, but its focus is on gold mining.

9 As a company, we have to have things that are our
10 values, things that are important to us as a company,
11 and these are some of the things that we see as being
12 important: We believe that a company is only as good as
13 the people who work for it. It's basically a company
14 that's built on people, so we believe very strongly that
15 we have to work very closely with our employees. And to
16 do that, we have to provide training and career
17 development to our employees. Our employees, we
18 anticipate that they will come to work for us, that they
19 will develop skills with us, and that when we're lucky
20 and when we do work hard enough, we will actually see
21 two and three generations of people working in our
22 company, and that has happened in northern Quebec. The
23 benefit to us is that that results in a very low
24 turnover and very low absenteeism. People stay with us;
25 they don't leave. We've got many of our employees who
26 have now been with us for over 20 years.

1 Another key component of that is we believe very
2 strongly in student scholarships and in supporting
3 students to get summer work so that they can continue
4 their education, and so we will work very hard to ensure
5 that all of the sons and daughters of our employees have
6 their opportunity for their sons and daughters to come
7 to work for us if they so please to or want to. I think
8 in Abitibi last year, we had over 200 summer students
9 who worked for the company.

10 We also believe that as a company, we have to be
11 involved in the local community. We have a
12 responsibility to be involved, and so we try to purchase
13 as much and acquire much of our services and our
14 supplies as we can in the local community, and we try to
15 support local organizations and charities.

16 Also with our employees, it's very important that we
17 have an employee assistance program, a program to help
18 employees outside of things that are just work-related,
19 things like financial, legal, medical, things that
20 aren't covered elsewhere. Things like computer purchase
21 plans so that our employees can better themselves,
22 insurance and benefit plans. Those are a key part of
23 the values that make up Agnico-Eagle.

24 We know to communities that it's very important that
25 we bring good protection -- we provide protection of the
26 environment, and we too as a company believe that that's

1 a very strong requirement, and we believe in it
2 wholeheartedly. These are just some of the items that
3 we have in place that speak to our record in being good
4 stewards of the environment.

5 Agnico-Eagle has a commitment that wherever it
6 works, it uses the highest jurisdiction in that -- the
7 highest standard, sorry, in that jurisdiction. We meet
8 the best standards that are there, and we have
9 significant in-house expertise within the company to
10 address problems as they come up. That has paid off
11 over the years with an excellent relationship with the
12 regulatory agencies that we've worked with. We believe
13 that has come from building trust, and that that trust
14 has come from being transparent and having an open-door
15 policy. If we make a mistake or we have an error, we
16 need to own up to it, tell everybody what it is. We
17 learn from our errors and correct and move forward.

18 Some of the things the company has done: We've
19 recently partnered with the Quebec Government in one of
20 our new operations. Rather than create a new tailings
21 pond, we took an old tailings pond that had been left
22 behind by miners from many, many years ago that was
23 releasing bad water into the nearby river system, and
24 we've used our new tailings to actually rehabilitate
25 that year and solve this old problem, stop this
26 contaminated water leaving this site. And so for the

1 first time this year -- this is a new project, so for
2 the first time this year, tailings are no longer
3 escaping that system this spring into the nearby river.
4 The company participates as a consortium of other
5 companies in Quebec to clean up the old abandoned
6 exploration sites in Nunavik, the northern part of
7 Quebec. These are not sites that we left behind but
8 were left behind by other mining companies, but we think
9 have we a responsibility to participate, to clean up
10 those messes.

11 We recently were awarded a Sustainability
12 Development Prize from the Desjardin Group, and we're
13 very proud of that, and that comes as recognition for
14 the work we have done in being good stewards of the
15 environment.

16 And from the Mexican Government, where we're
17 operating in Mexico, we have actually received
18 certification from the Government there as being a
19 socially responsible company. That wasn't something
20 they just gave us. It's something that we had to earn
21 and work through their system in order to get that
22 designation.

23 Where is the Meadowbank Project? Most of you know
24 it's located 70 kilometres north of the Community of
25 Baker Lake, and it's now connected to the Community of
26 Baker Lake by a 110 kilometre all-weather access road

1 that was completed last month. What's really important
2 is the project is on Inuit-owned land. Our landlord,
3 the landowner is the Kivalliq Inuit Association.

4 This is a picture of the Meadowbank site as it was
5 last summer. You can see the exploration camp here.
6 This is Third Portage Lake in the foreground, and Second
7 Portage Lake in the background.

8 We have reached agreement with an Inuit Impact and
9 Benefits Agreement that's now in place with the Kivalliq
10 Inuit Association, and it's now being implemented. We
11 provided a construction decision under that IIBA back in
12 December, that triggers the implementation of the
13 agreement, and so first payments are already flowing
14 from that agreement.

15 We also have a compensation agreement for water use,
16 a Water Compensation Agreement. That's under Article 20
17 of the Nunavut Land Claims Agreement. That has been
18 signed between the company and the Kivalliq Inuit
19 Association. And while the specific terms of that
20 agreement are confidential, what it basically
21 compensates for is the water we use by the project, the
22 water that flows that we alter by the project, and it
23 includes a funding for the KIA to do monitoring of this
24 project in our water use in this project through both
25 the construction, the operation, closure, and into
26 post-closure to ensure that their interests, the

1 interests of the Inuit people are protected.

2 We also have a Development Partnership Agreement
3 with the Government of Nunavut. This is just a picture
4 recently of the signing ceremony that was held for the
5 compensation agreement. We're very pleased that this is
6 another milestone reached.

7 Now, I'm going to give some quick facts about the
8 Meadowbank Project. Our project has a life of 12 years
9 as we know it right now. We have two years of
10 construction, followed by ten years of mining. We
11 believe that we will likely find more ore, we're very
12 hopeful, but we can't promise that, but we think that
13 the mine will go beyond ten years. But with the ore we
14 know that's there right now, we know we will operate for
15 ten years.

16 The mine will consist of three open pits. This is
17 what it would look like. This is an artist's
18 impression. So here's one open pit, here's the second
19 open pit, and the third one is up in here, in this
20 region here.

21 At full production, which will occur two years from
22 now, the project will hire 390 permanent jobs, and it's
23 our intent to try and get as many of those jobs as we
24 can from the local communities. And our total reserve
25 is now at 3-and-a-half million ounces, but we're
26 continuing to do exploration to try and make that number

1 grow.

2 This is a picture of Second Portage Lake, and the
3 Meadowbank Project is right there, and I'm going to show
4 you that this is part of the lake that we are going to
5 use for the mine, and so I just wanted to show you a
6 picture of what it looks like. So that picture was
7 taken if -- standing here, looking this way, so there is
8 the lake that was in that picture.

9 This slide is to basically show you where the ore
10 is, where the gold is. The gold is expressed on surface
11 with these red areas. Even though it's below the
12 ground, these red areas show you where it is. And as
13 you can see, the ore is actually in -- or under parts of
14 the lake. It's on parts of the land, but it's also
15 under parts of the lake. And so to extract that ore, to
16 get access to it, we have to impact part of this lake,
17 part of Second Portage Lake and part of Third Portage
18 Lake. This arrow here is just to point out that Third
19 Portage Lake flows into Second Portage Lake.

20 So how do we do that? We do that by building a
21 series of dikes. So this year, if we have our permits,
22 we would construct this dike here and one here, and that
23 would then open up this piece of the lake for us to take
24 the water and pump it into here, to drain this into a
25 dry state. In 2009, we would build a dike out here to
26 open up this entire area to allow us to open up that

1 entire pit. And then in 2010, we would build this dike
2 here in order to allow us to take the water out of this
3 portion so that this would all be dry for us to mine in.
4 And then in 2014, we do the same with a very smaller
5 lake up in this region here. Same kind of process to
6 open up the three open pits.

7 So this is what it would look like after the water
8 has been removed and after we have mined for ten years.
9 You can see the water is gone in those portions, and we
10 have opened up the earth and extracted the ore. At the
11 end of the mine life, we will let these pits refill with
12 water, and once everybody is satisfied that that water
13 is -- or is of quality so that it can be mixed with the
14 lake, then we would breach the dike and allow this water
15 to mix with the lake.

16 This is the plant site. This is the buildings that
17 will be built starting this summer. So this is that
18 Portage open pit in the background. Here is the camp;
19 this is the place where people will live that work at
20 the site. Here is the mill building; that's the
21 building where we extract the gold from the ore. This
22 is the service shop where we maintain the equipment.
23 These are storage buildings.

24 The ore would come out of the open pit by truck and
25 be driven up this hill and dropped through a crusher. A
26 crusher breaks up the ore. It then is conveyed into

1 this building here where it's stored, and then it's
2 drawn from this building through a series of conveyers
3 up into the mill where we extract the gold.
4 What's very important to look at from an aspect of
5 water licensing is what type of waste will this project
6 generate. This is a list of the types of waste, and in
7 the next slides, I'm going to talk to each one of these
8 in turn.
9 The first waste product we generate is waste rock.
10 In order to get to the ore, we have to extract the
11 surrounding rock, and that rock doesn't contain any
12 gold, and so by category it's called waste rock. On a
13 daily basis, we will generate something in the order of
14 60,000 tonnes of waste rock. Waste rock basically is
15 the rock that doesn't contain ore, but we still must
16 remove it in order to get access to the ore.
17 All of the rock that we mine will be tested on site
18 to determine whether it is ore or waste so that we can
19 make sure it goes to the right spot. And in the waste,
20 we further test it to make sure that it's either good
21 waste or bad waste. And what I mean by that is some of
22 the waste rock at this mine site, if it were left
23 exposed to air, the contained minerals in it would
24 oxidize, and that would release acid, which in turn
25 would release contaminated water. So we want to stop
26 that happening, so we manage that rock separately. And

1 what we do is try to isolate that rock from ever seeing
2 the air.

3 We do that in two ways: In some of the rock, we
4 place it under areas of water, deep enough so that we
5 know it will never see air, and that stops this process;
6 the process of oxidation can't take place once it's away
7 from air. The other rock that we can't put under the
8 lake, we place that into an area of our waste rock dump
9 and cover it with the good rock. The rock that does not
10 generate acid, so that this rock that is potentially a
11 source of contamination is buried deep in the pile and
12 is completely isolated from the air by the fact that the
13 permafrost moves back into it.

14 So this is the waste rock storage area. So the
15 waste rock that comes out of this pit here is trucked
16 and placed on this pile here, and that pile will stay
17 after the mine is closed. That pile is completed by the
18 year 2012, and after 2012, the waste rock that comes
19 from here we put back into this hole here, because by
20 that time, this hole is finished.

21 The drainage from this waste rock pile is monitored
22 and collected, and it's either placed into this pond or
23 this pond so that we can manage it so that it doesn't
24 just go straight into the environment. If it's poor
25 quality water, it will come into this area and be
26 recycled through the mill, and it's a closed loop; it

1 doesn't exit. If it's good quality water, it will come
2 into this pond and ultimately be released in a
3 controlled fashion into Third Portage Lake.

4 The next product or waste from the mill is what we
5 call mill tailings. Mill tailings are ore that's been
6 ground up, and we've extracted the gold, and it's the
7 waste, finely ground waste rock that's left after we
8 extract the gold. Those tailings are piped from the
9 mill and placed in a tailings impoundment, and we
10 basically are dewatering a piece of the lake, taking the
11 water out so that we have a hole basically underlain by
12 the natural bedrock, and our tailings will be placed in
13 that hole, and they're constrained in there by two dams,
14 one here and one there.

15 During the mine life, the water that comes out with
16 the tailings is collected here, and generally it goes
17 back to the mill, and it's used again and again in the
18 process. So it goes around a cycle with some of it
19 being locked up in these tailings. At the end of the
20 mine life, the water that's left we will transfer into
21 the bottom of the open pits and manage that water prior
22 to its being mixed with surrounding runoff water.

23 The tailings themselves are allowed to freeze and
24 are covered with a layer of waste rock sufficient so
25 that the year -- every year when the surface thaws, we
26 make sure that the thaw that takes place only falls

1 through that waste rock we put on top. In other words,
2 the thawing cannot get into the underlying tailings, so
3 that this underlying tailings is not exposed to air
4 through oxidation.

5 We also generate garbage, garbage products just like
6 we do in a community, and we will segregate those
7 garbage products into various categories. The first
8 category is organic garbage. This is the garbage that's
9 been in contact with food, either leftover scraps from
10 the kitchen, from preparing food, or packaging that's
11 been in contact with the food. It's very important that
12 we not let that go to our landfarm or to our dump
13 because that could then attract wildlife. And so the
14 intent is to collect all of that and segregate it at
15 source and then take that to an incinerator and have
16 that incinerated on site so that we don't have food
17 materials getting into our landfarm, so that we don't
18 attract wildlife to the landfarm. And we have a new
19 incinerator that will be coming in 2008 that meets
20 Government standards, the newest standards for emission
21 or air emissions from an incinerator.

22 The other garbage, the nonhazardous, the clean
23 garbage, the things that don't contain hazardous
24 materials, that will be segregated and taken to a
25 landfill. We're going to have a landfill or a dump
26 similar to what a community has on the site. We're

1 going to build that within the waste rock dump, so at
2 the end of the day, that landfill is completely buried
3 inside the waste rock pile. So we'll segregate our
4 garbage into various piles so that we maximize what can
5 be used again, and the materials that can't be used, the
6 garbage will then be buried under rock and managed, so
7 that at the end of the day, it stays in that landfarm
8 facility.

9 So here's a picture that shows where the landfill
10 would be. The dump will be inside this part of the
11 waste rock dump, so eventually it would be covered over
12 and buried inside this rock. It will be in a designated
13 spot within that dump. It's actually a built dump that
14 just was within that footprint of the dump. It's not
15 buried throughout the whole dump, and only nonhazardous
16 wastes will get put into that landfill.

17 The drainage from that landfill will be collected,
18 along with the drainage from this rock pile. It will be
19 monitored, and if the water is okay for discharge, it
20 goes into this pond. If it's poor quality water, it
21 comes into this pond and goes back to the mill and stays
22 locked. So if it's poor quality water, it doesn't get
23 released to the environment. And the garbage will be
24 covered over with rock to prevent it just blowing around
25 and being left exposed to the air.

26 We also will generate some hazardous wastes, things

1 like waste oil, antifreeze from the radiators, solvents,
2 things like Varsol, old paints, batteries, those will be
3 collected, taken aside, and placed into special
4 containers in a shipping container, and we will place
5 those onto a truck, haul them out of the mine site, and
6 ship those back south each year. We expect that we'll
7 have one container a year of that material that will go
8 back into southern Canada, where it can be sent to an
9 appropriate recycler or to an appropriate place where
10 they can handle that kind of waste, and we'll do that
11 under the appropriate hazardous manifests from the
12 Government of Nunavut-Department of Environment.

13 While we don't expect to have spills on the mine
14 site, we know that accidents occur. During the life of
15 the operation, I'm sure we will have some spillage of
16 diesel fuel from our trucks, and so we needed to build a
17 place to deal with that kind of contaminated snow and
18 contaminated soil. So we're building what's called a
19 landfarm, and that's it here in this picture. It's
20 basically a lined area like you'd see with a berm, and a
21 liner like you'd see around a fuel tank. We take the
22 snow and the soil and place it inside that liner. When
23 the snow melts, we collect the water. We treat that
24 water to remove the contaminants and then discharge it
25 onto the land and into our storm water management
26 system, and it gets put ultimately into our reclaimed

1 pond or into the mill.

2 The soils we spread into a thin layer and turn those
3 over in order to expose them to the air, and with time,
4 by turning this over and exposing it, we can
5 bioremediate that soil, in other words, remove the
6 contaminants from the soil, and once we can clean that
7 soil to a level where it can now be taken out, then that
8 soil will be removed from here and used to rehabilitate
9 places in the mine site that we've already completed.

10 The other waste stream is sewage. We will take all
11 of the toilets, sinks, and shower water, that will all
12 be collected and pumped to a sewage treatment plant.
13 We're not using a lagoon system like -- that they have
14 here in Baker Lake. We're actually using a treatment
15 plant. It looks like this, and here's what it looks
16 like inside, and that treatment plant treats the sewage
17 to remove the objectionable elements that have to be
18 removed from the sewage.

19 So the treated sewage during the mine operational
20 life, the water coming from the sewage plant will get
21 discharged into our tailings pond with the tailings so
22 that it's co-mixed, and the water will be recycled back
23 to the mill. So this sewage water will actually not be
24 released during the mine's operating life. However,
25 during the construction phase, there's a period of time
26 before we have the tailings pond built where that water

1 will be sent through the sewage treatment plant and then
2 discharged into our storm water management pond before
3 it's sent out to the environment, and that will last
4 during a two-year window while construction is being
5 done. The sludge during that time will be taken from
6 the bottom of the plant, bagged through a filter, and
7 then placed and burned in the incinerator.

8 The next key issue for any water license is how much
9 water we're going to use water and where we're going to
10 use water and how we're going to use water. Our
11 drinking water will come from Third Portage Lake --
12 that's this lake here -- and that will be pumped through
13 a pumphouse to our camp and distributed to the rooms,
14 the showers. Our process water will partially come from
15 Third Portage Lake. Process water is the water we use
16 inside the mill. That water will partially come from
17 Third Portage Lake, but the majority of it will come
18 from the tailings pond as recycled water, water that
19 goes around in a circle and is used again and again.

20 Each spring, when the snow melts and every time
21 there's a rainfall, you get runoff water, we get
22 snowmelt, and you get the storm water. We are building
23 the system so that the plant site will all drain into
24 this natural pond. This is a very shallow pond. It
25 freezes to the bottom every winter right now. We're
26 going to build up that pond so that it's a deeper

1 pond -- there are no fish of it -- and all of the water
2 that comes in contact with this facility where we could
3 possibly have contamination from our workings, that
4 water will be collected here, and then that water will
5 either be -- it will be monitored and, based on the
6 quality, will either go to the mill for use, it will go
7 into our tailings pond, or if it's really good quality
8 water, it will go into the attenuation pond. And the
9 quality of that water will be monitored so that we can
10 make a decision as to where it should be placed.

11 We have -- this is the tailings pond here. This is
12 the waste rock dump. At the back end here, we have
13 what's called an attenuation pond. That attenuation
14 pond is designed to collect the water that comes from
15 the bottom of the pits. This is the water that runs off
16 into the pits, and the better quality water that we
17 collect around the site, it all comes to this pond. We
18 monitor in that pond, and during the summer months when
19 we have open water, we would discharge that water
20 through a pump line and through a diffuser into this
21 part of the lake.

22 In order to ensure that that water is good quality,
23 that we don't cause harm to the lake, the standard that
24 we have to meet before we can discharge this water has
25 to ensure that within 30 metres of this point here, so
26 within a hundred feet of that point there, we meet the

1 standards that are in place to be protective of all
2 aquatic life in water, and that within a hundred feet
3 there, you should have no observable difference in the
4 water.

5 Obviously from what you've seen, we are going to
6 have an impact on a piece of the lake. We're taking out
7 a piece of the lake that's going to be lost for a long
8 period of time, if not some of it forever. And so we
9 have put in place a plan to offset the losses of fish
10 habitat by trying to create other fish habitat within
11 this same lake system. It's called our no-net-loss
12 plan.

13 This is a diagram of where we're going to create the
14 new habitat for fish. So this is our dikes built around
15 the side here, and you can see we have these devices
16 we've built off the side. These are like artificial
17 underwater reefs, here, here, and here, and around here,
18 and there's some also out in the lake.

19 Give you another picture that shows a cross-section
20 of what that would look like. So here's our dike, and
21 basically we put clean rock on the bottom and then
22 extract it back so that we leave a clean rock base 3
23 metres below the water so that the fish can use that as
24 fish habitat to replace the habitat that we're losing
25 within the lake.

26 In summary, the Meadowbank Project, the

1 construction, the pre-construction activities are
2 underway. We're hopeful to get a water license this
3 coming summer to be able to start full construction.
4 There is excellent potential to find more gold. We have
5 had good results on that to date. From our previous
6 discussions, we think we have excellent support for the
7 project moving forward. The project is fully financed;
8 it's not looking for money before it can start; it has
9 that ready to go.

10 Agnico-Eagle intends to work with all of our
11 stakeholders in this region to make this a success for
12 everyone and will continue to work to build the
13 relationships with the local people, the local
14 communities, and with the Kivalliq Inuit Association,
15 who are the landowners and who we have a responsibility
16 to under the Inuit Impact Benefits Agreement. And we
17 recognize that a key part of that is training of local
18 personnel as a priority so that the jobs as much as
19 possible stay here in the north.

20 Thank you very much. I'm going to stop this
21 presentation at this point, and we'll open it to
22 questions. Thank you. Thank you very much for your
23 attention.

24 THE CHAIR: Quyanamiik. Thank you,
25 Larry. You can come to this microphone and just press
26 the button.

1 COMMUNITY QUESTIONS:
2 MR. TOOKOOME: While they are going to be
3 in operation for a number of years, sometimes the water
4 is very easy to contaminate.
5 THE CHAIR: Thank you, Larry.
6 MR. CONNELL: Thank you, Mr. Chairman.
7 My understanding was that the question was that
8 while the mine's going to go on for a number of years,
9 it's very easy for contamination to occur. We
10 understand that. That is why, through this Water Board
11 process, we have put a number of methods and procedures
12 in place to make sure that we monitor the water to
13 prevent that happening with backup plans so that we can
14 do our very best to prevent any contamination occurring
15 to the water because we acknowledge that we need to
16 protect the water. We need to keep our contamination
17 within the site and not let it go off the site.
18 THE CHAIR: Thank you. Is there any
19 more comments or questions? Is there any more comments
20 or questions from the community?
21 MR. TOOKOOME: I also want to comment, the
22 lake at Meadowbank has very good fish and very healthy
23 fish. If you're going to dewater the lake, what will
24 happen to the fish?
25 MR. CONNELL: Thank you, Mr. Chairman. A
26 very good question.

1 We won't take all of the lake, so there will still
2 be some fish in the other portion of the lake, but the
3 piece of the lake that we are going to impact, we have
4 to remove those fish, and we will remove those fish
5 prior to the dewatering activity so that those fish are
6 captured and removed.

7 Some of the fish, the smaller fish will be
8 transferred into the remaining part of the lake. The
9 larger fish will be removed, and we are looking for
10 community input as to how we can share that fish so that
11 it's not just wasted, that it somehow provides some
12 benefit so that we don't waste that fish, but there will
13 be some loss of fish as a result of losing that lake.

14 The reason we don't take all of the fish and move
15 them over is that the lake that's left, nature has
16 already -- has the right number of fish in that lake to
17 what the lake will support, and if we put all of the
18 fish now in half of the same size of lake, those fish
19 won't survive because they don't have sufficient food,
20 and so we have to be careful not just to transfer them
21 all and create other problems. We don't really cause
22 any benefit. We would upset the balance in that lake.

23 THE CHAIR: Thank you. Is there any
24 more comments? If there's any other comments from the
25 audience, there's a microphone available.

26 MR. TOOKOOME: I understand that you will

1 be transferring the tailings. Where would the drainage
2 be?
3 THE CHAIR: Go ahead, Larry.
4 MR. CONNELL: Thank you, Mr. Chairman.
5 The tailings will go into that basin, and they're
6 contained within the basin. The water that's collected
7 within that basin will be sent back to the mill, and
8 it's then used to mill new ore, and it goes back with
9 the tailings, so it goes in a circle. And that water
10 does not leave that site; it doesn't get released to the
11 environment until the very end of the mine.
12 And at the end of the mine, we look at the water
13 quality. We treat it if we have to, and then that water
14 will be put into the bottom of the open pits, and slowly
15 over a period of eight years, we would -- with the
16 runoff coming into the pit, we would mix it with
17 freshwater. And once the pits were full again, we would
18 assess the quality of that water, and once everybody had
19 agreed that that water quality was now adequate to allow
20 it to re-interconnect, then we would take the dike, make
21 a hole in the dike so that that water now can mix.
22 So the tailings drainage is really held within the
23 site during the entire operating life of the mine.
24 THE CHAIR: Thank you. Any more
25 comments? Yes, talk first, then David will go next.
26 MR. MANERNALUK: Hey, my name is William

1 Manernaluk, and I have a question about -- I'd like an
2 answer about the beginning of the tailings pond and the
3 end of the tailings pond. What percentage is there from
4 the gold deposit and how long should the mining process
5 for this particular region be?
6 Thank you.

7 THE CHAIR: Thank you. Larry?
8 MR. CONNELL: Thank you very much.

9 That's a great question, and I think that it gives
10 me an opportunity to introduce some of the other
11 Agnico-Eagle people here in the audience. I'm going to
12 ask Mr. Bergeron if he would answer that question. And
13 the question, as I understand it, is what is the grade
14 of the ore, what ore do we have, and how long will the
15 life of the mine go, and the gold production.

16 Mr. Bergeron is the General Manager for the
17 Meadowbank Mine, so he will be -- sorry, Denis Gourde is
18 the General Manager. Mr. Bergeron is the Regional
19 Manager.

20 MR. BERGERON: Mr. Chairman.
21 THE CHAIR: Go ahead.

22 MR. BERGERON: As of now, and this is
23 something that will change over the years because we
24 continue exploration, there is more than 29 million
25 tonnes of ore that have been identified at the
26 Meadowbank Project. That ore, the rock containing the

1 gold, will deliver approximately 3.5 million ounces of
2 gold over the life of the mine.

3 Every year, every year, we will treat, we will
4 process at the mill a little bit more than 3 million
5 tonnes, and most of that will be rejected -- because
6 only the gold will be kept -- most of that will be
7 rejected into the tailings pond area where it will be
8 frozen, where it will be recovered or covered by rock to
9 protect it. And like Larry said earlier, the water that
10 is included in the tailings will then be recirculated
11 into the mill to be reused into the tailing process.

12 THE CHAIR: Thank you. David Simailak.
13 David?

14 MR. SIMAILAK: Thank you, Mr. Chair.
15 Please feel welcome in our community, Baker Lake, and
16 the visitors as well.

17 I am happy about your research; however, it seems to
18 be taking a lot of time. At first, it was the Nunavut
19 Impact Review Board were doing the research, and now
20 it's this Water Board doing the survey. Is there
21 another group that has to -- development has to go
22 through? How long will -- and all organizations or
23 development is important, and are we taking too long to
24 do the development, or are we doing too much research?

25 These comments have been repeated a number of times.
26 So we are starting to have concerns. The communities

1 are starting to have concerns about the slow development
2 and for different organizations to do research or survey
3 before development starts, although they have very
4 important impact when there are people that would like
5 to do development.

6 The application from the Agnico, the people of Baker
7 Lake know -- have been questioning for a number of years
8 and a number of times if they will be following strict
9 rules regarding the environment. We know now that the
10 environment will be protected, and regulations will be
11 followed, and we know they will be -- they will have to
12 do strict rules, and if regulations are broken, they
13 could be closed down.

14 And as Baker Lake people and other communities,
15 there are a number of people that are employed.
16 Especially this year, there are a number of husbands and
17 wives or children that are doing much better
18 financially. They are not just fishermen or hunters;
19 they have employment now, and the decision-makers are
20 seeing this impact. When a person is employed, they are
21 a lot happier, and the family is a lot happier.

22 There are a lot of negative impacts also, but we can
23 get through and work on these negative impacts. There
24 will always be negative impacts or negative situations
25 in every community, but we are happy to have employment.

26 What I am trying to say is you have to make a

1 decision after your meetings, after your hearings. As a
2 person from Baker Lake that is making -- it should be in
3 a faster manner, and we are starting to be impatient
4 with the development that's going on. And if the
5 project was discontinued, it would impact the people of
6 Baker Lake, and people are seeing that their family is
7 employed, their children are employed, and their
8 grandchildren are employed, and they are much happier.
9 And we know that the environment will be protected, and
10 it will be monitored through the project.

11 I think we should start putting this development a
12 little bit faster and make the decisions as quickly as
13 possible.

14 THE CHAIR: Thank you. We are starting
15 to make decisions. We will be making a decision very
16 soon.

17 Are there any more comments from Baker Lake?

18 MR. NIVIATSIAQ: Eugene Niviatsiaq.

19 THE CHAIR: Excuse me, Bob is talking.

20 Just hold on. Bob, go ahead?

21 MR. HANSON: Thank you, Mr. Chairman. I
22 would just like a 10-minute break so we could have a
23 consultation with the Board and the Staff for about 10
24 minutes. Maybe everybody can grab a coffee, and then
25 somebody can -- yourself and Dionne can talk to me
26 directly on the phone, please.

1 THE CHAIR: Okay, please come back after
2 10 minutes. We'll have short break. Thank you. We
3 have to talk with our -- consult with our other Board
4 Member. He's located in Iqaluit.
5 (BRIEF ADJOURNMENT)
6 THE CHAIR: Don is carrying the
7 microphone, portable microphone, and he'll pass the
8 microphone to Eugene Niviatsiaq. You may go ahead.
9 MR. NIVIATSIAQ: Thank you. My comment was
10 related to the issue to the lake, where the lake -- one
11 of the lakes is going to be dewatered, and it contains
12 fish. There's a fish habitat in there. How are they
13 going to handle that to remove the fish?
14 Once that it has been dewatered and after they have
15 removed the fish, once they dewater the lake, they will
16 be -- the vehicles will be transporting back and forth,
17 and then normally all the vehicles or the trucks that
18 they use for equipment, they all use fuel and grease,
19 and that can contaminate the land where the lakes were.
20 Are they going to be cleaned as they go? Are they
21 always going to make sure there's no oil spill during
22 the operation the whole time? For example, it's only
23 normal to see a vehicle, break down vehicles. Such as
24 big heavy-duty equipment, they tend to break down
25 sometimes. Those things do happen, and once they get
26 stalled, and they tend to contaminate the land or the

1 environment.

2 MR. CONNELL: Thank you, Mr. Chairman. I
3 think there's two points. Let me break the question
4 into two parts.

5 The fish part of the lake: The way the fish would
6 be removed -- there's actually -- I can use this as an
7 advertisement -- we actually are having a community
8 meeting with HTO tomorrow night that we're asking the
9 community to come to, to actually talk about that whole
10 process of just removing the fish.

11 But to give you a quick precis tonight, what we
12 would do is prior to dewatering, we will put a net up
13 across that piece of the lake, and then we will net the
14 fish and remove the fish from the lake. And there's an
15 entire fishing protocol as to how we recover the fish
16 from the lake.

17 It is our intent that that will be done using local
18 people, that we will hire local people to come and do
19 the work. It's not something that the mining company
20 will do. We'll hire people from the local community to
21 do that. And so we definitely would like -- we'd like
22 to see the community involved in how that gets done to
23 make sure it's done in an appropriate manner and that we
24 don't waste the fish itself, that we can make benefit of
25 that.

26 With respect to the second part of the question,

1 which is the question of breakdowns of equipment, fuel
2 spills, yes, we know when you run heavy equipment and
3 you're running mining equipment, it does break down.
4 It's our job to have people on the site to -- who can
5 mechanically service that equipment, keep it in good
6 condition, and make sure that we minimize the amounts of
7 time we have breakdowns.

8 The other thing we will do in order to minimize the
9 potential for contamination is make sure that we keep
10 our vehicles only on the designated roadways, not
11 letting them go off those roadways so that any of the
12 potential for harm is contained within that one site,
13 kept away from the land and from water.

14 We can't guarantee that nothing will happen. What
15 we have to do is have in place the procedures to address
16 an accident or a spill, and we do have those procedures.
17 We're building upon those and improving them so that we
18 can address accidents and things that do happen.

19 And this is why we have the landfarm on site so that
20 we have a place to take the soil that gets contaminated
21 with that fuel, take it back up to the mine site to be
22 able to clean it. We're doing those things to try and
23 minimize our impact outside our footprint, make sure
24 that we address accidents and things that happen.

25 THE CHAIR: Thank you. Our Board Member
26 Hanson has pointed out to the Board, and I agree, that

1 the statement made by Mr. David Simailak required a full
2 response.

3 This Board is carrying out its responsibilities
4 pursuant to its obligation under the Nunavut Land Claims
5 Agreement to ensure that the freshwaters are protected
6 for our children and our children's children. The Board
7 has worked with Agnico to survey this process, but it
8 will do so only in accordance with the application.

9 So (Inuktitut spoken).

10 MR. TOOKOOME: The fish that will be
11 transferred, I feel that they will be transported, some
12 will die from being transported. It would be better if
13 you do not bring the dead fish to the communities. And
14 when you're dewatering the lake, I don't know how you
15 will dispose of the dead fish. That's my concern.

16 MR. CONNELL: Thank you, Mr. Chair.

17 That is the kind of subject we're trying to get
18 support or our -- community input from. One of the
19 things we've talked about doing is buying freezers,
20 taking them up to the mine site so that the bigger fish
21 that we recover would be immediately killed, cleaned,
22 and put into a freezer, and then we could use that as a
23 food source. Or do we not do that? And those are the
24 kinds of things we're looking for community input on.

25 We have put together a plan. We're now trying to
26 seek to make -- to see if our plan is sound or whether

1 it should be changed or adapted, and it's this kind of
2 input that we're looking for.

3 We don't think -- as you said, we don't think it's
4 viable to try and bring live fish down to the community.
5 That's just two hours, four hours. It's not going to
6 work, and so we're looking for alternative ways. Are
7 these fish of value, or should we try to bring them
8 down? We just want to make sure that what we do in
9 causing this harm is done in an appropriate fashion and
10 not a wasteful fashion.

11 THE CHAIR: Thank you. Are there any
12 more comments from the local people?

13 MS. IYAGO: The lake that will be --
14 that the fish will be transferred to, will that lake
15 have the same kind of food that the fish will eat in the
16 lake that has been transferred from? I would like an
17 answer before I express my other concerns.

18 MR. CONNELL: Thank you, Mr. Chairman.
19 Thank you for the question.

20 Yes, the intention is -- we recognize that the fish
21 cannot be moved very far. The fish are to be moved from
22 the piece of the lake that we're dewatering and put into
23 the piece of the lake that's not being dewatered. So
24 they're actually going into the same lake or the
25 adjoining lake so that they are in the same water
26 system. We're not taking them to another lake or

1 farther away. We're putting them into the piece of the
2 lake that we're not dewatering.

3 THE CHAIR: Do you have more comments?

4 MS. IYAGO: While we are on the subject,
5 the climate is starting to change. It has changed from
6 before, and wildlife is starting to change and fish, and
7 when we have fish, it tastes different now. Will they
8 be okay?

9 We have been asking this question since last year,
10 so that we also know as community, we would like to find
11 out what the results have been. We did not get any
12 response from the research that has been done on fish
13 that has been transferred or research that have been
14 done. I support the project -- I mean, I support my
15 descendants. I want to see that they are okay.

16 When there was a spill here, the water changed, and
17 there was not as much water. Will we have enough water
18 in there; the lake is drained from different lakes or
19 waters, if it will be monitored and protected? I hear
20 that they are not well-protected and monitored, and I
21 have been heard that barges will be fine. Will they be
22 monitored and -- as in today, the fish and wildlife,
23 caribou are different now.

24 We have to speed up, but we also have to have
25 answers. When I was a member of the Hamlet Council, I
26 have heard these issues before, and we still hear these

1 same issues, and so I would like to see what the -- I
2 had heard that the road was going to be built in --
3 three years ago. We have to look out for our young
4 people. I would like to see what is slowing down the
5 project.

6 I'm not sure if I am clear with my comments. Maybe
7 some people have seen that I have made comments to speed
8 up the project, and I was not involved in going to see
9 the project. When will the transfer of fish be worked
10 on?

11 I will stop here for now, and I'll speak tomorrow.
12 MR. CONNELL: So a lot of questions, and
13 I'll try to do my best to remember what was said and to
14 be responsive.

15 To date, we have not moved any fish yet. That is
16 something we need permission to do. It is our intent to
17 do the first fish movement, if we get our licenses, this
18 summer. It would start after July 1st. Sometime in
19 July and August we'll be moving those fish, and we would
20 have to do another program again in 2009 and again in
21 2010 for the different bodies of water. So to date, we
22 haven't done any fish, and so we don't have any
23 monitoring data to show what's happened with moving fish
24 because we haven't done it yet.

25 With respect to monitoring of water, part of this
26 process, we're doing it with the Water Board, and we

1 spent a lot of discussion, a lot of time, and there are
2 plans within the process to ensure that the license we
3 get will have a good monitoring program in it. It will
4 have an extensive monitoring program to look after all
5 pieces of the project that have an impact on water, and
6 those will be a requirement for the company to do that.
7 And the information that comes from that monitoring will
8 go to the Water Board, and it will be made into the
9 public domain at that point so that everybody can look
10 at that information, so that it's publicly there.

11 As well, because the Kivalliq Inuit Association owns
12 that land, in their negotiations with us, they too have
13 the same kind of concerns that you've expressed about
14 the effects on the water and the land, and so they too
15 have in this compensation arrangement ensured that
16 monies are being provided for them to also do some
17 monitoring to ensure that we are doing appropriate --
18 that we aren't -- that what we said was going to happen
19 is what's happening, and so that if we're not -- if harm
20 is occurring, we can stop and make changes to stop that
21 harm occurring.

22 With respect to the process, we are trying to move
23 the project forward as fast as we can. We hope that we
24 are near the end, that this is -- this summer we will
25 actually see the start of construction, but we have to
26 go through the process that's in front of us. It has to

1 involve all people and all -- involvement so that all of
2 people's concerns are put on the table and addressed,
3 and we are following that process to get into production
4 as soon as we can.

5 THE CHAIR: Thank you. Any more
6 comments?

7 MR. MANERNALUK: I will ask you a question in
8 Inuktitut. First of all, I will ask in English first
9 and in Inuktitut. Water licencing, if water licensing
10 is a strong issue, what would happen if one of the
11 tailings ponds or any lakes or any little streams be
12 contaminated? What are the percentage of the costs of
13 the water licensing? Would that water licensing be
14 changed to a different number, or is it going to be the
15 same? Thank you.

16 My question was if there's going to be any damage --
17 it's regards to the same question I had earlier -- is
18 there going to be any changes made?

19 MR. CONNELL: Thank you, Mr. Chairman.
20 That's a good question to ask.

21 A lot of discussion around water licensing is
22 looking at making sure that the facilities that are
23 built, the systems that are put in place, we do as much
24 as possible to make sure that those accidents don't
25 occur by thinking about what can happen now and making
26 sure we've got plans to address it.

1 And I think you had some specific concern about what
2 would happen, say, if the tailings escaped. In this
3 case if our tailings were to escape, they would actually
4 flow -- as you can see, they're right on the edge of the
5 open pit. They would actually flow into the open pit.
6 That was one of the reasons for wanting to put the
7 tailings as close as they are so that we would be able
8 to keep the contamination from exiting the site and
9 going off site.

10 The Water Board itself contains stringent conditions
11 that we have to live with. It doesn't address
12 compensation for a harm that was done. That is a
13 subject that comes elsewhere under the legislation and
14 also through the compensation agreements, but the water
15 license works to prevent that happening, monitoring that
16 it happens, and puts all of its focus on prevention
17 rather than focussing on what we would do if it happens.

18 So we're spending our efforts trying to make sure
19 that we think of all the potential things that can go
20 wrong and put in place the things to stop those from
21 causing the damage that could go off the site.

22 THE CHAIR: Thank you. Any more
23 comments? Comments to residents? You have an
24 opportunity.

25 MR. NIVIATSIAQ: I have very short question
26 or comment here. Our Elder had said -- commented that

1 once the fish has been removed, and are the Elders going
2 to be included in monitoring the fish habitat? Thank
3 you.

4 MR. CONNELL: Thank you, Mr. Chairman.

5 The purpose of our meeting tomorrow was to try and
6 engage through the Hunters and Trappers Organization
7 with the community, with the appropriate people in the
8 community to address that issue. I've been talking too
9 much today, sorry about that.

10 So, yes, we're trying to find ways to engage the
11 community and find the appropriate people to help us
12 make those right choices as to how we handle those fish
13 and how we handle the fish-out, and so we have been
14 trying to arrange this meeting with the Hunters and
15 Trappers and with the community to address just that
16 matter, to try and find how we can best engage the
17 community so that when we put together the plan and do
18 it this summer, we do it with the best knowledge from us
19 all combined.

20 THE CHAIR: Thank you. Any more
21 comments?

22 MR. TOOKOOME: I don't have too many
23 comments here. And I see the mining company here
24 periodically. Sometimes people tend to do a sloppy job
25 when they give their presentation, and there was --
26 don't -- it really -- never happen -- when you tend to

1 give your presentation too fast, we tend to get
2 confused, cannot really follow at times, especially as
3 an Elder, and I would like to be able to communicate
4 with them better and a more slower pace. That's all I
5 have to say.

6 THE CHAIR: Thank you. Larry?

7 MR. CONNELL: Thank you for that advice,
8 and we'd like the opportunity maybe to, even on a
9 one-to-one basis, do it at a slower pace where we're not
10 bound with other people, and we'd gladly turn to that
11 with you.

12 THE CHAIR: Thank you. You have an
13 opportunity.

14 MS. MUELLER: Thank you, Mr. Chairman. My
15 name is Barb Mueller.

16 Recently in Baker Lake, and it's been raised in the
17 Legislative Assembly, concern about caribou drinking at
18 the sewage lagoon, and probably other wildlife drink and
19 eat at the sewage lagoon as well.

20 I'm wondering with your tailings pond, many of the
21 chemicals that are a byproduct of mining are more
22 dangerous than sewage. I'm wondering what measures you
23 would have intact or in place to protect wildlife, to
24 grizzly bears, foxes, lemmings, rabbits, the numbers of
25 wildlife that are in the Nunavut.

26 I understand that that area is quite prolific for

1 wildlife, and I think we have to look at, as people of
2 Baker Lake, making sure that there is wildlife for our
3 future generations to care, and especially the
4 sustenance hunters. Thank you.

5 THE CHAIR: Thank you. Larry?

6 MR. CONNELL: Thank you. We appreciate
7 that; we understand that that is a very sensitive and
8 very important issue.

9 Some of the steps we are taking to make sure that
10 our tailings impoundment doesn't have that kind of
11 contamination in it, the first one is the water that
12 leaves the mill before it ever goes to the tailings
13 pond, it goes through a water treatment plant, so that
14 we try -- we actually do destroy the cyanide, destroy
15 the metals and the other chemicals that are in it so
16 that the water going out to our tailings pond has been
17 treated before it actually goes in the pond, rather than
18 treated after. We treat it beforehand. We then recycle
19 the water back to our plant, so that there's not any of
20 water escaping our system.

21 We also very carefully placed everything in a very
22 tight space, as you can see from my slides, so that the
23 waste rock dump's on one side of the tailings, the pit's
24 on the other, the mill site's on the other so that we
25 have a close hub to avoid -- to try and get animals to
26 go around us and avoid us, rather than spread ourselves

1 out over the land, to try and prevent exactly that
2 because we've heard that many times and appreciate that
3 that is the necessary thing that we have to look out
4 for.

5 THE CHAIR: Thank you. Any more
6 questions, concerns?

7 MS. IYAGO: As a Board Member then for
8 the Hamlet, I talked about my same concerns over and
9 over again. I have heard this before. This has been a
10 long process, and also I had also brought some issues
11 related to -- health issues related and the fact that
12 the waste, where are they going to place the waste in
13 the tailings pond. I have not heard what would be the
14 result, what would harm the environment. I have not
15 heard the results out of this, what could harm us or the
16 environment, the habitat in that area.

17 THE CHAIR: Larry?

18 MR. CONNELL: Thank you, Mr. Chairman.
19 We've had lots of discussions with the Water Board in
20 this hearing today and over the past hearings.

21 The -- with specific to the tailings, the tailings
22 themselves are not -- none of the water that's in our
23 tailings pond is released to the environment. The water
24 that goes out to the tailings pond they recycle back
25 into the plant so that the whole life of the operation,
26 none of that water actually leaves the site. We just

1 keep using that water back into the plant, and
2 ultimately we lose a bunch of the water within the
3 solids themselves. So the tailings water itself to
4 protect health is actually kept at the site. We just
5 keep cycling that water rather than release it to the
6 environment. We take other waters that are less
7 contaminated, and those are the ones that we release so
8 that we maintain our water balance.

9 THE CHAIR: Thank you. Any more
10 comments? Any more comments?

11 MS. IYAGO: Could I have another
12 opportunity?

13 THE CHAIR: Yes, you may.

14 MS. IYAGO: We're being included here
15 for the first time. I'm in support of that. I'm very
16 pleased to see that. I'm not putting anyone down or any
17 individual or group.

18 When I was a member of the Hamlet Council, we did
19 lots of water-related issues, and the water is always
20 flowing from various rivers, from various lakes, and we
21 had spoken with the health staff, health workers about
22 our concerns. And I think I have heard this numerous
23 times and also people are not happy with some issues
24 related to water licensing.

25 It's good to see that you are saying you are going
26 to be monitoring, you're going to be mitigating issues

1 that might contaminate the land, the environment. I'm
2 glad to hear those positive words.

3 We preserve our water. We use -- it's part of our
4 life and us. What about the community people in Baker
5 Lake; are they going to be involved in monitoring as
6 part of the team?

7 I'm not talking against you or at anyone. I believe
8 in preserving and supporting the project. I will talk
9 with you again tomorrow, one-on-one with someone
10 tomorrow.

11 THE CHAIR: Larry?

12 MR. CONNELL: Thank you. No, I appreciate
13 your questions. They're -- this is an important issue.
14 It's good to bring them forward, and thank you very much
15 for that.

16 With respect to involvement in monitoring, we are
17 trying right now to hire local people to be part of our
18 environmental team so that they will participate and be
19 part of us. We -- already on the wildlife team, we have
20 people from the local community who are actually
21 participating, doing our monitoring with us. We plan to
22 continue to do that.

23 On top of that, all the results that we produce,
24 it's our intention to make them available so that people
25 will see the numbers and see the results because that's
26 the way we operate. We have to be transparent. If

1 we're going to build trust, it's only by sharing
2 information, and the water license will keep us to that.
3 On top of that, the Kivalliq Inuit Association
4 acting on behalf as a landowner, they too are going to
5 hold us to the fire when it comes to doing our
6 monitoring, making sure that that information is being
7 protective. And this is part of the agreement we have
8 with them is to ensure that there's checks on that
9 monitoring program, because as we all know, it's a very
10 important issue, and we have to work together to make
11 sure that this mine is successful but it also protects
12 the environment.

13 THE CHAIR: Thank you. Are there any
14 more comments?

15 MR. IKSIRAQ: Thank you, Mr. Chairman.
16 My question is we all use water; how much water will
17 you be utilizing? And you will probably be using water
18 every day. Will you be reusing the water, or will you
19 be transferring the water, the clean water after it's
20 cleaned?

21 THE CHAIR: Thank you. Larry?

22 MR. CONNELL: Thank you, Mr. Chairman.
23 The company will use water. The total amount of
24 freshwater that we have asked the Water Board to
25 authorize us to use is 0.7 million cubic metres per
26 year. And I know that's a number, so it doesn't help,

1 mean anything. That relates to 0.2 percent, less than
2 half of 1 percent of the volume of the Third Portage
3 Lake, the lake we're on, so it is a small amount of the
4 lake.

5 In order to keep that number small, what we are
6 doing is taking the process water that we use in the
7 plant, we're using some freshwater, but we're recycling
8 the majority of our water from our tailings back to the
9 plant. So we keep re-using that water to minimize the
10 amount of freshwater we use.

11 The same with the dewatering; our intent is to
12 dewater and remove that water before we contaminate it
13 so that that water too is not lost; it's moved before we
14 do any mining or any activity in those areas.

15 THE CHAIR: Thank you. The NWB is aware
16 that AEM has scheduled a community session on a fish-out
17 plan tomorrow night. I would like to advise the public
18 that tomorrow night's meeting is regulated by DFO, not
19 NWB. So there's another opportunity, forum tomorrow
20 night.

21 Are there any more comments?

22 MR. ARNAUYUQ: Thank you, Mr. Chairman.
23 Welcome to Baker Lake. My question -- that will be
24 drained into, I'm not sure how big it will be. It will
25 freeze up, and it freezes up faster up in the north.
26 There might be an occasion where it will freeze up

1 before it is cleaned. Will it be okay when it starts
2 melting? And in the springtime, we freeze a lot faster
3 and a lot longer than Saskatoon and Quebec. The lake or
4 water that you will have to clean will probably freeze
5 before it's completely cleaned. This is my question.

6 Thank you, Mr. Chairman.

7 THE CHAIR: Larry?

8 MR. CONNELL: Thank you, Mr. Chairman.

9 Yes, you sure do freeze up much faster than northern
10 Quebec or Saskatoon, and we know that. We have taken
11 that into account in our plans. It really means that we
12 have a very short summer season in which to build and
13 construct, and that's why we've come to the Board and
14 asked for the speed with which we have because we know
15 we've got a short summer season.

16 The other thing is that when we discharge water from
17 our system, we only discharge that during the open-water
18 year, the open-water months, a very short season. When
19 it's frozen, we don't discharge any longer. And so for
20 the ongoing operational life, the discharge from the
21 mine will only take place during the summer months.
22 Nothing during the winter months.

23 The only exception to that is, of course, in this
24 dewater, where we're removing the dewatering water, that
25 would take place into the fall and would go partway into
26 the winter before it was finished, but in that case,

1 we're basically just taking water from below ice and
2 putting it below ice in the other lake.
3 THE CHAIR: Thank you. Now the time is
4 9:00, and it's been a long day today here in this room
5 since this morning. There's another opportunity
6 tomorrow night for DFO to respond to this community
7 session. So I would like to call this -- to close this
8 community session now, but -- because there will be
9 another opportunity for the public to express your
10 concern tomorrow night.
11 But before we do that, Larry?
12 AEM PRESIDENT ADDRESSES COMMUNITY:
13 MR. CONNELL: Thank you, Mr. Chairman.
14 Just one short thing, and we appreciate your time, our
15 company president, Mr. Ebe Scherkus, has been sitting in
16 the audience, the president of Agnico-Eagle. He's been
17 listening to your words tonight, and I think he would
18 like to say a few words just as a thanks before we
19 close.
20 MR. SCHERKUS: Thank you, Mr. Chairman.
21 Thank you, Board Members, thank you, Staff, thank you
22 population of -- citizens of Baker Lake.
23 I agree with the Chairman that it has been a very
24 long day, but I also believe it's been a very fruitful
25 day.
26 I've been involved with this project for about a

1 year-and-a-half. I've been involved with the mining
2 company, Agnico-Eagle Mines, for over 23 years, and I
3 think over the past year-and-a-half and especially today
4 by all of the comments, concerns expressed by the Elders
5 that we still have a lot to learn, but I can also assure
6 you that our company has got three things that we are
7 very proud of and things that I personally am very proud
8 of.

9 I think number one is our people. We have over a
10 thousand people that work for us in northwestern Quebec.
11 When I started with this company 23 years ago, we only
12 had seven people. I can also assure you that a lot of
13 our people have stayed with us for over 20 years, and so
14 for them to stay with us for 20 years, that speaks to
15 what we strongly believe in.

16 I think the second thing is trust. We have to earn
17 your trust. There's a lot of words, there's a lot of
18 commitments, there's a lot of study, there's a lot of
19 input, but the only way that we can really earn your
20 trust is by our actions and by delivering. And I think
21 as a company, we've made that commitment, and we will
22 continue to make that commitment, but we are not
23 perfect. We will make mistakes, and there will be
24 things that will happen.

25 But I think the key is when there is a mistake or
26 when something happens, that leads me to the third

1 thing, which is transparency, honesty, and integrity.
2 If there is something that were to happen or happens as
3 a company, we have to notify the proper authorities, and
4 I think, most importantly, we have to show how we are
5 going to take care of it and resolve it.

6 I think there's an amazing future here in Nunavut.
7 We're a company that's been around for over 35 years.
8 Part of our company's been around for over a hundred
9 years. When we make a commitment to a region, it's not
10 on the basis of here today, gone tomorrow. And we are
11 making that commitment to Nunavut, we're making it to
12 the citizens of Baker Lake, and I think, most
13 importantly, we're making it to the Elders and to the
14 new generation that's coming.

15 So, you know, it's been a long night. Thank you for
16 your attention. There's been a lot of input. I've
17 learned a lot, and we will continue to move forward. I
18 think this is a very valuable project. It's a precedent
19 for Baker Lake. It's a precedent for Nunavut. So I
20 look forward to tomorrow and the coming days, and I also
21 look forward to a very successful development project
22 and a very successful mining operation that will stand
23 as an example for the rest of the Nunavut and Canada to
24 follow.

25 So thank you for your time, good evening, and
26 hopefully Montreal won.

1 THE CHAIR: We will start again at 9:00.
2 (WHICH WAS ALL THE EVIDENCE TAKEN AT 9:02 P.M.)
3

4 I, Karoline Schumann, Court Reporter, hereby certify
5 that I attended the above Hearing and took faithful and
6 accurate shorthand notes, and the foregoing is a true
7 and accurate transcript of my shorthand notes to the
8 best of my skill and ability.

9 Dated at the City of Calgary, Province of Alberta,
10 this 24th day of April, 2008.
11
12
13

14 Karoline Schumann, CSR(A)
15 Official Court Reporter
16
17
18
19
20
21
22
23
24
25
26

1	EXHIBITS	
2		PAGE NUMBER:
3	EXHIBIT NO. 1:	
4	ELECTRONIC COPY OF "AEM PUBLIC HEARING PRESENTATION_R3",	
5	SUBMITTED APRIL 2008 BY LARRY CONNELL.....	117
6	EXHIBIT NO. 2:	
7	HARD COPY OF THE AEM PUBLIC HEARING PRESENTATION, APRIL	
8	2008, SUBMITTED BY LARRY CONNELL.....	117
9	EXHIBIT NO. 3:	
10	DRAFT ELECTRONIC COPY OF MEADOWBANK GOLD PROJECT	
11	INCINERATOR EQUIPMENT SPECIFICATIONS, IDENTIFICATION	
12	NUMBER MDVSM268, SUBMITTED BY LARRY CONNELL.....	117
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
26		
