

NUNAVUT WATER BOARD

Whale Tail Pit Project Type "A" Water Licence  
Application No. 2AM-WTP--- and Consequential Amendments  
to Water Licence 2AM-MEA1525

---

PUBLIC HEARING/COMMUNITY SESSION

VOLUME 1

---

Baker Lake, Nunavut

September 26, 2017

TABLE OF CONTENTS

Description	Page
September 26, 2017	1
Opening Remarks by the Chair	9
Roll Call	23
Motions/Objections	27
JAMIE QUESNEL, RYAN VANENGEN, CANDACE RAMCHARAN, ERIKA VOYER, MICHEL GROLEAU, VALERIE BERTRAND, Affirmed	28
Presentation by Agnico Eagle Mines Limited (Introduction and Overview)	33
The Public Questions Agnico Eagle Mines Limited	48
Nunavut Water Board Staff Questions Agnico Eagle Mines Limited	49
Presentation by Agnico Eagle Mines Limited (Public Participation)	50
Comments by Kivalliq Inuit Association	59
Presentation by Agnico Eagle Mines Limited (Waste Disposal and Management)	60
Resumed Presentation by Agnico Eagle Mines Limited	79

TABLE OF CONTENTS

Description	Page
Nunavut Water Board Staff Questions Agnico Eagle Mines Limited	89
Presentation by Agnico Eagle Mines Limited (Water Use and Management)	94
Nunavut Water Board Questions Agnico Eagle Mines Limited	132
Presentation by Agnico Eagle Mines Limited (Abandonment, Reclamation, Closure, and Security)	138
Comments by Kivalliq Inuit Association	145
Indigenous and Northern Affairs Canada Questions Agnico Eagle Mines Limited	145
Presentation by Agnico Eagle Mines Limited (Accidents and Malfunctions)	149
Presentation by Agnico Eagle Mines Limited (Management Plans and Monitoring Programs)	153
Indigenous and Northern Affairs Canada Questions Agnico Eagle Mines Limited	168
Environment and Climate Change Canada Questions Nunavut Water Board Staff	169
Nunavut Water Board Staff Questions Agnico Eagle Mines Limited	171

TABLE OF CONTENTS

Description	Page
Presentation by Agnico Eagle Mines Limited (Licence Amendment)	172
Comments by Kivalliq Inuit Association	180
Indigenous and Northern Affairs Canada	181
Questions Agnico Eagle Mines Limited	
Nunavut Water Board Staff Questions Agnico Eagle Mines Limited	184
Opening Remarks by the Chair	187
Presentation by Nunavut Water Board Staff	193
Indigenous and Northern Affairs Canada	202
Questions Nunavut Water Board Staff	
Presentation by Agnico Eagle Mines Limited	206
Resumed Presentation by Agnico Eagle Mines Limited	208
Comments by the Public	218
LOUIS MANZO, ALAN SEXTON, Affirmed	221
Presentation by Kivalliq Inuit Association	221
KAREN COSTELLO, Affirmed	224
MELISSA PINTO, TRISH AUSER, Affirmed	233
Presentation by Environment and Climate Change Canada	233
MARK D'AGUIAR, LAURA WATKINSON, Affirmed	238

TABLE OF CONTENTS

Description	Page
-------------	------

Presentation by Fisheries and Oceans	239
--------------------------------------	-----

Canada	
--------	--

The Public Questions Fisheries and Oceans	251
---	-----

Canada	
--------	--

Closing Remarks by the Chair	260
------------------------------	-----

Certificate of Transcript	262
---------------------------	-----

List of Exhibits	263
------------------	-----

---

Proceedings taken at Baker Lake, Nunavut

---

September 26, 2017

NUNAVUT WATER BOARD

L. Toomasie	Chair of Hearing
-------------	------------------

R. Mrazek	Panel Member
-----------	--------------

A. Ningark	Panel Member
------------	--------------

NUNAVUT WATER BOARD STAFF

S. Autut	Executive Director
----------	--------------------

R. Dwyer	Licencing Administrator
----------	-------------------------

D. Hohnstein	Director of Technical Services
--------------	--------------------------------

1 K. Kharatyan Acting Manager of Licensing,  
 2 Senior Technical Advisor  
 3 B. Kogvik Director of Board Administration  
 4 and Communication  
 5 T. Meadows Legal Counsel  
 6  
 7 NUNAVUT IMPACT REVIEW BOARD STAFF  
 8 S. Granchinho Manager of Impact Assessment  
 9  
 10 AGNICO EAGLE MINES LIMITED/APPLICANT  
 11 M. Groleau Geotechnical Coordinator  
 12 J. Quesnel Environmental Superintendent  
 13 C. Ramcharan Community Coordinator  
 14 R. Vanengen Whale Tail Project Lead  
 15 E. Voyer General Supervisor, Environment  
 16 V. Bertrand Consultant (Golder Associates)  
 17 M. Julien Consultant (Golder Associates)  
 18 C. Prather Consultant (Golder Associates)  
 19 C. Kowbel Legal Counsel  
 20  
 21 INTERVENORS  
 22  
 23 DEPARTMENT OF JUSTICE  
 24 S. Gruda-Dolbec Legal Counsel  
 25  
 26 ENVIRONMENT AND CLIMATE CHANGE CANADA

1	T. Auser	Water Quality Expert
2	M. Pinto	Senior Environmental
3		Assessment Coordinator
4		
5	FISHERIES AND OCEANS CANADA	
6	M. D'Aguiar	Senior Fisheries Protection
7		Biologist
8	L. Watkinson	Fisheries Protection Biologist
9		
10	INDIGENOUS AND NORTHERN AFFAIRS CANADA	
11	A. Belanger	Water Policy Analyst
12	K. Costello	Director of Resource Management
13	I. Parsons	Regional Coordinator,
14		Project Lead
15	T. Brown	Consultant (Arcadis)
16		
17	KIVALLIQ INUIT ASSOCIATION	
18	J. Hart	IIBA Coordinator/Lands Inspector
19	L. Manzo	Director of Lands
20	J. Tulugak	Land Use Inspector
21	A. Sexton	Consultant (Geology and Mining
22		Development)
23		
24	INTERPRETERS/TRANSLATORS	
25	A. Alooq	Inuktitut Language Translator
26	B. Kogvik	Inuktitut Language Translator

1  
2 E. Royal, CSR(A) Official Court Reporter

3  
4 W. Nicoll Sound Technician

5  
6 (PROCEEDINGS COMMENCED AT 9:11 AM)

7 THE CHAIR TOOMASIE: Good morning, everyone. The  
8 public hearing shall start now.

9 My name is Lootie Toomasie. I'm the Chair of the  
10 Nunavut Water Board, and I'll be chairing this Panel,  
11 Water Board Panel, conducting this public hearing.

12 On behalf of the Nunavut Water Board, I would like  
13 to welcome everyone to this public hearing in respect  
14 of applications submitted by Agnico Eagle Mines Limited  
15 for a new Type A water licence seeking authorization  
16 for the use of water and deposit of waste associated  
17 with the mining undertaken at the Whale Tail Pit and  
18 application for potential consequential amendments to  
19 an existing water licence, 2AM-MEA1525, issued for  
20 Meadowbank Gold Mine. These applications are in  
21 relation to Agnico Eagle Mines Limited's proposal to  
22 construct a gold mine at the Whale Tail Pit and to use  
23 existing gold processing infrastructure at the  
24 Meadowbank Gold Mine to process the ore from the Whale  
25 Tail Pit.

26 Before we proceed any further with the hearing, we



1 would like to begin with an opening prayer. Please  
2 stand for opening prayer.

3 (OPENING PRAYER)

4 Opening Remarks by the Chair

5 THE CHAIR: On behalf of the Nunavut Water  
6 Board, I welcome you to the community of Baker Lake.

7 Now to provide some background and set the stage  
8 for the hearing, the Nunavut Water Board, which I shall  
9 refer to as "the Board" or "the NWB", is an institution  
10 of public government created under Article 13 of the  
11 Nunavut Agreement. The NWB is responsible for the use,  
12 management, and regulation of freshwater in the Nunavut  
13 settlement area.

14 The purpose of this public hearing is to review  
15 the applications filed by Agnico Eagle Mines Limited --  
16 I may refer to as "Agnico Eagle" or "applicant" -- a  
17 new Type A water licence to authorize the new water  
18 uses and waste deposits associated with proposed gold  
19 mining at the Whale Tail Pit as well as an application  
20 for amendments to the existing Type A water licence to  
21 reflect changes at the Meadowbank mine site required to  
22 process the additional ore from the Whale Tail Pit.

23 These proceedings are being conducted in accordance  
24 with the Nunavut Water -- Nunavut Agreement -- sorry --  
25 the Nunavut Agreement and the NWB's legislation, the  
26 Nunavut Waters and Nunavut Surface Rights Tribunal Act.

1           As set out in Article 13, Section 13.3.6 of the  
2   Nunavut Agreement and Section 29 of the Nunavut Waters  
3   and Nunavut Surface Rights Tribunal Act, the Board has  
4   delegated its power to dispose of all matters related  
5   to the processing of the application for the new Type A  
6   Licence Number 2AM-WTP and then blank -- will be the  
7   new number once it's passed -- and potential  
8   consequential amendments to the existing 2AM-MEA1525  
9   licence, including the conduct of this public hearing,  
10   to this three-person Panel of the Board, which is  
11   referred to as the Panel 17 -- "P17 --" sorry "-- Whale  
12   Tail Pit Panel".

13           For those of you who were in attendance at last  
14   week's final hearing conducted by the Nunavut Impact  
15   Review Board, you may be wondering why the Nunavut  
16   Water Board is conducting our public hearing so soon  
17   after the Impact Review Board final hearing concluded  
18   and before the NIRB has issued their recommendations  
19   about whether or not the Whale Tail Project Proposal  
20   should be allowed to proceed. This public hearing is  
21   being conducted at this time as part of the coordinated  
22   review of the project proposal by the Nunavut Impact  
23   Review Board and consideration of water licencing  
24   requirements by the Nunavut Water Board. The  
25   coordinated process means that the Nunavut Water Board  
26   will conduct its public hearing over the next two days

1 but that the Nunavut Water Board's public hearing  
2 record will not be closed and the file will not be  
3 remitted to the Panel for decision-making until after  
4 the Nunavut Impact Review Board has issued their report  
5 and recommendations about whether the Whale Tail Pit  
6 Project Proposal can be allowed to proceed to the  
7 Minister of Indigenous and Northern Affairs Canada and  
8 the Minister has made her decision to accept or reject  
9 NIRB's recommendation.

10 If the Nunavut Impact Review Board recommends and  
11 the Minister accepts that the project be allowed to  
12 proceed, the Nunavut Water Board would then give all  
13 parties one final opportunity to provide written  
14 comments and updated information about the water  
15 licence applications. Once the NWB has received all  
16 information and closes the public hearing record, the  
17 Board would remit the file to the Panel for  
18 decision-making.

19 However, if the Nunavut Impact Review Board  
20 recommends and the Minister accepts that the project  
21 should not be allowed to proceed, then the Nunavut  
22 Water Board will not consider the applications further  
23 and the Panel would not issue a decision in respect of  
24 the applications.

25 I will be chairing this Panel. And with me today,  
26 as members of the Panel, are the Board members: Ross

1 Mrazek on my right; on my left is Alex Ningark.

2 Several staff members who have contributed to the  
3 NWB's administration and technical review of the  
4 application are present along with legal counsel to the  
5 NWB, and I will introduce the individuals in  
6 attendance: Stephanie Autut, executive director; David  
7 Hohnstein, director of technical services; Ben Kogvik,  
8 director of Board administration and communication;  
9 Karen Kharatyan -- I really had a hard time pronouncing  
10 this name. Sorry about that -- acting manager of  
11 licencing, senior technical advisor; Richard Dwyer,  
12 licencing administrator -- he's at the back, by the  
13 door -- and Teresa Meadows, legal counsel to the Board.

14 We also have with us Sophia Granchinho, manager of  
15 impact assessment with the Nunavut Impact Review Board.  
16 Sophia is joining us today as part of a coordinated  
17 review of the project proposal by the Nunavut Impact  
18 Review Board and consideration of water licencing  
19 requirements by the Nunavut Water Board.

20 In addition, we have two interpreters available  
21 for simultaneous interpretation: Ben Kogvik, in-house  
22 interpreter to the Board; and Alexander Alooq, who is  
23 from Baker Lake.

24 For audio support, William Nicoll from the Nunavut  
25 Impact Review Board is helping us out with the NIRB  
26 audio system. If you experience any difficulties with

1 your headsets, William is able to assist you.

2 To ensure an accurate record of the proceeding is  
3 kept, we have with us a court reporter, Elizabeth Royal  
4 from Dicta Court Reporting Inc. To assist our court  
5 reporter and our interpreters, we ask that all parties  
6 please state their names prior to speaking, speak  
7 clearly and at a reasonable pace, and avoid the use of  
8 abbreviations.

9 In the past, parties in other proceedings have  
10 approached the media prior to the release of the  
11 Board's decision, suggesting comments about what the  
12 Board is doing -- going to do either procedurally or in  
13 terms of final results. Since the Board cannot comment  
14 on pending matters, either by confirming or denying  
15 accuracy of statements by others to the media, the  
16 Board would appreciate if all parties refrain from any  
17 such comments that may imply a certain action or  
18 decision by the Board. Board members will not discuss  
19 the hearing or the matters before the Board with any of  
20 the parties or the media.

21 If you have questions regarding the Board and its  
22 practices or procedures, please speak with the  
23 executive director; she will assist you.

24 Prior to identifying and introducing all of the  
25 parties in attendance today, I will provide a brief  
26 history of the applications that are before the Board.

1           In terms of pre-licencing requirements, on  
2     June 17, 2016, the NWB received correspondence from the  
3     Nunavut Impact -- sorry -- Nunavut Planning Commission  
4     that, subject to the project complying with the  
5     conformity requirements set out in the plan, the  
6     project proposal conforms to the Keewatin Regional  
7     Land Use Plan. The project proposal was then forwarded  
8     to the Nunavut Impact Review Board, NIRB, for  
9     screening.

10           On July 21, 2016, the Nunavut Impact Review Board  
11     provided its determination that the proposed Whale Tail  
12     Pit Proposal has not been assessed as part of the  
13     original Meadowbank gold project and, due to its  
14     location outside of the original Meadowbank project  
15     footprints, would require a separate screening  
16     assessment under the Nunavut Planning and Project  
17     Assessment Act, NuPPAA. On August 18, 2016, NIRB  
18     issued a screening decision report indicating that the  
19     proposal -- proposed project required a review under  
20     Article 12, Part 5 or Part 6 of the Nunavut Agreement  
21     and Part 3 of the NuPPAA.

22           As I mentioned earlier, last week on September 19  
23     to 22, the NIRB conducted its final hearing in respect  
24     of its review of the Whale Tail Pit Project Proposal  
25     and is expected to issue the NIRB's final hearing  
26     report and recommendations within 45 days from the

1 close of the hearing on September 22.

2 I am going to move on to the application that is  
3 before the Board. As mentioned earlier, the  
4 applications that are currently before the Board are  
5 for a new Type A water licence, Number 2AM-WTP -- and  
6 the number will come out after that -- requested by  
7 Agnico Eagle Mines Limited for the proposed Whale Tail  
8 Pit Project as well as some potential amendments to the  
9 existing Type A water licence, Number 2AM-MEA1525.

10 The scope of the application for the new water  
11 licence is generally as follows: a new eight-year water  
12 licence for the development of Whale Tail Pit,  
13 including development and operation of one open pit and  
14 the following related facilities and infrastructure at  
15 Whale Tail Pit site: a personnel camp -- it's actually  
16 a main camp -- with accommodation buildings and  
17 maintenance and storage areas and helipad; crusher,  
18 power plant, explosive magazines; waste rock and  
19 overburden storage facility; ore stockpiling facility;  
20 haul roads and access roads; quarries and borrow pits;  
21 fuel storage facility, 0.5 million litre; landfill;  
22 water collection and treatment system, including  
23 potable water and sewage treatment plants; water  
24 management infrastructure, et cetera -- attenuation  
25 pond, water collection pond, water retention dikes and  
26 dams, water diversion channels, water passage culverts;

1 expansion of the existing 64.1-kilometre Amaruq  
2 exploration access road (Water Licence 8BC-AEA1525 --  
3 sorry -- it's -- I'll repeat: 8BC-AEA1525) to a haul  
4 road from 6.5 metres wide to 9.5 metres wide to  
5 accommodate increased traffic rates and haul trucks.

6 The following key documents pertaining to the  
7 Type A Water Licence Application Number 2AM-WTP--- were  
8 included within the Environmental Impact Statement  
9 Number 2, environmental overview and Type A water  
10 licence, submitted to the Nunavut Water Board on  
11 June 30, 2016: cover letter; Appendix 2-C, regulatory  
12 history; Appendix 2-H, completed application form for  
13 water licence amendment; Appendix 2-I, Nunavut Water  
14 Board conformity; Appendix 2-J, project design  
15 considerations; Appendix 2-K, record of compliance to  
16 the Water Board [sic]; and \$30 application fee.

17 The Environmental Impact Statement Volume 8,  
18 monitoring, mitigation, and management plans, also  
19 included numerous updated Meadowbank environmental  
20 management plans with addenda to reflect the addition  
21 of the Whale Tail Pit as well as some standalone plans  
22 specifically for the Whale Tail Pit site.

23 Between December 7, 2016, and January 27, 2017,  
24 Agnico Eagle Mines Limited added to the application  
25 materials provided to the Board by filing several  
26 updated plans, technical memoranda, and additional



1 information requested by intervenors during their  
2 technical review of the applications. On April 7,  
3 2017, Agnico Eagle Mines Limited also filed the Whale  
4 Tail Pit final technical comment responses with the  
5 Board.

6 From May through July 2017, Agnico Eagle Mines  
7 Limited filed a number of additional documents with the  
8 Board in fulfillment of their commitments provided to  
9 various intervenors at the joint NIRB/NWB technical  
10 meeting and prehearing conference on April 29 -- 28 --  
11 sorry -- April 28 to May 1 and 2, 2017, including a  
12 water licence application -- I think this April 28-19 --  
13 I think there's an error here. I think it's supposed  
14 to be read April 18 and 19 and May 1 to 2. Correct me,  
15 staff.

16 MR. HOHNSTEIN: Thank you, Mr. Chair. David  
17 Hohnstein.

18 Yeah, the dates there should be April 28th to 29th  
19 instead of 19th.

20 THE CHAIR: Thank you.

21 A water licence application for a new water  
22 licence filed on May 25, 2017; and an application for  
23 water licence amendment, also filed on May 25, 2017.

24 Copies of all submissions received in support of  
25 these applications as well as documents related to the  
26 file are available on the NWB's public registry and FTP

1 site.

2 In addition, our licencing administrator, Richard  
3 Dwyer, can make available for public review at this  
4 hearing electronic copies and paper copies of some of  
5 the key documents for the applications received to  
6 date. If you are interested in reviewing any of the  
7 documentation, ask Richard.

8 Now I am going to provide you with a brief  
9 overview of the procedural history for the application  
10 that is being -- before the Board, which captures only  
11 the major procedural steps:

12 July 8, 2016, NWB received an  
13 application from Agnico Eagle for amendments  
14 to Type A water licence for the Meadowbank's  
15 mine to include development of the Whale Tail  
16 Pit.

17 August 18, 2016, NWB received NIRB's  
18 determination that a separate  
19 assessment/review of the Whale Tail Pit  
20 Project should be conducted under the terms  
21 of Nunavut Agreement and Nunavut Planning and  
22 Project Assessment Act, NuPPAA.

23 October 3, 2016, NWB publicly  
24 distributed the application for a  
25 completeness check and initial technical  
26 assessment. NWB requested Agnico Eagle

1 confirm that the application could be  
2 considered by NWB as an application for a new  
3 Type A water licence and consequential  
4 amendments to the existing Type A water  
5 licence.

6 October 15, 2016, Agnico Eagle confirmed  
7 their acceptance of this approach.

8 November 3, 2016, NWB received comments  
9 related to the completeness/initial technical  
10 assessment of the application from  
11 Environment and Climate Change Canada, ECCC;  
12 Fisheries Canada -- Fisheries and Oceans  
13 Canada -- sorry -- DFO; and Indigenous and  
14 Northern Affairs Canada, INAC.

15 December 7, 2016, and January 26, 2017,  
16 AEM provided responses to the comments  
17 provided by intervenors in the context of  
18 their completeness review.

19 January 27, 2017, NIRB and NWB jointly  
20 distributed the Whale Tail Pit Project  
21 Proposal and water licence application for  
22 full technical review.

23 March 28, 2017, NWB received technical  
24 review comments from DFO, ECCC, INAC, and  
25 Kivalliq Inuit Association.

26 April 7, 2017, NWB received Agnico

1 Eagle's preliminary response to technical  
2 review comments.

3 April 28-29, 2017, NIRB and NWB held a  
4 joint technical meeting/prehearing conference  
5 in Baker Lake.

6 June 8, 2017, NIRB and NWB jointly  
7 released the TM/PHC decision. Subsequent  
8 NIRB and NWB hearings were scheduled for the  
9 weeks of September 18 and 25, 2017,  
10 respectively.

11 June 8 to July 14, 2017, Agnico Eagle  
12 provided submissions to fulfill the  
13 commitments agreed to at the TM/PHC.

14 July 17, 2017, NWB issued notice of  
15 public hearing.

16 August 14, 2017, NWB received final  
17 submissions for this public hearing from DFO,  
18 ECCC, INAC, and Kivalliq Inuit Association.

19 August 28, 2017, NWB received Agnico  
20 Eagle's final submission for this public  
21 hearing.

22 September 5, 2017, NWB received copies  
23 of presentations to be relied on at this  
24 public hearing and executive summaries from  
25 DFO, ECCC, INAC, Kivalliq Inuit Association,  
26 and Agnico Eagle.

1           September 8, 2017, NIRB [sic]  
2           distributed a reminder of public hearing and  
3           proposed agendas for this public hearing and  
4           community session.

5   Complete details on all submissions received in  
6   relation to the applications are available on the NWB's  
7   FTP site.

8           I will now move on to a list of issues to be  
9   addressed at this hearing as identified during the  
10   technical meeting and prehearing conference:

- 11           • integration between existing licences and  
12           the new licence
  - 13               ° scope of consequential amendments/  
14               modifications to existing Water  
15               Licence 2AM-MEA1525
  - 16               ° term of the licence
- 17           • water management
  - 18               ° scope of new Type A water licence  
19               applicable to the mining undertaking  
20               at Whale Tail Pit
  - 21               ° water balance for all withdrawal  
22               sources (Nemo Lake)
- 23           • water use
  - 24               ° annual water use amounts from each  
25               source, including changes to  
26               allocations of existing licenced water

1                   uses

- 2           • updated water quality predictions and
- 3           updates to water quality models
- 4           • water quality and flow monitoring
  - 5               ◦ speciation of arsenic to monitoring
  - 6               ◦ water quality modelling
  - 7               ◦ adaptive management
- 8           • wastewater and effluent discharge criteria
- 9           • water treatment
  - 10               ◦ water treatment methods selected for
  - 11               the undertaking, et cetera, arsenic
  - 12               and phosphorous -- if I didn't
  - 13               pronounce it properly, I'm sorry.
- 14          • waste rocks and tailings management
  - 15               ◦ design changes at the tailings storage
  - 16               facility at Meadowbank site
  - 17               ◦ waste rock non-potentially
  - 18               acid-generating and potentially
  - 19               acid-generating characterization
  - 20               ◦ thermal modelling for waste rock
  - 21               storage facility design
- 22          • mitigation measures
- 23          • management plans and reports
  - 24               ◦ content of plans
  - 25               ◦ updates to plans
  - 26               ◦ approval of plans

- 1           • closure and reclamation planning
- 2            ° pit and Whale Tail Pit [sic] north
- 3            basin water quality
- 4            ° tailing impoundment area water
- 5            quality
- 6            ° tailing storage and waste rock storage
- 7            facility cover
- 8            ° updates to the interim closure and
- 9            reclamation plan
- 10          ° security cost estimate
- 11         • water user compensation
- 12            ° confirmation from Kivalliq Inuit
- 13            Association, KIA, and Agnico Eagle
- 14            that there are no outstanding issues
- 15            of water user compensation

16       If I have missed any written submissions of any  
17       intervenor, please advise Stephanie Autut, the NWB  
18       executive director, as soon as possible.

19           If there are no concerns, I would like to move  
20       forward to a roll call. I will begin with the roll  
21       call with the applicant, Agnico Eagle Mines Limited.

22       Roll Call

23       MR. QUESNEL:               Thank you, Mr. Chair and the  
24       Board.

25           My name is Jamie Quesnel. I'm with Agnico Eagle,  
26       environmental superintendent for Agnico Eagle's Nunavut

1 projects and operations. To the far left, we have  
2 Michel Julien, vice president of environment with  
3 Agnico. To the right of Michel is Erika Voyer, general  
4 supervisor, environment, with Agnico Eagle. To the  
5 right of Erika is Candace Ramcharan, community  
6 coordinator. Next to Candace is Ryan Vanengen, the  
7 Whale Tail Project lead. To my right is our legal  
8 counsel, Christine Kowbel. And behind me, Michel  
9 Groleau, geotechnical coordinator for -- including  
10 water and tailings. Beside Michel is Valerie Bertrand  
11 with Golder, and beside Valerie is Colleen Prather with  
12 Golder Associates.

13 Thank you.

14 THE CHAIR: Thank you.

15 I will now go to local associations and  
16 representatives and intervening parties.

17 Kivalliq Inuit Association.

18 MR. MANZO: Thank you, Mr. Chairman.

19 Kivalliq Inuit Association -- my name is Luis  
20 Manzo, Kivalliq Inuit Association. And with me is Alan  
21 Sexton, our technical advisor; and two members of  
22 staff, Jeff Hart and Jeff Tulugak, with us also -- KIA  
23 member.

24 Thank you.

25 THE CHAIR: Thank you.

26 Fisheries and Oceans Canada.



1 MR. D'AGUIAR: Thank you, Mr. Chair.

2 Mark D'Aguiar with Fisheries and Oceans. I'm a  
3 senior fisheries protection biologist. And with me is  
4 my colleague Laura Watkinson, fisheries protection  
5 biologist with Fisheries and Oceans Canada.

6 Thank you.

7 THE CHAIR: Thank you.

8 Environment and Climate Change Canada.

9 MS. PINTO: Thank you, Mr. Chair.

10 Melissa Pinto, Environment and Climate Change  
11 Canada. I'm a senior environmental assessment  
12 coordinator. And behind me is Trish Auser, our water  
13 quality expert.

14 THE CHAIR: Thank you.

15 And then Indigenous and Northern Affairs Canada.

16 MS. COSTELLO: Good morning, Mr. Chair.

17 My name is Karen Costello. I'm the director of  
18 resource management with the Nunavut regional office of  
19 Indigenous and Northern Affairs Canada. I am joined by  
20 some colleagues in the back, and I just ask that they  
21 raise their hands as I introduce them.

22 Ian Parsons is the regional coordinator and  
23 project lead for this licence application review.

24 Amanda Belanger, our water policy analyst from our  
25 office in Gatineau. Indigenous and Northern Affairs  
26 Canada is also supported by our technical consultant,

1 Tony Brown from Arcadis.

2 And the Government of Canada overall is supported  
3 by Justice Canada, and I'd like him to introduce  
4 himself at this time.

5 MR. GRUDA-DOLBEC: Good morning, Mr. Chair.

6 My name is Simon Gruda-Dolbec from the Department  
7 of Justice.

8 THE CHAIR: Thank you.

9 If there are any intervenors not mentioned who  
10 would like to speak, please identify yourself.

11 I don't see hands; so we'll continue on.

12 It is our tradition to give respect to our elders.  
13 Therefore, at any time during the proceedings, an elder  
14 may speak to the application that is before the Board.

15 Are there any members of the general public who  
16 would like to identify themselves?

17 Are there any representatives from agencies,  
18 associations, et cetera, who have not submitted  
19 interventions but would like to speak?

20 Before proceeding with the hearing, I would like  
21 to request that, if you haven't already done so, all  
22 parties present register and sign in with the Richard  
23 Dwyer, NWB's licencing administrator, at the side table  
24 located at the entrance so the Board can -- so the  
25 Board can have a complete record of everyone in  
26 attendance.

1 I will now turn to the identification of any  
2 motions or any objections to the application that is  
3 before the Board.

4 Motions/Objections

5 THE CHAIR: Okay. I will now proceed with  
6 Item 8 of the agenda, the presentation by the  
7 applicant.

8 Maybe before we proceed with this, maybe a short  
9 break first would be better. At least ten-minute  
10 break.

11 Thank you.

12 (ADJOURNMENT)

13 THE CHAIR: Let's proceed from the break.

14 The applicant has requested to make a brief  
15 presentation on the application before the Board.

16 Mr. Vanengen, how much time will you and your  
17 presentation require?

18 MR. QUESNEL: Thank you, Mr. Chair. Jamie  
19 Quesnel.

20 About 20 minutes for the first presentation.

21 THE CHAIR: Okay. So, Teresa, do you  
22 swear or affirm?

23 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
24 Meadows, legal counsel for the Nunavut Impact Review  
25 Board [sic].

26 Mr. Chair, it's my understanding that there are a

1 number of exhibits that we should be filing to commence  
2 the hearing. And as well I will need to swear or  
3 affirm the witnesses that are going to be speaking in  
4 this first panel.

5 JAMIE QUESNEL, RYAN VANENGEN, CANDACE RAMCHARAN, ERIKA  
6 VOYER, MICHEL GROLEAU, VALERIE BERTRAND, Affirmed

7 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
8 Meadows, legal counsel for the Nunavut Impact Review  
9 Board. So, Mr. Chair, I have -- sorry. Nunavut Water  
10 Board. First one. That was last week, so last week.

11 Mr. Chair, I have before me the presentation  
12 materials, so hard copy PowerPoint presentation  
13 materials, for the next seven presentations for Agnico  
14 Eagle. So I will mark those as the first seven  
15 exhibits in this public hearing.

16 EXHIBIT 1 - Agnico Eagle hard copy PowerPoint  
17 presentation entitled "Part I - Introduction  
18 and Overview" (English/Inuktitut)

19 EXHIBIT 2 - Agnico Eagle hard copy PowerPoint  
20 presentation entitled "Part II - Public  
21 Participation" (English/Inuktitut)

22 EXHIBIT 3 - Agnico Eagle hard copy PowerPoint  
23 presentation entitled "Part 3 - Waste  
24 Disposal and Management" (English/Inuktitut)

25 EXHIBIT 4 - Agnico Eagle hard copy PowerPoint  
26 presentation entitled "Part 4 - Water Use and

1 Management" (English/Inuktitut)

2 EXHIBIT 5 - Agnico Eagle hard copy PowerPoint  
3 presentation entitled "Part 5 - Abandonment,  
4 Reclamation, Closure, and Security"  
5 (English/Inuktitut)

6 EXHIBIT 6 - Agnico Eagle hard copy PowerPoint  
7 presentation entitled "Part 6 - Accidents and  
8 Malfunctions" (English/Inuktitut)

9 EXHIBIT 7 - Agnico Eagle hard copy PowerPoint  
10 presentation entitled "Part 7 - Management  
11 Plans and Monitoring Programs"  
12 (English/Inuktitut)

13 MS. MEADOWS: But it is also my  
14 understanding that there are three additional exhibits  
15 that Agnico Eagle wishes to tender before they speak,  
16 as they will be referring to these documents throughout  
17 their presentation materials.

18 So, Ms. Kowbel, if I can have confirmation from  
19 you. The first of these additional exhibits is a  
20 letter dated May 25th, 2017; and the letter is  
21 addressed to both the Nunavut Water Board and the  
22 Nunavut Impact Review Board. And it is the -- entitled  
23 "The NWB Consideration of Agnico Eagle Mines Limited  
24 Whale Tail Pit Project Proposal and Revised Water  
25 Licence Applications", and so it speaks to the  
26 amendment to the existing water licence, 2AM-MEA1525,

1 and also the new licence, 2AM-WTP---. So that's the  
2 first additional exhibit I have.

3 EXHIBIT 8 - Agnico Eagle hard copy  
4 correspondence dated May 25, 2017, to  
5 K. Kharatyan (NWB) and copied to  
6 S. Granchinho (NIRB) entitled "The NWB  
7 Consideration of Agnico Eagle Mines Limited  
8 Whale Tail Pit Project Proposal and Revised  
9 Water Licence Applications" (English)

10 MS. MEADOWS: The second additional exhibit  
11 is a proposed Whale Tail Pit Project Type A water  
12 licence framework for Water Licence Number 2AM-WTP---,  
13 and this document was provided and circulated  
14 yesterday, I believe, to all the parties that are here,  
15 but this is the hard copy of that presentation  
16 material.

17 EXHIBIT 9 - Agnico Eagle hard copy proposed  
18 Whale Tail Pit Project Type A water licence  
19 framework for Water Licence Number 2AM-WTP---  
20 (English)

21 MS. MEADOWS: And then the third thing is an  
22 exhibit that was previously filed in the Nunavut Impact  
23 Review Board hearings that is -- consists of meeting  
24 notes between Indigenous and Northern Affairs Canada,  
25 Agnico Eagle, and Golder Associates Limited. The  
26 meeting date is September 14th, 2017; and it is

1 entitled "Golder Document Number 145, Meeting Notes,  
2 Whale Tail Pit Response Package Clarifications".

3 EXHIBIT 10 - Agnico Eagle hard copy meeting  
4 notes between Indigenous and Northern Affairs  
5 Canada, Agnico Eagle, and Golder Associates  
6 Limited dated September 14, 2017 (English)

7 MS. MEADOWS: I believe I have all the  
8 exhibits, but if I can confirm that with Ms. Kowbel.

9 MS. KOWBEL: Thank you, Mr. Chair.  
10 Christine Kowbel for Agnico Eagle.

11 Yes, those are all the exhibits that we have for  
12 now.

13 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
14 Meadows, legal counsel for the Nunavut Water Board.

15 Mr. Chair, it's also my understanding that there  
16 are two additional exhibits that will be tendered by  
17 Indigenous and Northern Affairs Canada but that it  
18 would be preferable if we actually marked these  
19 exhibits and enter them now, as they are referenced in  
20 the materials that Agnico Eagle will be presenting.

21 So I have before me Indigenous and Northern  
22 Affairs Canada reclaim estimate for Whale Tail Pit  
23 Project, Revision 6, dated September 11th, 2017.

24 EXHIBIT 11 - Indigenous and Northern Affairs  
25 Canada hard copy reclaim estimate for Whale  
26 Tail Pit Project, Revision 6, dated

1 September 11, 2017 (English)

2 MS. MEADOWS: And I also have the Whale Tail  
3 security management agreement, final, September 5th,  
4 2017, between the Kivalliq Inuit Association, Agnico  
5 Eagle Mines Limited, and Her Majesty the Queen in Right  
6 of Canada as represented by the Minister of Indigenous  
7 and Northern Affairs.

8 EXHIBIT 12 - Indigenous and Northern Affairs

9 Canada hard copy Whale Tail security  
10 management agreement, final, September 5,  
11 2017, between the Kivalliq Inuit Association,  
12 Agnico Eagle, and Her Majesty the Queen in  
13 Right of Canada as represented by the  
14 Minister of Indigenous and Northern Affairs

15 (English)

16 MS. MEADOWS: So if I can just confirm with  
17 legal counsel for the Department of Justice that those  
18 are the two exhibits that INAC wishes to tender.

19 MR. GRUDA-DOLBEC: Simon Gruda-Dolbec from the  
20 Department of Justice. I confirm this.

21 Just an additional comment in regard to the  
22 product licence: We just want to mention that we have  
23 not had the opportunity yet to review it; so we cannot  
24 confirm that we agree to its content, and we might have  
25 some comments to make about it eventually.

26 Thank you.



1 MS. MEADOWS: Thank you, Mr. Chair.

2 And so that exhibit is the proposed Whale Tail Pit  
3 Project Type A water licence framework. It's my  
4 understanding that perhaps at the end of this public  
5 hearing, before we go into closing statements, if we  
6 can have any of the comments that any of the parties  
7 have on this document or any of the revisions that may  
8 be required, there may be an updated copy that  
9 potentially could be tendered. But we'll mark this one  
10 as "draft" for this exhibit.

11 Thank you, Mr. Chair. Those are all my procedural  
12 matters.

13 THE CHAIR: Thank you.

14 Participants are reminded to state their name  
15 prior to speaking to assist the stenographer in keeping  
16 an accurate record of the proceeding.

17 Thank you, Mr. Vanengen. Please go ahead with the  
18 presentation.

19 Presentation by Agnico Eagle Mines Limited  
20 (Introduction and Overview)

21 MR. QUESNEL: Thank you, Mr. Chair and the  
22 Board. Jamie Quesnel with Agnico.

23 I would like to start this presentation by  
24 thanking the Water Board and its staff for their clear  
25 guidance and direction during this coordinated Nunavut  
26 Impact Review Board and Nunavut Water Board review

1 process and for the opportunity that they have provided  
2 to Agnico Eagle and all intervenors and interested  
3 parties to address issues related to the Whale Tail Pit  
4 Project in a very thorough and constructive way.

5 We believe that the process that was established  
6 by both Boards for the Whale Tail Pit Project has given  
7 us the opportunity to undertake a comprehensive review  
8 of issues related to water and waste. We are going to  
9 provide a detailed summary of the issues that we  
10 considered during the review during today's  
11 presentations to the Board.

12 I would like to thank all the parties that are  
13 here today and others that are not here today,  
14 including our consultants and the Agnico team, for the  
15 work they've done over the past one and a half years to  
16 help us improve the proposed Whale Tail Pit Project.

17 There's been a lot of work completed by all the  
18 parties. This has led us to a better proposal. We  
19 thank the parties for the comments and recommendations  
20 that were submitted. In preparation for the hearing,  
21 we captured and addressed these recommendations in our  
22 final written submission to the Nunavut Impact Review  
23 Board and Nunavut Water Board on August 28th.

24 Through that submission, we indicated those  
25 recommendations where we were in agreement with the  
26 parties. We provided them a detailed response to

1        comments where we believed that such a response would  
2        be helpful and also flagged those recommendations where  
3        further discussion is required or where we did not have  
4        agreement at that point in time. All of these were  
5        filed with the Board as part of our submission.

6                Since that filing, we have worked with several of  
7        the parties to better understand each other's  
8        positions, provide better clarity, and to try to find  
9        agreement. We had follow-up meetings and discussions  
10       and made some additional commitments. You will hear  
11       more about this engagement and the outcome as we move  
12       through our presentations today.

13               Mr. Chair, I am pleased to report that, through  
14       collaboration with all of the parties, we have been  
15       able to reach consensus on the key technical matters  
16       related -- relating to the water licence and we believe  
17       there are no significant outstanding issues.

18               And with that, I will start with an introduction  
19       and overview of the Whale Tail Pit Project and a quick  
20       overview of the company.

21               Thank you.

22               So in this slide, some of the key items we will be  
23       looking at in this presentation: We introduced the  
24       Agnico Eagle team; we're going to look at Agnico Eagle  
25       operations globally and also in Nunavut; Agnico Eagle's  
26       Indigenous People engagement commitment; a brief

1 regulatory history of the Whale Tail Pit and also the  
2 Meadowbank -- part of the Meadowbank division project;  
3 a summary of the Whale Tail Pit Project, which is the  
4 future of the Meadowbank division located on the Amaruq  
5 exploration property; an overview of the construction  
6 and operations at the Whale Tail Pit; overview of the  
7 use of the Meadowbank mine facilities; and, most  
8 importantly, highlight the continued success of  
9 training and development of our skilled Nunavut  
10 workforce.

11 And, also, this is an overview, but my colleagues  
12 will be presenting much more detail in selective  
13 subjects that I'll be discussing in this presentation.

14 This slide just highlights the -- where we are  
15 globally. We are a Canadian-based company. We started  
16 in Cobalt, Ontario, 1957. This is our 60th anniversary  
17 of the company. We're very proud of that. We're  
18 listed on the Toronto Stock Exchange and also in the  
19 New York Stock Exchange. We're a publicly traded  
20 company. All that information can be found on our  
21 website and other locations. We have nine operating  
22 mines in Nunavut, Quebec, Finland, and Mexico. At this  
23 time, we have more than 7,500 employees, and we're  
24 planning to build on that. We produced over 1.6  
25 million ounces of gold in 2016. And, also, we're proud  
26 to be one of Canada's top 50 responsible companies.

1           Here in Nunavut, we have the one operating mine,  
2 Meadowbank, located approximately 70 kilometres north  
3 of Baker Lake, which is shown on the right side of this  
4 slide; and it's the only operating mine in the Kivalliq  
5 Region. Agnico Eagle has advanced projects -- the  
6 Meliadine project, just north of Rankin Inlet. We're  
7 under construction at this time, well advanced with  
8 that project schedule, with production -- commercial  
9 production scheduled for September 2019.

10           Also, just briefly, with marine transportation for  
11 the Whale Tail Pit Project, the shipping route is the  
12 same; no additional ships for Whale Tail. So it's the  
13 same as it is right now, up to nine ships per year.

14           This slide here highlights Agnico's Indigenous  
15 People engagement commitment: Agnico Eagle Mines will  
16 work in partnership with Indigenous People to establish  
17 a mutually beneficial, cooperative, and productive  
18 relationship. Our approach will be characterized by  
19 effective two-way communication, consultation, and  
20 partnering.

21           And part of this -- I'll just briefly discuss this  
22 because my colleague Candace will talk about this a  
23 little bit more. We have a system: the planning of  
24 events for public engagement; the doing, where we  
25 complete these things; the checking, to just see where  
26 we can improve, if there's anything that we missed,

1 things that we have to improve upon; and act, where we  
2 put that into place with management reviews, external  
3 reviews with Kivalliq Inuit Association, internal and  
4 external stakeholder commitments to advise us on  
5 improvement.

6 This slide summarizes Agnico's history and also  
7 the future in Nunavut, but I'm just going to focus on  
8 the Whale Tail Pit activities. The first gold  
9 discovery was in 1972. Agnico's acquisition of the  
10 property was in 2007. Agnico Eagle's first drilling  
11 activity was in 2013. Approval for construction with  
12 Agnico Eagle's board, pending approvals of all permits,  
13 2017. Construction period would be 2018 to 2019;  
14 commercial production, 2019. End of production, that's  
15 corrected. It's not 2021; just a correction, it is  
16 2022.

17 So with the Amaruq exploration project, we have  
18 extensive exploration drilling. We have a resource  
19 estimate of 3.7 million ounces. There's a proposed  
20 satellite deposit, the Whale Tail Pit, to supply ore to  
21 the Meadowbank mill. It will be using existing  
22 Meadowbank facilities, including the maintenance shops,  
23 the processing plant, the tailings storage facility,  
24 the camp, the airstrip that we have at Meadowbank.  
25 This infrastructure will be used at Meadowbank for the  
26 Whale Tail Pit Project.

1           This is just an overall summary of the permitting  
2     update. I think that's been presented by the Board.  
3     There's really nothing else to add. We're into the  
4     Water Board hearings right now. So I'd just like to go  
5     on to the -- a little bit more description on the Whale  
6     Tail Pit Project.

7           This slide just highlights some of the key  
8     activities dealing with the existing Meadowbank life of  
9     mine, where the ore would be exhausted, would be  
10    depleted, by the third quarter of 2018. This is a  
11    very -- this is why it's so important to have our  
12    licence in place by July 2018, to initiate the  
13    construction for the dikes, the Whale Tail dike and the  
14    Mammoth dike.

15          The Whale Tail Pit construction -- site  
16    preparation to construction by July 2018. We have our  
17    operational window from 2019 to 2022. The closure  
18    stage is 2022 to 2029. And based on our security and  
19    the final closure plan -- not the final closure plan  
20    but our security agreement with Indigenous and Northern  
21    Affairs Canada and the Kivalliq Inuit Association, our  
22    post-closure stage is from 2030 to 2046.

23          So some of the key aspects of construction of the  
24    Whale Tail Pit Project would include the dikes -- the  
25    Whale Tail dike, the Mammoth dike -- the site pads, the  
26    site and haul road expansion. Right now we have our

1 exploration road at six-and-a-half metres. Part of  
2 this application would be to expand that to nine and a  
3 half. Operationally, we have 650 employees. The ore  
4 from the Whale Tail Pit will be hauled to the  
5 Meadowbank mill. We'll have a camp at Whale Tail and  
6 also continued use of the Meadowbank camp and  
7 infrastructure, as I mentioned earlier.

8 Meadowbank will continue to operate at the 11,000  
9 tonnes per day until the third quarter of 2018.  
10 There's going to be a production gap between the third  
11 quarter of 2018 and the third quarter of 2019. In this  
12 application, the approvals are very important for the  
13 continuity of the workforce, to ensure everyone stays  
14 employed during this gap related to construction of the  
15 activities at Whale Tail. If approved, the Whale Tail  
16 Pit is proposed to operate up to 11,000 tonnes per day.  
17 Initially, it would be 9,500 tonnes per day beginning  
18 the third quarter of 2019. We'll ramp up to 11,000  
19 tonnes per day beginning in 2020. We're estimating  
20 about just over 8 million tonnes of ore will be mined.  
21 And, again, the total gold resource for the Whale Tail  
22 Pit will extend the life of mine at Meadowbank.

23 As we're -- the Whale Tail Pit is 64 kilometres  
24 away from Meadowbank, we'll be hauling this ore from  
25 Whale Tail Pit to Meadowbank by using 18 long-haul  
26 trucks. The trucks will travel from Whale Tail to



1 Meadowbank with the ore, heavy, to the ore -- to  
2 Meadowbank and will return empty to Whale Tail Pit.  
3 We're operating 24 hours per day. We'll have  
4 two-and-a-half cycles per day or five trips per day per  
5 long-haul truck. An estimate is about 154 trips on the  
6 road. But out of the calendar year, we have estimated  
7 28 days to shut down for blizzards and also for any --  
8 for the caribou migration.

9 This slide shows a couple of trucks we're looking  
10 at for the long haul. We'll select this from a pilot  
11 that will be starting next month, just based on the  
12 road and the -- how it fits into the north related to  
13 the distance and also the driver capabilities. The  
14 first truck is a six-by-six, all-wheel drive. So all  
15 three axles with the six wheels are driving the truck,  
16 moving the truck. It's like a four-by-four truck or an  
17 ATV. The second one is a ten-by-ten, where we have the  
18 five axles and all the wheels on those axles are  
19 powered to move the truck.

20 The capacity remains the same for both options,  
21 which is 150 million tons -- 150 metric tons. Sorry.  
22 And the truck trailer length is 84 feet. So with both  
23 options, 150 tons in the box, 84 feet in length.

24 This slide summarizes the road alignment. Right  
25 now the exploration road from the Meadowbank Vault pit,  
26 which is to the bottom right, and up to Whale Tail.

1 This reddish colour is the Inuit-owned land, and this  
2 area here is Crown land.

3 Again, 64 kilometres of length for the haul road  
4 that will connect to Meadowbank, two thirds of this  
5 road alignment is on Crown, one third on Inuit-owned  
6 land. Right now, the exploration road, which has just  
7 been connected between Meadowbank and Whale Tail about  
8 three weeks ago, that road is six-and-a-half metres  
9 wide. Part of this application is to widen an  
10 additional three metres. And along this road  
11 alignment, we have nine clear-span bridges. And just  
12 at the bottom of this slide shows the alignment of the  
13 bridges, typical plan view of that.

14 The next slide is a video. We will show -- it  
15 will show the -- as it is right now -- the  
16 predevelopment, operational window, and closure.

17 Thanks, Ryan.

18 This shows the Whale Tail Lake. The water is  
19 flowing in this direction right now, from Whale Tail's  
20 south basin, north basin, through the Mammoth Lake  
21 channel, towards Mammoth Lake, and continues in this  
22 direction. So Whale Tail Lake, Mammoth channel,  
23 Mammoth Lake. And, also, we have a 3-D model in the  
24 back that highlights this.

25 This is during operations. So we have the Whale  
26 Tail dike. This is the south basin. The water would

1 flow in the opposite direction. My colleagues will  
2 talk about that. The attenuation pond. The Whale Tail  
3 Pit. The Mammoth dike. The waste rock storage  
4 facility. So it's cut off here, and it's cut off in  
5 Whale Tail Lake during operations. Waste rock storage  
6 facility.

7 This is during closure. The dikes will be  
8 breached, Whale Tail and also Mammoth; and the water  
9 will return, flowing in this direction, the natural  
10 direction. The Whale Tail Pit will be re-flooded.

11 The dikes would not be breached until the water  
12 quality meets the criteria. So it would be like a big  
13 bathtub until the water quality meets that objective;  
14 and then we would breach those dikes, and the water  
15 will be flowing through that.

16 And that's all for the video.

17 THE CHAIR: Thank you.

18 Is there any questions/concerns to the  
19 presentation? Just asking to have in between. Thank  
20 you.

21 MR. QUESNEL: Thank you, Mr. Chair. We have  
22 a few more slides for this presentation. That was the  
23 last -- that was the end of that video. We just have a  
24 few more slides of this presentation.

25 Thank you.

26 THE CHAIR: Okay. Go ahead. Continue.

1 MR. QUESNEL: This slide is just -- I'll  
2 just talk to it very briefly. My colleagues will talk  
3 about this in more detail, and we have the posters at  
4 the back of the room.

5 It just highlights the construction window for the  
6 Whale Tail dike and also the Meadowbank -- Mammoth  
7 dike -- sorry -- and also for the berm for the waste  
8 rock storage facility.

9 This slide just highlights the construction phase,  
10 the dewatering phase, and the operational phase. So  
11 the construction's planned to begin as soon as permits  
12 are received. Again, the critical milestone is  
13 building the Whale Tail dike in open water beginning in  
14 July 2018. That's a very important milestone for us.  
15 And material preparation must begin as early as  
16 possible, to ensure we have the volume of material to  
17 complete this construction. Again, Ryan and Michel  
18 Groleau will get into more discussions on these  
19 details.

20 This just shows a site plan during operations of  
21 the site and infrastructure. Some other key areas  
22 would be the camp area, the industrial pad. We have  
23 the stockpiles and overburden storage, the north  
24 stockpile, the waste rock storage facility. Again, at  
25 the back of the room, we have the 3-D model which  
26 highlights this phase of the operation. So it gives

1     you a good indication of where everything sits compared  
2     to the surrounding lakes.

3             In addition, at the Whale Tail Pit Project, we'll  
4     have a camp. We'll have eight wings to accommodate 210  
5     workers. There we'll have a kitchen, a mine dry, and  
6     office space. 440 persons, approximately, will stay at  
7     Meadowbank and the existing camp at Meadowbank. At  
8     Whale Tail, we'll have a sewage treatment plant that  
9     will discharge into the attenuation pond. Freshwater  
10    use, approximately 118- cubic metres per day -- per  
11    year. Sorry. And exploration site will need to move.  
12    So we have an existing camp right now that would -- for  
13    exploration purposes that would be moved, and this camp  
14    here is at our Meliadine location. This gives you an  
15    idea what this camp will look like at Whale Tail.

16            Additional infrastructure, Whale Tail: power  
17    plant, fuel storage, and also hazardous material.  
18    We'll have two 250,000-litre tanks with secondary  
19    containment for fuel. We'll have two 1.8-megawatt  
20    power plants, generators. The hazardous material will  
21    be temporarily stored in a small laydown. Typical  
22    items for hazardous material: waste grease, batteries,  
23    used hydraulic hoses. Those type of things will be  
24    collected at Whale Tail, shipped to Meadowbank, then  
25    shipped down south to a licenced facility in Quebec.  
26    Organic waste will be shipped in closed containers back

1 to Meadowbank for incineration.

2 This is just a site plan for closure. Again, more  
3 details in following presentations.

4 And, also, this is post-closure, when the water  
5 quality meets those objectives in the flooded -- in the  
6 flooded pit and the dikes are breached.

7 Continued use of the Meadowbank camp, mill, and  
8 tailings storage facility. This is a photograph of our  
9 entry to the Meadowbank camp.

10 This shows the existing Meadowbank operation. We  
11 have our existing -- our Bay Goose pit. That's  
12 finished production. Portage pits. Our tailings  
13 storage facilities are here. The Vault pit is up here,  
14 on the top of the slide. Our airstrip is located right  
15 here. Our camp and our mill facilities, located here.

16 So Q3 2018, no additional ore will be coming from  
17 these pits. That will be completed. And the Whale  
18 Tail Pit, based on approvals, will start production in  
19 2019.

20 This is our tailings storage facility, north cell.  
21 This is our tailings storage facility, the south cell.  
22 And the following presentations will provide more  
23 detail.

24 This shows part of the application for a small  
25 raise in the north cell, along that perimeter.

26 So Agnico Eagle's vision: We want to be in

1       Nunavut for decades. Nunavut platform can be a  
2       cornerstone for Agnico Eagle for several decades. We  
3       could secure a production base of approximately 700,000  
4       ounces per year. The Meadowbank lessons and successes  
5       can be leveraged in new Agnico projects in Nunavut,  
6       like the Whale Tail Pit Project. The Whale Tail Pit  
7       Project will extend the life of Meadowbank, and Amaruq  
8       is the future of the Meadowbank division. Again, with  
9       Meliadine, another hub in Nunavut remains a significant  
10      potential catalyst for Agnico's growth in Nunavut.  
11      And, overall, our vision is to have our mines managed  
12      by Inuit.

13             Thank you.

14      THE CHAIR:                     Thank you, applicant.

15             Is there questions, concerns?

16             Start with Kivalliq Inuit Association.

17      MR. MANZO:                     Thank you, Mr. Chairman. Luis  
18      Manzo, Kivalliq Inuit Association.

19             No questions at this time.

20      THE CHAIR:                     Thank you.

21             Next, INAC, do you have questions, concerns?

22      MS. COSTELLO:                  Karen Costello for Indigenous  
23      and Northern Affairs Canada. Thank you, Mr. Chair.

24             We have no questions at this time.

25      THE CHAIR:                     Thank you.

26             Next, Environment and Climate Change Canada.

1 MS. PINTO: Thank you, Mr. Chair. Melissa  
2 Pinto, Environment and Climate Change Canada.

3 We have no questions at this time.

4 THE CHAIR: Thank you.

5 Next, Department of Fisheries and Oceans Canada.

6 MR. D'AGUIAR: Thank you, Mr. Chair. Mark  
7 D'Aguiar for Fisheries and Oceans Canada.

8 We have no questions at this time.

9 Thank you.

10 THE CHAIR: Thank you.

11 Next, public. Is there questions, comments from  
12 the public?

13 Go ahead. Come to the -- come to the mic.

14 The Public Questions Agnico Eagle Mines Limited

15 EDWIN EVO: Thank you, Mr. Chair.

16 My question is if Agnico Eagle will be operating  
17 Amaruq and Meliadine at the same time.

18 THE CHAIR: Thank you.

19 Applicant.

20 MR. QUESNEL: Thank you, Mr. Chair.

21 Meadowbank will be operating 'til the  
22 third quarter 2018. Whale Tail will start in 2019.  
23 Meliadine will start in September 2019. So based on  
24 approvals, if we do receive them for Whale Tail,  
25 they'll both be operating at the same time.

26 EDWIN EVO: Mr. Chair, this is not a



1 question. It's more of a concern regarding winter  
2 operation, as probably some of the people here have  
3 experience, a great amount of snow over at  
4 Coral Harbour. But I'm a -- I'm a blind person, but  
5 what my son and my granddaughter told me, last winter,  
6 there was a tremendous amount of a snowstorm that --  
7 over at the Coral Harbour -- that -- this is just an  
8 example -- that some of the buildings' chimney was  
9 sticking out through the snow and then some of the  
10 snowmobiles drive right over the roof.

11 And then my fear is that something like this might  
12 happen in one of the winters. Is a gold mine operation  
13 prepared for that kind of incident? That -- what my  
14 worries are -- tailings impound could be pretty well  
15 covered. Some of the areas are covered at 12, 15 feet  
16 of snow, even in town here.

17 Thank you, Mr. Chair.

18 THE CHAIR: Thank you.

19 Is there any more questions/concerns from public?  
20 Okay. There's none.

21 So NWB staff.

22 Nunavut Water Board Staff Questions Agnico Eagle Mines  
23 Limited

24 MR. KHARATYAN: Thank you, Mr. Chair.

25 Just a small comment.

26 On Slide 12, we can see that in the schedule the

1 closure will change to 2022-2029, and I guess the  
2 Slide 13 is just an oversight stating still 2022-2025?

3 MR. QUESNEL: Thank you, Mr. Chair.

4 Yeah. Just to clarify, operations, 2019 to 2022;  
5 closure phase, 2022 to 2029; the post-closure stage,  
6 2030 to 2046.

7 Thank you.

8 MR. KHARATYAN: Thank you. No more questions.

9 THE CHAIR: Okay. Thank you.

10 Any further questions from the staff? No? Okay.

11 And the Board? Okay.

12 Thank you, applicant, for your presentation.

13 Okay. Go ahead. Continue.

14 Presentation by Agnico Eagle Mines Limited (Public  
15 Participation)

16 MS. RAMCHARAN: Blatsiq [phonetic], Mr. Chair  
17 and members of the Board. My name is Candace  
18 Ramcharan, and I will be speaking about public  
19 participation for the Whale Tail Pit Project.

20 As mentioned by my colleague Jamie, Agnico's  
21 public participation is shaped by our corporate-wide  
22 Indigenous People engagement commitment that states  
23 that Agnico will work in partnership with Indigenous  
24 People to establish a mutually beneficial, cooperative,  
25 and productive relationship. Our approach will be  
26 characterized by effective two-way communication,

1 consultation, and partnering.

2 Our responsible mining management system guides  
3 how Agnico manages health, safety, environment, and  
4 community relations activities and provides the  
5 framework for how we do public participation.

6 The responsible mining management system guides  
7 our public participation through four main  
8 activities -- plan, do, check, and act -- and is  
9 presented in more detail in Appendix 8-G of the  
10 environmental impact statement. The plan, do, check,  
11 and act framework shapes our public engagement  
12 approach.

13 The policies and frameworks that go into the  
14 planning phase of our engagement approach are the  
15 Agnico Eagle sustainable development policy, which is  
16 included in Volume 1, Section 1.13 of the environmental  
17 impact statement, Nunavut Impact Review Board  
18 requirements, as well as our Inuit Impact and Benefit  
19 Agreement.

20 The way we implement our plan, the "do" part of  
21 the responsible mining management system, is through  
22 our community offices in Baker Lake and in Rankin Inlet  
23 where we have community relations representatives who  
24 interact on a regular basis with different community  
25 members and groups. This includes quarterly meetings  
26 with hamlets and hunters and trappers organizations,

1 open houses and public meetings throughout the year.

2 In order to check or monitor the effectiveness of  
3 our public engagement, Agnico has a number of  
4 mechanisms to receive feedback from communities of  
5 interest, such as our formal community complaints and  
6 agreements mechanism named "tusaajugut", "We're  
7 Listening". This mechanism allows for anonymous,  
8 unnamed complaints by community members and groups and  
9 provides multiple points of contact -- such as email,  
10 phone, or in person -- for community members and  
11 organizations to formally report their concerns related  
12 to environmental and wildlife issues, tendering and  
13 hiring processes, or any other aspects of Agnico's  
14 operations.

15 Finally, our public engagement plan activities and  
16 monitoring are reviewed internally by management as  
17 well as externally by different groups, such as the  
18 Kivalliq Inuit Association as well as our corporate  
19 stakeholder advisory committee.

20 Some examples of Agnico's public participation in  
21 action are the Baker Lake Whale Tail information  
22 session that was held in April of this year. This was  
23 a public meeting attended by 122 community members.  
24 There have been many other public engagement  
25 activities, such as quarterly community employment  
26 information sessions held in Baker Lake and in all

1 seven communities of the Kivalliq, Festival by the  
2 Lake, site tours for Baker Lake residents at the  
3 Meadowbank mine, and public meetings for the Baker Lake  
4 wellness plan.

5 A key goal of Agnico Eagle's public participation  
6 program has been to ensure that we provide people with  
7 the mechanisms they need to provide inputs, including  
8 Inuit Qaujimajatuqangit, so that the project is better  
9 to inform its decision-making and project design.

10 Throughout Meadowbank and for the Whale Tail Pit  
11 Project, 147 consultations have taken place between  
12 2012 and 2017. These consultations have taken  
13 different formats, such as formal meetings; site  
14 visits; workshops; and public meetings, such as  
15 open houses and information sessions, which are less  
16 formal and open to anyone from the public. Different  
17 communities and community organizations have been  
18 engaged, such as the Baker Lake Community Liaison  
19 Committee, elders, youth, women, the Hamlet, Hunters  
20 and Trappers Organization, as well as communities and  
21 organizations from Chesterfield Inlet, Rankin Inlet,  
22 Coral Harbour, Naujaat, and Whale Cove. The details of  
23 these consultations can be found in the consultation  
24 log of the environmental impact statement in  
25 Appendix 2-G.

26 Agnico Eagle recognizes the importance of Inuit

1 Qaujimajatuqangit and has been able to incorporate  
2 these values to Agnico practices throughout the Whale  
3 Tail Pit Project. For example, the principle of  
4 pilimmaksarniq is used in the development of our  
5 training programs and upward mobility programs, such as  
6 the career path and apprenticeship program, which can  
7 help our employees in developing transferrable skills  
8 to use at either of our sites or elsewhere in their  
9 communities.

10 Avatittinnik kamatsiarniq, respect and care for  
11 the land, animals, and the environment is incorporated  
12 in the environmental policies and practices, Inuit  
13 Impact and Benefit Agreement, environmental  
14 obligations, and ongoing working relationships with the  
15 Baker Lake Hunters and Trappers Organization. For  
16 example, Agnico has committed to hiring a wildlife  
17 monitor from the Baker Lake Hunters and Trappers  
18 Organization to assist in our environmental monitoring.

19 The basic approach of integrating Inuit  
20 Qaujimajatuqangit into the baseline studies and  
21 environmental assessment conducted for the project  
22 takes the basic framework of workshops, baseline data  
23 collection, feedback, integration, and review. This  
24 process has been endorsed by the Kivalliq Inuit  
25 Association representatives.

26 I'll pass it over to my colleague Ryan to explain

1       this approach in more detail.

2       MR. VANENGEN:               Mr. Chair and Board members,  
3       for the next five slides, I'm going to present on a few  
4       examples of how we integrated the workshop information  
5       into our impact assessment and into, ultimately, the  
6       Nunavut Water Board licence.

7               So as my colleague Candace explained, the Whale  
8       Tail Pit Project is a very good example of how we  
9       integrated Inuit Qaujimajatuqangit and traditional  
10      knowledge into our project design during baseline  
11      studies, as shown here in the slide, and then  
12      ultimately into our project as we integrated and  
13      reviewed our project.

14             We hosted a number of workshops already beginning  
15      in December 2014 that provide us the information that's  
16      shown on the next two slides. The information  
17      collected in the workshops, the Inuit Qaujimajatuqangit  
18      and traditional knowledge was -- in those workshops --  
19      were shared with our scientists, our engineers, and our  
20      biologists which then allowed us to then design things,  
21      like the roadway and our site here, with the  
22      information provided during those workshops. That  
23      happened in 2014; it happened in 2015; and then it also  
24      happened in 2016 -- where we shared in kind of that  
25      loop with our scientists all of the Inuit  
26      Qaujimajatuqangit.

1           What it showed us, as demonstrated in this slide,  
2       are where the harvest sites are and also where the  
3       wildlife are moving and interacting with our project  
4       and, related to the Nunavut Water Board, where some of  
5       the traditional land use was around some of the  
6       waterways. And what we found was that from these  
7       workshops that the Inuit traditional land use was  
8       focused very much on the centre of our road, and these  
9       trails -- these lines marked with dash -- yellow dash  
10      marks are trails that are traditionally used for moving  
11      between Baker Lake and Gjoa Haven. And this is the  
12      area of land that's typically used; and, therefore, in  
13      the spring, when there's still ice and the travel on  
14      the land is more common, fishing and water use would  
15      occur on those lakes and, also, of course, hunting in  
16      the area. It also identified some of the  
17      archaeological sites, and these here are grave sites  
18      that were identified during the Inuit Qaujimajatuqangit  
19      workshops.

20           One important example of how we integrated Inuit  
21      Qaujimajatuqangit into our baseline studies was through  
22      our archaeological baseline studies. As a result, we  
23      were able to avoid the majority of the archaeological  
24      sites along our road, and this added an additional  
25      approximately 1.5 kilometres to our proposed haul road.  
26      Related to waste and water for the Nunavut Water Board,



1     it also -- these workshops informed us on ensuring that  
2     our road material protected the waterways. So we've  
3     ensured that our road material is non-potentially acid  
4     generating and non-metal leaching, and that was  
5     informed through those workshops.

6             The next set of slides -- so that's the first  
7     example. The second example, more detailed example, is  
8     how we integrated and workshopped with the Baker Lake  
9     Hunting and Trapping Organization, elders, and other  
10    stakeholders in the design of our -- of our traditional  
11    land-use crossings on the haul road.

12            So we began meeting with stakeholders in December  
13    of 2014, as I described. We followed up with  
14    stakeholders visits in September 2015 related to the  
15    crossings on the road, the traditional land-use  
16    crossings. We then followed up with another meeting  
17    and workshop in 2016. This was followed up with  
18    another series of meetings in 2016. And, ultimately,  
19    in the spring of 2017, we finalized one of our  
20    locations, including the design of that traditional  
21    land-use crossing; and it looks like this here in this  
22    photo. We're working with the HTO, the Hunting and  
23    Trapping Organization, to finalize that; but we've  
24    decided on the design and collectively decided on the  
25    location of that traditional land-use crossing. And  
26    that's located on the map right here, of our roadway.

1           So now I'll pass it to Candace to provide a  
2           summary of our presentation.

3           MS. RAMCHARAN:           The Inuit Qaujimajatuqangit  
4           collected on the Whale Tail Pit Project includes  
5           knowledge on the existing condition of the area,  
6           concerns on the various project impacts, and  
7           recommendations for the project. Concerns that were  
8           highlighted on the various project impacts -- such as  
9           caribou, shipping lanes, spills, employment and  
10          training, as well as legacy infrastructure -- are  
11          included as part of the effects assessment, and  
12          recommendations are considered when we were developing  
13          our mitigation and monitoring plans. More information  
14          on these areas of concern as well as the mitigation  
15          plans are found in Volume 7 of the environmental impact  
16          assessment.

17          Agnico Eagle will continue to use its public  
18          participation framework and Inuit Qaujimajatuqangit  
19          values to address concerns over the life of the project  
20          through continued engagement and consultation with key  
21          communities of interest.

22          Mat'na.

23          THE CHAIR:                So that's the end of the  
24          presentation, second presentation?

25          MR. VANENGEN:            Yeah, Mr. Chair, that's the  
26          end of the public participation presentation.

1 THE CHAIR: Okay. Can I ask questions or  
2 concerns? Can I ask, KIA, you have concerns or --  
3 questions/concerns?

4 MR. MANZO: Thank you, Mr. Chairman. Luis  
5 Manzo, director of lands, Kivalliq Inuit Association.

6 No questions at this time.

7 THE CHAIR: Thank you.

8 INAC, do you have questions or concerns?

9 MR. PARSONS: Ian Parsons, INAC.

10 Mr. Chair, no comments or concerns.

11 THE CHAIR: Thank you.

12 Environment and Climate Change Canada.

13 MS. PINTO: Thank you, Mr. Chair. Melissa  
14 Pinto, Environment and Climate Change Canada.

15 We have no questions at this time.

16 THE CHAIR: Then DFO.

17 MR. D'AGUIAR: Thank you, Mr. Chair.  
18 Fisheries and Oceans, Mark D'Aguiar.

19 We have no questions at this time.

20 Thank you.

21 THE CHAIR: Thank you.

22 Is there concerns/comments from public? Is there  
23 concerns or questions from public?

24 Comments by Kivalliq Inuit Association

25 MR. MANZO: Thank you, Mr. Chairman. Just  
26 to correct my first intervention -- Luis Manzo,

1 Kivalliq Inuit Association.

2 We have concerns on the -- on the road: It's too  
3 narrow; the slopes are too high; and it require more  
4 friendly crossings for caribou.

5 Thank you, Mr. Chairman.

6 THE CHAIR: Thank you.

7 And then NWB staff.

8 MR. KHARATYAN: Thank you, Mr. Chair. Karen  
9 Kharatyan, NWB staff.

10 No questions at this time.

11 THE CHAIR: Thank you.

12 Panel members? I have none. Okay. Thank you.

13 So you may continue on with your other  
14 presentation.

15 MR. VANENGEN: Mr. Chair, we're just going to  
16 take 30 seconds to just have Michel and Valerie join  
17 us.

18 Presentation by Agnico Eagle Mines Limited (Waste  
19 Disposal and Management)

20 MR. GROLEAU: Good morning, Mr. Chair and  
21 Board's members. My name is Michel Groleau. I'm the  
22 geotechnical coordinator in Meadowbank.

23 The geotechnical team in Meadowbank is in charge  
24 of the construction of the dewatering and tailing  
25 dikes, the site water management, and the operation of  
26 the tailings storage facility. I am glad to present

1     you with the support of Valerie Bertrand and Erika  
2     Voyer the global waste management strategy for the  
3     Whale Tail Project.

4           I will initiate the presentation with an overview  
5     of the history of the Meadowbank tailings storage  
6     facility, the tailings storage requirement for the  
7     Whale Tail Project, and the closure of the Meadowbank  
8     tailings storage facility. Valerie Bertrand will then  
9     follow with the presentation of the Whale Tail waste  
10    rock storage facility and proposed thermal  
11    instrumentation. And, finally, Erika Voyer will close  
12    the presentation with an overview of the Whale Tail  
13    waste rock management.

14          The Nunavut Water Board Type A Licence 2AM-MEA1525  
15    allow Agnico Eagle to build tailings dike up to  
16    elevation 150 metre above sea level and to store  
17    approximately 30.2 million cubic metres of tailing.  
18    The initial mining plan of Meadowbank was based on the  
19    economic situation at that time and of the project  
20    design. Since then, the economic forecast changed and  
21    the mining plan have been revised, and forecasted  
22    tailing produce has been reduced accordingly. The  
23    total capacity required to complete the mining of the  
24    Meadowbank project is currently evaluated at 23.8  
25    million cubic metre, which gave us a residual capacity  
26    of 6.4 million cubic metre to store new tailings.

1           The Whale Tail Project production plan is  
2   forecasting the production of 8.3 million tonnes of  
3   tailing. In order to store that mass of tailing,  
4   Agnico Eagle Mine is planning to increase by 1.9  
5   million cubic metre the capacity of the north cell  
6   tailings storage facility by building the north cell  
7   internal structure. The total capacity of the tailings  
8   storage facility will be then of 32.1 million cubic  
9   metre.

10          The chart on this slide presents the storage curve  
11   of the north and south cell tailings storage facility  
12   until the completion of the Whale Tail project. As you  
13   can see, when we sum up those two curves together, we  
14   get a total of 30 million cubic metre of tailings at  
15   the end of the Whale Tail Project, which leaves us  
16   2.1 million cubic metre of available capacity to  
17   perform proper water management of the tailing impound  
18   and buffer capacity in case of operational issue.

19          Mr. Board, there was a concern related to snow  
20   management. That available capacity will help us to  
21   store that -- you know, those large snow event as well.

22          Here, on that slide, we have a picture of the  
23   north cell tailings storage facility. This tailing  
24   impound is delineated by the Saddle Dam 1, the Saddle  
25   Dam 2, the storm water dike, the Rock-Fill -- the  
26   Rock-Fill Dam 1, and the Rock-Fill Structure 2 here.

1 The reclaim pump is located in the middle here of the  
2 pump. The north cell infrastructure will be built on  
3 the periphery of the facility, so from here and all  
4 around up to here. Finally, as you can see, the  
5 tailing is well contained inside the facility, and no  
6 trace of seepage or other type of contamination can be  
7 seen outside the footprint of the tailings storage  
8 facility.

9 This picture shows the south cell tailings storage  
10 facility. This tailing impound is delineated by the  
11 central dike here. And the early construction stage of  
12 the Saddle Dam 5, that will -- that is located around  
13 here. Here is the Saddle Dam 4; and on the left here,  
14 it will be the Saddle Dam 3. The reclaim pump is  
15 located around here, at the west side of the pump.

16 As mentioned earlier, the north cell internal  
17 structure will be built over the north cell tailings  
18 storage facility to increase the capacity of around  
19 2 million cubic metres. The figure on the left here  
20 shows the geometry of the north cell before resuming  
21 deposition in June 2019. The incline structure will  
22 start from here and go all around the tailing impound.  
23 And deposition will be more or less from the north end  
24 here, where you can see the small red line, and will  
25 push tailing to the south. That reclaim pump will get  
26 smaller and smaller and will transfer water from that

1 area to the mill.

2 On this slide is the same slide but much more on  
3 the -- based on the south cell tailings storage  
4 facility. As mentioned earlier, the dikes and the dam  
5 delineating the south cell tailings storage facility  
6 will be raised to elevation 150 and will gain  
7 6.4 million cubic metres of capacity.

8 Note there's a small mistake on that slide. You  
9 should read here "south cell raise", and here it should  
10 be write [sic] down "south cell before resuming  
11 deposition". Sorry about that, Mr. Chair.

12 The figure here on the right side depicts the  
13 geometry of the south cell before resuming deposition  
14 in October 2019. For the operation of that tailings  
15 impound, tailings will be discharged from the central  
16 dike, and the tailings will push the water here in  
17 direction of the reclaim pump, and the water will be  
18 transferred to the mill.

19 This slide is presenting the design of the north  
20 cell internal structure. This rock-fill structure is  
21 30 metres wide, and tailings will be discharged on the  
22 upstream side, located here. Sump and trenches are  
23 planned to be dig on the downstream side. These water  
24 collection infrastructure are built to collect seeping  
25 water, and they will be built within the footprint of  
26 the tailing impound. The seepage water will be pumped



1 back inside the tailings pump and reclaimed then after  
2 to the mill. To give you an order of magnitude, the  
3 seepage volume will be in between 4,000 and 12,000  
4 cubic metre per year, which is considered manageable,  
5 according to the designer and Agnico Eagle.

6 I think there's a -- Ryan? Yeah. There's a  
7 mistake here. That slide shouldn't appear in that  
8 presentation; so I will just skip it.

9 Geochemistry of the Whale Tail and Meadowbank  
10 tailing are similar. Both mineralization are low  
11 sulphur that carries arsenic and have similar  
12 characteristic, as both are potentially acid generating  
13 but show delay to onset acidification. They are  
14 arsenic leaching; they carry cyanide by-product; and  
15 they have similar grain size.

16 Agnico Eagle Mine do not foresee any problem  
17 related to acid generation and arsenic leaching during  
18 operation and closure of the tailings storage facility.  
19 During the closure of the tailings storage facility,  
20 any chemical produced during the operation will be  
21 treated prior to pump the water, the residual water,  
22 contained in the facility to the Portage pit as part of  
23 our closure plan. Treatment criteria will be set in  
24 order to meet CCME, our site-specific water quality  
25 requirement, prior to do the Goose dike breaching at  
26 closure.

1           Once the tailing pump reclaim water will be empty,  
2   when there will be no more water in the tailing  
3   facility, we'll cover the beach with the 2-metre-thick  
4   layer of non-acid-generating material or rock. At this  
5   point, we'll perform a thermal encapsulation of the  
6   tailing, which will prevent arsenic leaching and acid  
7   generation during post-closure. Agnico Eagle is  
8   planning to use soapstone as a cover material for the  
9   Meadowbank storage facility.

10           Agnico Eagle has performed environmental testing  
11   on the soapstone in 2015 and 2016 following concerns  
12   raised by the Meadowbank independent dike review board  
13   regarding the long-term physical properties of the  
14   Meadowbank soapstone unit planned to be used to build  
15   that cover. It was suggested that the resistance to  
16   freeze-and-thaw and wet-and-dry cycles had to be  
17   evaluated through laboratory testing. The objective of  
18   these tests was to evaluate erosion potential of this  
19   material.

20           The table below shows result of mass loss after 80  
21   cycles of wet-dry or free-and-thaw. These tests was  
22   conducted by the Research Institute on Mines and  
23   Environment. These tests are common in construction  
24   industry to evaluate durability of concrete or stone.

25           A summary of the soapstone environmental testing  
26   results are presented on this slide. I will summarize

1     it: The results suggest that the freeze-and-thaw and  
2     wet-and-dry cycle on the integrity of the soapstone are  
3     small and that the Meadowbank soapstone is a good  
4     material for the construction of the structure as the  
5     cover for the tailings storage facility.

6             In 2015, Agnico Eagle completed the design of the  
7     tailings storage facility landform with the support of  
8     O'Kane Consultant. The landform design objectives were  
9     to ensure water-shedding landform, which will prevent  
10    any water ponding over the cover; and to ensure  
11    stability of the landform by limiting erosion of the  
12    cover. To achieve these objectives, the direct runoff  
13    will be diverting out of the landform via channels, as  
14    you can see in blue on that figure. Post-construction  
15    discharge can be controlled and treated in order to  
16    meet CCME or site-specific water quality criteria and  
17    where long-term water discharge is approved.

18            The other important objective of the landform are  
19    to ensure the landform will fit into the landscape and  
20    not generate post-construction dust and not interfere  
21    with caribou migration. The landform design is  
22    consisting of a non-acid-generating rock thermal cover  
23    with a minimal thickness of 2 metres. In order to  
24    build those -- oops -- to build those channels, we need  
25    to have higher cover, and more than 90 percent of the  
26    surface will have a cover thicker than 4 metres and

1 will reach up to 8 metres in those areas.

2 The channels are presented by the blue arrows.  
3 There's two outlets, one going to the south cell and  
4 one going to the diversion ditches and then flowing to  
5 third Portage lake. A sump will be built in this area  
6 to collect the water and do testing before discharge to  
7 the third Portage lake. The system will be closed  
8 until we meet the water quality criteria.

9 Here you have a picture of the south cell tailings  
10 storage facility landform. It's the same principle  
11 than the -- on the north cell. We have channels in  
12 blue that divert the water, the runoff water, and will  
13 mix with the water running from the north cell, Outlet  
14 Number 1. This water will be mixed together and then  
15 flow to the south cell outlet. A large sump will  
16 collect the water prior to discharge to third Portage  
17 lake.

18 In summary, the north cell tailings storage  
19 facility will reach maximum capacity in September 2021  
20 with 16.2 million cubic metres of tailings stored. On  
21 the other end, the south cell tailings storage facility  
22 will reach maximum capacity in January 2022 with  
23 13.8 million cubic metres of tailings stored.

24 Agnico Eagle submitted a standalone tailings  
25 management plan to Nunavut Water Board on January 25th,  
26 2017. And as a Nunavut Water Board condition, the

1 tailings management plan will be updated prior to  
2 operations.

3 This slide is presenting the progressive closure  
4 work did on the north cell tailings storage facility  
5 over the last year. We built a 2-metre cover here on  
6 the north end of the pump to evaluate the  
7 constructability of this thermal cover. And the  
8 picture here at the bottom right is showing a test cell  
9 in which we put instruments to see the -- how the  
10 permafrost is building up in the tailings with that  
11 cover. So we have thermistors and the other  
12 instruments to collect data and evaluate the efficiency  
13 of this cover.

14 Finally, here you've got some pictures presenting  
15 the soapstone slabs that were used to do the  
16 wet-and-dry and the cycle testing by the Research  
17 Institute on Mines and Environment and the typical  
18 section of our test cell over the tailings.

19 We'll be happy to answer more questions. Before  
20 that, I will let my colleague Valerie Bertrand continue  
21 with the presentation about the waste rock storage  
22 facility.

23 MS. BERTRAND: Thank you, Mr. Chairman and  
24 the Board. My name is Valerie Bertrand, and in the  
25 next eight slides, I'll talk about the waste rock  
26 studies that led to the development of the waste rock

1 management plan. Details of the plan, of that  
2 management plan, will then be provided by Erika Voyer  
3 after I'm done.

4 So this slide shows the alternatives assessment  
5 that was done to position the waste rock pile -- to  
6 propose a position for the waste rock pile.

7 Oops. This one.

8 This is the position, the proposed location of the  
9 waste rock pile. These other areas were assessed in  
10 the process of determining what is the best location  
11 for the waste rock pile. So the location was selected  
12 after evaluating these alternatives shown, and the  
13 criteria for evaluating the best location included  
14 proximity to the pit, how close it was to the pit --  
15 the closer, the better for ease of transport -- and the  
16 ability to have good water drainage control and affect  
17 the least amount of watersheds as well as the ability  
18 to contain and direct the contact water from the rock  
19 storage facility.

20 The location of the -- the location north of  
21 Mammoth Lake was selected. So they said this location  
22 was selected because it is proximal to the pit. It is  
23 only -- it is on a slightly elevated topography with a  
24 small -- within a small watershed that drains to one  
25 location, over here, such that it makes it easier to  
26 collect and capture all the waters for water quality

1 control.

2       So this slide, this picture, shows a schematic of  
3 the geology of the Whale Tail area. The following  
4 slides talk about the effect, the potential effect, of  
5 waste, tailings, waste rock, overburden, the potential  
6 effects of these on water quality. These depend on the  
7 chemical composition of the rock excavated by mining  
8 and the tailings produced as well as the overburden,  
9 the sediments of the lake that's going to be dried  
10 before mining. This in turn depends on the geology of  
11 the deposit. Both are described in the following  
12 slides.

13       The Whale Tail Pit geology -- okay -- this area --  
14 consists of very old volcanic rocks. The gold  
15 mineralization highlighted here in red -- so the pit is  
16 over here. The mineralization in red is gold  
17 mineralization in a low-sulphur system. And that's  
18 important; I'll tell you why later. It's hosted in  
19 rock that is iron formation, in chert, and a bit in  
20 ultramafic rock. These other rock types that are  
21 encountered are on this table here. On either side of  
22 the ore deposit is greywacke rock, in here, and the  
23 diorite rock -- which contain no gold and very little  
24 sulphur. The quantity of rock that will be removed  
25 from the open pit is shown over here. And the  
26 proportion of it in the waste rock pile -- that will

1 report to the waste rock pile -- is in the last column  
2 over here.

3 To date, over 200 samples of waste rock, ore,  
4 tailings, and lake sediments have been collected for  
5 testing -- okay -- to determine what the chemical  
6 properties are of that rock so that we can define what  
7 the potential effects on water quality will be when  
8 these rocks are exposed in the open-pit wall and on the  
9 rock pile as well as in the tailing and pond facility.  
10 The sampling plan was based on industry-standard  
11 practices. It considers the amount of waste rock. It  
12 captures the distribution of the different rock types  
13 and their composition -- the varied composition.

14 This slide's a schematic of the geology viewed  
15 from the surface with each rock types shown in  
16 different colours. Okay. So from the surface, if you  
17 were to look at it, you wouldn't see these colours.  
18 But this is the different rock types here. The ore is  
19 over here. On this side is the waste rock, the rock  
20 that would go in the big rock storage facility, and so  
21 is this as well.

22 The surface outline of the pit is shown in a  
23 dashed line here, over here. So this is what you  
24 will -- you have seen in the prehearing, the -- that  
25 was shown at the prehearing conference in April. The  
26 dark lines, over here, are the pushback areas that



1     you'll hear about a bit later. The pushback areas will  
2     be completed for the following reasons: The north  
3     pushback, here, is proposed it will be removed to  
4     remove the rocks -- more of the rocks shown in purple,  
5     these rocks, so that they're not part or a smaller part  
6     of the open-pit wall because these rocks affect the  
7     quality of the flooded pit water at closure. Okay. So  
8     the pushback, we'll remove more of these rocks to  
9     improve water quality. The southern pushback will  
10    be -- will proceed, but a very shallow layer of rock  
11    will be removed in order to allow access to additional  
12    good rock for the cover, if needed. If needed.

13         So this one slide on the results of the  
14    investigation to determine whether the rock could have  
15    an effect on water quality shows the laboratory  
16    analyses that were completed on the samples of all the  
17    mine waste -- the rock, the tailings, the ore, the  
18    sediments, and the overburden -- within the pit  
19    footprint. These analyses were done to evaluate  
20    whether the material could be acid generating and, if  
21    they were acid generating, how much time it would take  
22    for acid to start to occur and whether they could  
23    release chemicals to the environment, in water, and to  
24    what levels -- like, a lot of chemicals or not so much.  
25    Let me explain why these issues are of concern or  
26    interest.

1           Acid can be released from sulphur. Sulphur is a  
2           chemical that is naturally in the minerals, in the  
3           rock, of this deposit and of many deposits, including  
4           the deposit at Meadowbank. Now, the sulphur when it's  
5           exposed to air can rust, can oxidize or rust. It rusts  
6           just like a car or snowmobile. The ability of the rock  
7           to generate acid is measured by the amount of this  
8           chemical, the sulphur, in the rock; and that amount is  
9           compared to the amount of another mineral, a carbonate  
10          mineral, that neutralizes this acid in the rock. So  
11          rock is considered non-acid generating when it has at  
12          least twice the amount of neutralization capacity than  
13          sulphur. So "PAG" is an acronym to say "potentially  
14          acid generating". Non-potentially acid generating is  
15          this part of the graph, above a ratio of two, so two  
16          times buffering; and below here is what could be acid  
17          generating.

18          So the right -- so that graph demonstrates the  
19          rock really has a low potential for acid rock drainage.  
20          Most of the rock types are in this area. This area  
21          really is only two rock types. They represent about a  
22          third of all the waste rock that will be put in the  
23          rock storage facility. Okay. These rock types are  
24          located really in the centre of the open pit.

25          Another aspect of rock composition that can effect  
26          water quality, as I said earlier, is the amount and

1 type of metals in the rock that can be diluted in  
2 water. So, for example, the water that we're drinking  
3 contains metals. The evidence of that is sometimes  
4 when we boil water we see a residue on the teapot or we  
5 see residue on the showerhead. Those residues are  
6 metals that have precipitated out of the water. Now, a  
7 small amount of metals in water is normal, but too much  
8 metals can have a negative effect on fish and humans  
9 depending on the amount and also depending on the  
10 actual metal, what metal it is.

11 So for these rock types, the ability to release  
12 metals from rocks or tailings was evaluated, and the  
13 results are summarized on the -- over here. So the  
14 result is, in summary, that most of the chemicals  
15 contained in the Whale Tail mine waste -- okay -- they  
16 are released to water but in very low concentration.  
17 They're not of concern.

18 One that might be is arsenic because it can -- it  
19 releases at high concentrations for some of the rock  
20 types. Those rock types are the iron formation and the  
21 ultramafic rock, the purple rock that you saw in the  
22 previous slide. So that one can release a little bit  
23 of arsenic -- can release arsenic. Okay. These two  
24 rock types, they make up 46 percent of the waste rock  
25 from the open pit. So this rock needs to be managed  
26 and will be managed in the waste rock facility. Erika

1 will explain how, a little bit more about that. And  
2 the control strategy at the long term -- in the long  
3 term, the control strategy of a cover and then  
4 freezeback of the mass below the cover where these  
5 rocks are will be effective at preventing negative  
6 effects to the receiving environment. These points  
7 have been discussed quite a bit extensively with the  
8 intervenors, and this together with commitments on  
9 monitoring and management of the waste rock are such  
10 that there are, we understand, no further issues.

11 Altogether, about 30 percent of the rock is  
12 non-acid generating or low chemical content to release  
13 and can be used for cover on the waste rock storage  
14 facility.

15 Now, that potentially acid-generating rock that we  
16 talked earlier was a point of discussion with the  
17 intervenors. We found that this rock does not oxidize  
18 or does not rust very quickly at all. The sulphur  
19 minerals are such that they don't rust very quickly.  
20 The reactivity is lower than that of the rocks at  
21 Meadowbank. Meadowbank also has some potentially  
22 acid-generating rock, as Erika will explain; and those  
23 rocks have not generated bad water quality after seven  
24 years of operation. And for these, Whale Tail -- so  
25 the delay to the possible onset of acid generation is  
26 longer, much longer, than what is expected to take to

1 freezeback and to cover the waste rock pile.

2       So this graph has pH, which is a measure of how  
3 acid the water is. Down here, it says the water is  
4 acid. Up here, the water is good; it's within the  
5 criteria. But some test work has been done on all  
6 these samples for a period of over two years -- or  
7 just -- sorry -- just under two years, and we see --  
8 and that's in conditions in the laboratory much more  
9 aggressive than what will happen at site because of the  
10 climate and because of other things. And so this test  
11 work that we've done -- this is only a small part of  
12 the results -- show that how very little -- very low  
13 reactivity these materials are, adding to our  
14 confidence that there will be no problem of acid  
15 generation during operation or closure.

16       This slide is about what materials are going to be  
17 used for construction at site. The material that will  
18 be used will be non-acid generating. The 30 percent of  
19 material that is non-acid generating and non-leaching.  
20 These materials are easily identified and separated  
21 from the rocks that are leachable and acid generating.

22       It is currently expected that a thickness of about  
23 3-and-a-half, 3.3 metres is required to contain the  
24 active thaw depth and keep the waste rock pile frozen.  
25 To this estimate is added another .7 metres as  
26 contingency for a total cover thickness of 4 metres.

1 This is really expected to be adequate for covering the  
2 waste rock storage facility. Should more cover be  
3 needed in places, there is ample additional good rock  
4 in that southern portion and also ample additional rock  
5 within the existing footprint.

6 The following slides present the steps of the  
7 waste rock management plan that will be implemented in  
8 order to have an effective identification and  
9 segregation of waste rock to minimize possible impacts.

10 MS. VOYER: Thank you, Mr. Chair, members  
11 of the Board. Erika Voyer, Agnico Eagle Mine.

12 These following slides, as mentioned by Valerie,  
13 will present the main step for waste rock management at  
14 the Whale Tail Project. The waste rock --

15 THE CHAIR: Excuse me. One of the Board  
16 members requires a short break, so a quick break. We  
17 may as well take lunch for now, I guess. It's 12:00  
18 now; it's five after 12. So is that convenient for  
19 you?

20 MS. VOYER: Yeah. Perfect. We will  
21 continue after lunch.

22 THE CHAIR: Yeah. Okay. One hour. Okay.  
23 Come back 1:30, yeah, would be good.

24 Thank you.

25 (LUNCHEON ADJOURNMENT AT 12:06 PM)

26 (PROCEEDINGS RECOMMENCED AT 1:33 PM).

1 THE CHAIR: Good afternoon. We shall  
2 start now our afternoon session, continue on from this  
3 morning's presentation.

4 Applicant, go ahead.

5 Resumed Presentation by Agnico Eagle Mines Limited

6 MS. VOYER: Thank you, Mr. Chair, Board  
7 Members. Erika Voyer, Agnico Eagle Mine. I will  
8 continue with the presentation started this morning.

9 These following slides present the main step for  
10 the waste rock management at the Whale Tail Project.  
11 The waste rock management plan define quantities as  
12 well as timing of the waste rock availability and also  
13 define the various uses for the waste rock material.  
14 The mine waste rock prediction sequence is determined  
15 for every mine plan. We know how much waste rock and  
16 which type we will encounter during mining.

17 The material balance is completed for each year of  
18 operation. The material balance consists of the  
19 calculation of material quantity, including waste  
20 material and ore available at different stage of  
21 mining. The material balance indicate the various  
22 types and use of material that's being mined.  
23 Depending of their type, waste rock material can be  
24 used for general construction, dam construction,  
25 non-acid generator cover required for closure, and the  
26 rock can also be disposed at the waste rock storage

1 facility. Non-potentially acid generator and non-metal  
2 leaching waste rock produced by mining activity is used  
3 for the construction of the remaining mine  
4 infrastructure and also for closure requirement.

5 What are the main steps for the waste rock  
6 management? First, at the baseline stage, meaning at  
7 the very beginning of the project, from the geological  
8 information available, we have identified the type of  
9 waste rock by lithology that are present in the pit and  
10 also their potential use. The rock type are identified  
11 in our model of the pit for each geological formation.

12 During the mining process in the pit, the geology  
13 team will do sampling of every blast by sampling the  
14 material coming out of selected drill hole during  
15 drilling. The analysis of the sample is completed  
16 on-site in our laboratory. With the data from the  
17 laboratory analyses of the rock, we can define the acid  
18 rock drainage potential and classify if the waste rock  
19 is either potentially acid generator or non-acid  
20 generator. To validate the method used by Agnico Eagle  
21 on-site laboratory, some duplicate samples are also  
22 sent to external laboratory for external quality  
23 control and assurance.

24 On a daily basis, the geology team characterizes  
25 the rock types being mined and transferred this  
26 information to the staff working in the pit who are



1 mining the material. After each blast, each rock type  
2 is marked with ribbon and tape in the pit to delineate  
3 the rock type to guide the shovel operator during the  
4 excavation of the material.

5 In the pit, we mark or delineate the waste rock  
6 potentially acid generating or metal leaching that is  
7 to be transported to the waste rock storage facility.  
8 The waste rock non-acid generating and non-metal  
9 leaching that can be used for construction of  
10 infrastructure; and, also, we mark or delineate the ore  
11 to be placed in the ore stockpile and to be -- or to be  
12 sent at the mill to be processed.

13 All the waste rock will be classified according to  
14 site-specific acid rock drainage and metal leaching  
15 criteria. As for Meadowbank, the Whale Tail Project  
16 will have a metal leaching and acid rock drainage  
17 sampling plan which will include the specific detail  
18 and criteria for the different type of rock we will  
19 encounter.

20 Sampling of the waste rock will be done during  
21 mining. Testing for acid rock drainage and metal  
22 leaching will be done on-site to determine the rock  
23 type and the ore. The waste rock will be identified in  
24 the pit prior to excavation, segregated, and  
25 transported to the appropriate location according to  
26 the waste rock management plan.

1           During the mining process, the geology team will  
2       conduct sampling of every blast by sampling the  
3       material coming out of a selected drill hole. The  
4       analysis on-site of the sample will be done for total  
5       sulphur and inorganic carbon to determine acid rock  
6       drainage potential to be able to differentiate if the  
7       rock is potentially acid generating or non-acid  
8       generating. Arsenic will also be analyzed on selected  
9       lithology. Gold value contained in the rock will also  
10      be analyzed to differentiate the ore from the waste  
11      rock.

12           Results of the analyses is included to the block  
13      model by the mine geologists to adjust the waste rock  
14      management plan as needed during production. The  
15      management plan is reviewed and adjusted with the  
16      information gained throughout the operation.

17           Field sampling of rock material for analysis to  
18      determine the acid rock drainage and metal leaching  
19      potential will follow specific guidelines, including  
20      specific sampling frequency on the drill hole, specific  
21      labelling procedure for traceability, and use of  
22      composite samples will be avoided, as they're not  
23      considered representative samples.

24           Following laboratory analysis, geology staff will  
25      classify the waste rock and also overburden as non-acid  
26      generator or potentially acid generator material. The

1     NPR, net potential ratio, is a value that is calculated  
2     and basically consists of the ratio of carbonate and  
3     sulphur contained in the rock. This ratio is used to  
4     classify if the rock is potentially acid generator or a  
5     non-acid generator.

6             The engineering team is in charge of the waste  
7     rock management plan. The plan is reviewed on a weekly  
8     basis by the engineering planning group, and production  
9     maps are issued showing classification of the waste  
10    rock and ore trucking and deposition location. The  
11    waste rock management is an essential part of the  
12    mining plan.

13            The waste rock types in the appropriate deposition  
14    locations are identified in the same way that gold ore  
15    is identified and trucked to the mill or placed in the  
16    ore stockpile. This step is crucial to the operation  
17    and to the development of the open pit.

18            As mentioned, after each blast in the pit, each  
19    rock type is marked clearly with ribbon and paint in  
20    the pit by the geology team and the surveyor team in  
21    order to delineate properly the rock type and to guide  
22    the shovel operator and loader operators during the  
23    excavation. Daily maps are provided to pit shift boss,  
24    as presented on the right figure. The map include the  
25    different types of rock in the pit identified by the  
26    geology team.

1           On this slide, the figure on the left presents a  
2       schematic view of the delimitation of the packet in the  
3       blasted rock material in the pit. We can see the  
4       specific colour of tape and paint delineating the  
5       different type of material, such as ore in yellow,  
6       potentially acid generating and non-acid generating in  
7       green here on the figure on the -- on the left. The  
8       right photo show blasted material delineated with tape  
9       by the geology team to indicate the material  
10      transition. We can't see very well on the figure, but  
11      just the tape is located where the arrow is pointing on  
12      the right figure.

13           In the addition to the waste management maps  
14      provided by the engineering and the geology information  
15      marked every day in the pit, the dispatch system is  
16      also a control tool for the segregation,  
17      transportation, and placement of the waste rock. The  
18      dispatch system is used at Meadowbank and will also be  
19      used at Whale Tail.

20           The information for each area ready to mine  
21      prepared by the geology team is imported in the  
22      dispatch system. The system and the dispatcher in  
23      charge, as shown on the left picture, guide the  
24      operators and ensure the ore and the waste rock  
25      material are transported to the appropriate destination  
26      at all times. The execution of the waste rock

1 management is a step-by-step process that includes  
2 different team during the whole mining process.

3 Because of the large requirement of material for  
4 construction and also the requirement for non-acid  
5 generator material for the cover and also for adequate  
6 disposal to meet our closure objective, waste rock  
7 management is a key component of the mining planning.

8 The photo on the right on this slide shows the  
9 Portage Waste Rock Storage Facility at Meadowbank. The  
10 sector for potentially acid generator material and the  
11 non-acid generator material, as well as for the cover  
12 of non-acid generator are clearly indicated in the  
13 field with markers so the operator can see during their  
14 work clearly where are the different zones. Those  
15 sector are also -- will also -- are also identified --  
16 sorry -- in the dispatch system. Location for the  
17 waste rock placement will also be clearly defined and  
18 marked for the Whale Tail Project. Periodic sampling  
19 of waste rock material in pile and in contact water to  
20 verify and document the effectiveness of the waste rock  
21 management plan is conducted at Meadowbank and will  
22 also be completed at Whale Tail.

23 Agnico will follow the effective operational  
24 practices adapted from Meadowbank and will adhere to  
25 their management plan for the Whale Tail Project. The  
26 best practices for waste rock management adopted at

1 Meadowbank will continue at the Whale Tail Project with  
2 the same qualified and trained staff. Agnico also  
3 proposed to update the waste rock storage facility plan  
4 to outline the waste rock segregation practices.

5 Agnico believed that closure of the waste rock storage  
6 facility will be controlled through on-site monitoring,  
7 as well as with experience gained at Meadowbank and  
8 also through adaptive management.

9 Following the technical meeting for the Whale Tail  
10 Project in April, Agnico completed the thermal analysis  
11 of the Whale Tail waste rock storage facility and  
12 determined that a non-acid generator cover of 3.3 metre  
13 thick may be required to ensure thermal and chemical  
14 stability of the waste rock material at closure. As my  
15 colleague Valerie mentioned previously in the  
16 presentation, 0.5 metre will be added for safety for  
17 the cover for a total of 3.8 metre cover thickness.

18 Agnico Eagle will construct a 4 metre non-acid  
19 generator cover over the waste rock storage facility at  
20 Whale Tail. The material balance indicate that there  
21 is sufficient, good waste rock material to complete the  
22 cover. Also, the waste rock management, including the  
23 segregation protocol as presented in the previous  
24 slide, as well as the mitigation strategy, were  
25 reviewed and discussed with Indigenous and Northern  
26 Affairs Canada, Environment Canada, and the Kivalliq

1 Inuit Association. Finally, Agnico has performed  
2 sensitivity analyses model to consider the worst-case  
3 scenarios for waste rock segregation, including the  
4 waste rock material coming from the north wall of the  
5 Whale Tail Pit.

6 Finally, regarding the water quality prediction  
7 for the Whale Tail Pit Project, modelling predict that  
8 arsenic and phosphorous treatment may be required  
9 during operation. With treatment of arsenic to 0.1  
10 milligrams per litre, the base-case model predict that  
11 concentration at downstream location are below Canadian  
12 Environmental Quality Guideline for all applicable  
13 parameter and below site-specific water quality  
14 objective for arsenic are met at all stage of  
15 operation, closure and post-closure. Post-closure  
16 base-case prediction indicate that all applicable  
17 dissolve and total perimeter concentration are  
18 predicted to meet Canadian Environmental Quality  
19 Guideline, and arsenic is predicted to meet the  
20 site-specific water objective. Additional information  
21 on water quality prediction will be presented by my  
22 colleague in the next presentation.

23 This concludes the presentation. Thank you.

24 Mat'na.

25 THE CHAIR: Thank you. So we'll open for  
26 questions or concerns.

1           So we'll start with the Kivalliq Inuit  
2   Association.

3   MR. MANZO:                   Thank you, Mr. Chairman.   Luis  
4   Manzo, director of land, Kivalliq Inuit Association.

5           No questions at this time.

6   THE CHAIR:                  Thank you.

7           INAC, do you have questions, concerns?

8   MS. COSTELLO:               Indigenous and Northern  
9   Affairs, Karen Costello.

10          We have no questions at this time.   Some of the  
11   statements that Agnico has brought forward in this  
12   section we will speak to in our presentation.   Thank  
13   you, Mr. Chair.

14   THE CHAIR:                  Thank you.

15          Then Environment and Climate Change Canada.

16   MS. PINTO:                  Thank you, Mr. Chair.   Melissa  
17   Pinto, Environment and Climate Change Canada.

18          We have no questions at this time.

19   THE CHAIR:                  Thank you.

20          Next, DFO.

21   MR. D'AGUIAR:               Thank you, Mr. Chair.   Mark  
22   D'Aguiar with Fisheries and Oceans Canada.

23          We have no questions at this time.

24          Thank you.

25   THE CHAIR:                  Thank you.

26          Is there questions or concerns from public?   Is



1       there concerns from public? There's none?

2               Okay. DFO -- sorry. NWB staff.

3       Nunavut Water Board Staff Questions Agnico Eagle Mines  
4       Limited

5       MR. KHARATYAN:               Thank you, Mr. Chair. Karen  
6       Kharatyan, Nunavut Water Board staff.

7               Can you go back to Slide 13, please. Couple  
8       questions. Yes, this one. Just to confirm, what is  
9       the meaning or definition of "post-construction for  
10      tailings storage facility"?

11      MR. VANENGEN:               Mr. Chair. Ryan Vanengen from  
12      Agnico Eagle.

13              What's meant by the post-construction discharges,  
14      is -- we call the -- when we're planning our -- the  
15      construction or closure of our tailings storage  
16      facility, we refer to it as the construction of our  
17      tailings storage facility cap. So once we've completed  
18      the cover design for the closure, we'll achieve -- as  
19      the slide says, we'll achieve discharge criteria.

20              Thank you.

21      MR. KHARATYAN:               Mr. Chair. Karen Kharatyan,  
22      Water Board staff.

23              Follow-up: We know that, with the Whale Tail Pit,  
24      the arsenic loading will be much more than in  
25      Meadowbank. So from my memory -- I think, based on my  
26      memory, CCME doesn't have criteria for arsenic. Maybe

1 we should follow up -- have a follow-up question with  
2 Environment and Climate Change Canada.

3 So if CCME doesn't have data for arsenic, so  
4 site-specific water quality criteria should be  
5 established.

6 MR. VANENGEN: Mr. Chair. The Nunavut Water  
7 Board is correct. We would look into defining that  
8 when we move into the closure phase, and we would  
9 continue to work with the Nunavut Water Board to  
10 establish site-specific or appropriate water quality  
11 criteria based on the information that we have, and  
12 that would be determined in the closure phase and as we  
13 lead towards a closure, which would require a new  
14 licence at that point in time.

15 Mat'na.

16 MR. KHARATYAN: Mr. Chair. Karen Kharatyan,  
17 Water Board staff.

18 One more question: With the thermal licence  
19 requested 2025 then updated to 2026, which is during  
20 the closure phase now -- based on the information  
21 provided, now it's the closure phase. And I remember  
22 that it was stated during technical meeting that before  
23 post-closure now any direct discharge will happen from  
24 waste rock storage facility sump can be -- until -- or  
25 during the term of this licence, no direct discharge  
26 into environment from waste rock storage facility sump

1 will happen.

2 MR. VANENGEN: Ryan Vanengen from Agnico  
3 Eagle. Mr. Board -- Mr. Chairman and Board Members.

4 What you're referring to, Karen Kharatyan, is the  
5 sump downstream of our waste rock facility at Whale  
6 Tail. And you're absolutely correct; the water that we  
7 would -- that would collect in that sump during closure  
8 up until 2026 will not be discharged into the  
9 environment. Rather, it will be directed -- treated,  
10 if needed, and directed to the pit area that's going to  
11 be re-flooded during that period of time, and we would  
12 continue to monitor that effluent -- or that -- not  
13 effluent. It's the water pump from the sump into the  
14 pit. We'll continue to monitor that. As well as then  
15 its assimilation with the pit water and the area in the  
16 north basin area that we're re-flooding.

17 MR. KHARATYAN: Mr. Chair. Karen Kharatyan,  
18 Water Board staff.

19 Into pit or into attenuation pond?

20 MR. VANENGEN: Ryan Vanengen from Agnico  
21 Eagle.

22 The -- it would be initially -- it would -- in  
23 2026, the water levels would be the same. So that --  
24 the attenuation pond and the water within the pit area  
25 would all be considered one waterbody at that point,  
26 and, therefore, it would be considered the north Whale

1 Tail lake basin area. The details before 2026, we have  
2 to work out in terms of the sequencing of that -- where  
3 the water would go. But, certainly, our -- you know,  
4 it would be -- it would be our goal to -- to flood that  
5 area as rapidly as possible, so any water would go just  
6 into the either the pit or the attenuation pond, and  
7 those details we'll work out with the Nunavut Water  
8 Board at that time.

9 THE CHAIR: Thank you.

10 MR. KHARATYAN: Thank you, Mr. Chair. I may  
11 have a follow-up question later on. Karen Kharatyan,  
12 Water Board.

13 THE CHAIR: Thank you.

14 Stephanie, go ahead.

15 MS. AUTUT: Thank you, Mr. Chair.

16 Stephanie Autut, Nunavut Water Board.

17 If you could just refer to the cover slide of this  
18 presentation, please. I just need to seek some  
19 clarification for the purposes of the exhibit that's  
20 been filed. Okay.

21 So I just -- if you could confirm for the record  
22 for the purposes of the exhibits that this cover slide  
23 is not the slide that was provided electronically in a  
24 presentation to the Board, as well as Slide Number 8, I  
25 believe it was, which was in the -- in this  
26 presentation but not filed electronically with the

1 Board that you skipped over in your presentation.

2 We're just looking for clarification that nothing else  
3 in the presentation has changed.

4 THE CHAIR: Applicant, go ahead.

5 MR. QUESNEL: Thank you, Mr. Chair. Jamie  
6 Quesnel.

7 Yeah, with this presentation, what you see on the  
8 screen right now is not correct. It's the handouts and  
9 electronic versions that we provided were Part 3, Waste  
10 Disposal and Management. And also in this presentation  
11 that we went through, Slide 8, we did skip that. We  
12 did not talk about that slide. So all the other slides  
13 in the presentation are correct based on the handouts  
14 we have that we provided to the Board and also  
15 electronic version that we provided to the Board  
16 earlier. So apologize for that. Hopefully that  
17 answers your question.

18 MS. AUTUT: Okay. Thank you for that  
19 clarification. And for the purposes of the record, the  
20 exhibit will stand.

21 Thank you.

22 THE CHAIR: Thank you.

23 Karen.

24 MR. KHARATYAN: Mr. Chair. Karen Kharatyan,  
25 Water Board.

26 As a follow-up, yes, I am a little bit confused

1 because, from my understanding, the waste rock storage  
2 facility seepage, et cetera, from sump was going to  
3 attenuation pond. Now, if by 2026 this attenuation  
4 pond may be flooded already by pit, how this will be  
5 treated, if needed, by that time?

6 THE CHAIR: Applicant.

7 MR. GROLEAU: Michel Groleau, Agnico Eagle.

8 Mr. Chair.

9 To answer your question, the water that will be  
10 stored in that waste rock pump will be -- before -- be  
11 transferred to the pit or into the attenuation pond  
12 during the closure process to make sure it's meeting  
13 the criteria of CCME or site-specific before dike  
14 breaching. So at this point, there will be no more  
15 attenuation pond. We'll get into more details about  
16 that in the next presentation about water management.

17 MR. KHARATYAN: Thank you.

18 THE CHAIR: Thank you.

19 And then, Panel members, do you have questions?

20 No questions.

21 So, applicant, you can continue with your next  
22 presentation. Go ahead, applicants.

23 Presentation by Agnico Eagle Mines Limited (Water Use  
24 and Management)

25 MR. VANENGEN: Thank you, Mr. Chair and Board  
26 members.

1           For the next -- next hour, because of its  
2           importance for the Water Board, we're going to be  
3           presenting on our water use and water management. So  
4           myself, Ryan Vanengen, and Valerie Bertrand, my  
5           colleague, will be presenting. The presentation  
6           focuses on issues that were highlighted during the  
7           review process, and all issues have since been resolved  
8           with intervenors.

9           So for the next hour, we're going to be presenting  
10          on the water management, which includes aspects of  
11          contact water, groundwater management, fresh water  
12          diversion, management of mine water, water quality, and  
13          monitoring of -- and its effects on the receiving  
14          environment.

15          Water management plans have been adapted and will  
16          be -- will continue to adapt with new information that  
17          comes in. We'll present on that. And we'll also  
18          present a few slides on our fisheries offset planning  
19          and fish-out as well.

20          So, overall, I'm sure the Board members have seen  
21          this on other projects as well, and the Whale Tail Pit  
22          is no different. The overall objective for mine site  
23          water management is to reduce the amount of contact  
24          water to divert non-contact water away from the mine  
25          site area and to limit the quantity of fresh water use.  
26          This will be explained in the next few slides with my

1 colleague Valerie.

2       So as presented by Jamie Quesnel in the first set  
3 of slides, we have our area around the mine site here,  
4 the Whale Tail Pit site, and all of the water within  
5 this area is controlled. And we control -- and we call  
6 that area "the contact water area". It's controlled  
7 through the sump here from our waste rock pile. That  
8 water reports to the attenuation pond. The water from  
9 our camp facilities is treated at the source. The  
10 sewage is treated. And then the water is sent to the  
11 attenuation pond. And any sumps in our pit -- all that  
12 water is reports in the pit, is sent to the attenuation  
13 pond and then treated as necessary and discharged into  
14 Mammoth Lake, down here.

15       The ponds and water management systems have been  
16 designed to hold all contact waters, and this table  
17 presents the mean annual volume of water that are  
18 predicted to be managed within the Whale Tail Pit site  
19 and the water that will be managed from the site on an  
20 average year. You can see all of these volumes here.  
21 I've also provided printed and translated copies --  
22 that include translated copies to board members and the  
23 translators as well of the tables that are in here.

24       To ensure the protection of the receiving  
25 environment, we will be using a series of dikes that  
26 really build on our Meadowbank experience. We have



1 dikes at Meadowbank that contain, as I described, the  
2 surface water and make sure that the surface water of  
3 the mine site doesn't interact with the clean receiving  
4 environment. Examples of those dikes are -- is the  
5 south camp dike, as well as the Vault dike. And at  
6 Whale Tail Pit, we're going to construct a dike very  
7 similar to those structures, and it's called the  
8 Mammoth dike, and I'll just go back to this slide here.  
9 It's this dike here, the Mammoth dike, will be similar  
10 in its design and construction methodology to these  
11 dikes here that are illustrated and taken from photos  
12 of our Meadowbank site.

13 The Whale Tail dike -- I'll go back to this slide  
14 as well, and my colleague Jamie presented it in his  
15 earlier slide deck, the Whale Tail dike located here is  
16 going to be constructed very similar to the dikes that  
17 we've already constructed at Meadowbank. So the  
18 Bay Goose dike and also the east dike, which separates  
19 right now the Meadowbank pit -- so the Goose pit  
20 here -- from the receiving environment. So this is  
21 what essentially we're proposing to do for the Whale  
22 Tail dike. And you can see the design here is very  
23 similar in its design to the Bay Goose dike at  
24 Meadowbank, as well as the east dike at Meadowbank.

25 Using the lessons learned from -- from the  
26 construction at Meadowbank, we will manage and control

1     our total suspended solids. We will employ mitigation  
2     steps, such as turbidity curtain installation; you can  
3     see the turbidity curtains here in the photo. We will  
4     use adaptive management steps, if there are indications  
5     during construction that we are exceeding our total  
6     suspended solids, water quality triggers during  
7     construction, and if water quality is below the trigger  
8     during dewatering, we'll manage our water by  
9     discharging it into the south basin, and during  
10    dewatering, if we don't meet our limits or triggers are  
11    exceeded, we'll discharge treated water into Mammoth  
12    through our Mammoth diffuser. We will meet our licence  
13    criteria during dike construction and dewatering of the  
14    north basin.

15       We will also use the experience of constructing  
16    diversion channels that my colleague Michel Groleau  
17    presented around the -- our facilities at Meadowbank.  
18    We'll use the diversion channels and ditches, that  
19    experience, to also construct another diversion channel  
20    located here, which will divert the back-flooded area  
21    of South Whale Tail Lake through a diversion channel  
22    and into Mammoth Lake during operations, and I'll  
23    describe that in the next few slides as well.

24       We're going to use our experience from Meadowbank,  
25    which tells us that we should take a simple design of a  
26    two-to-one slope for this channel to connect Lake A20

1 to A45. We'll excavate an armour to ensure erosion  
2 protection.

3 This figure here or schematic shows the Whale Tail  
4 dike located here and the project during operations.  
5 So in 2020, the water will be flooded to this elevation  
6 and will spill into -- it's A45, Water Body A45, and  
7 then be directed to the Mammoth Lake. Historically,  
8 the water -- what we found through baseline studies is  
9 that the water flows in this direction, historically,  
10 as shown in that digital rendering, flows through the  
11 north basin into the Mammoth channel and through  
12 Mammoth. And by building the Whale Tail dike, we're  
13 raising the water level and diverting the water into  
14 the south of Mammoth Lake. What this means is that the  
15 water level natural elevation which right now is at  
16 152.5 metres above sea level will be raised by 3.5  
17 metres to an elevation of 156 metres above sea level.  
18 This will increase the area of the lake -- of the water  
19 bodies here by 40 percent, which is from 369 hectares  
20 to 153 hectares. This will take a few years to raise  
21 that water level naturally, and by July 2020, the water  
22 will spill into our -- into our constructed diversion  
23 channel and into Mammoth.

24 So you can see from this schematic the Whale Tail  
25 dike will be constructed in 2018. We'll begin raising  
26 the water level in 2019, which is represented by this

1 yellow line here. And by 2020, the water level will  
2 raise in July, approximately July 2020, will raise such  
3 that the water will spill into the constructed  
4 diversion channel through the Pond A45 and into Mammoth  
5 Lake.

6 The Whale Tail Lake south basin will remain  
7 flooded for a minimum of two years, but we'll continue  
8 to work with the Nunavut Water Board and, in  
9 particular, INAC and the KivIA as it relates to  
10 closure. The length of time the flooding will be  
11 maintained will be dependent on closure monitoring of  
12 the pit, which is in this area. It'll also be  
13 determined through monitoring during the operations of  
14 the inflows. We'll understand the inflows. And,  
15 ultimately, we'll make decisions on the timing of the  
16 reflooding and how the system will look during closure.  
17 And my colleague Erika will provide a bit more  
18 information on timelines in the next deck as well  
19 related to closure.

20 So this table here really just summarizes what I  
21 just presented in words or -- and won't spend too much  
22 time on this.

23 This was a table that was requested by the Nunavut  
24 Water Board during the prehearing conference related to  
25 the water-taking in Nemo Lake, and what this tells us  
26 is that the natural inflows into Nemo Lake can sustain

1     our water-taking proposal. So the inflows are  
2     represented here, and our water-taking is here. And  
3     what it shows is that we're well within -- we don't  
4     expect any changes in water level in Nemo Lake or  
5     changes in the system as a result of water-taking from  
6     Nemo.

7             So in the next few slides, these are going through  
8     the details that have been presented in the May 25th  
9     submission to the Nunavut Water Board related to water  
10    use. And what this -- just have to look at this. What  
11    this is demonstrating is our water use requirements  
12    during the operation of the Whale Tail facilities. So  
13    we're required to take water from Nemo Lake in the  
14    beginning stages of the mine operations through 2022,  
15    and right now our projections are -- and this will be  
16    based on water quality data, as well as waste rock  
17    monitoring. We will determine our closure requirements  
18    in 2022 until 2029, as described by Jamie earlier, and  
19    will be described a little bit further in detail by  
20    Erika. So all of these tables here have already been  
21    provided to the Nunavut Water Board in that submission  
22    in May.

23            In order to mill the ore at the Whale Tail Pit, we  
24    required continued water use for milling at the  
25    Meadowbank facilities, and that was described by Jamie,  
26    as well as described a little bit by Michel. And our

1 current Type A water licence at Meadowbank requires the  
2 following volumes, and as per our letter on May 25th,  
3 we're not requesting any change in water use. And  
4 we'll work within the water use that's already approved  
5 by the Nunavut Water Board under our Type A  
6 2AM-MEA1525.

7 So now we've gone through our water use, and I've  
8 tried to explain our water use for our project. And  
9 now we're back, kind of, thinking about some of the  
10 water management at Whale Tail Pit. And what's really  
11 important to understand in terms of our water  
12 management is that we've gone through a thorough,  
13 what's called "multiple accounts analysis" to determine  
14 how best we can manage our water at Whale Tail. What  
15 we did was we -- we analyzed four different options,  
16 and the options are as follows: The first option that  
17 we analyzed was simply creating a channel directly from  
18 Whale Tail south basin to Mammoth. We also evaluated  
19 an option of pumping, actively pumping, from the Whale  
20 Tail south basin into Mammoth. We also looked at  
21 creating a larger dike and back flooding so that the  
22 water would spill into a different watershed to the  
23 south. And then, ultimately, we -- we selected the  
24 other option that was analyzed, which was Option 4,  
25 which I described earlier, which turned out to be,  
26 according to the multiple accounts analysis, the best

1 option for water management at our Whale Tail Project.  
2 That document has been provided to the Nunavut Water  
3 Board.

4 Now, in order to -- as described in the earlier  
5 slides, we'll be dewatering the north basin by moving  
6 water from the north basin into the south basin. But  
7 before we dewater this area, we will complete a  
8 fish-out, and that's something that Agnico Eagle has  
9 quite a bit experience at through our Meadowbank  
10 project. And, certainly, given the importance of fish  
11 to the local Inuit, we have developed specific  
12 fisheries offsetting plans in fish-outs. We've worked  
13 with the Fisheries and Oceans and the Kivalliq Inuit  
14 Association to develop these plans and worked closely,  
15 especially the last two fish-outs at Meadowbank, we  
16 worked very closely with the Hunting and Trapping  
17 Organization to enhance and improve our fish-out  
18 practices.

19 Based on community feedback and in following  
20 Department of Fisheries guidance for fish-outs, we  
21 believe our plans will offset for the loss of fish  
22 habitat during operations and enclosure. A fish-out is  
23 planned to begin in the open water season of 2018 when  
24 the dike will be constructed. So as soon as the dike  
25 platform is constructed, we'll begin moving fish from  
26 the north basin into the south basin. And we will use

1 the -- the success of our past to guide some of our  
2 fish-out practices.

3 The updated fisheries offsetting plan will include  
4 on-site habitat creation, which means that we'll create  
5 new habitat within the north basin. We're also working  
6 with Fisheries and Oceans to understand and improve the  
7 Mammoth channel. So we'll raise the water levels so  
8 that we can enhance fish movement between Whale Tail  
9 Lake and Mammoth Lake. And we're also working with  
10 Fisheries and Oceans and the Kivalliq Inuit Association  
11 and the hamlet on complementary measures that will be  
12 off -- that will offset the loss of the fish habitat  
13 due to the pit being in that north basin.

14 Agnico Eagle is committed to the concepts  
15 presented in the offsetting plan and are confident the  
16 loss of fish habitat due to the Whale Tail Pit  
17 operations is offset. And Agnico Eagle will continue  
18 to work with Fisheries and Oceans and the Kivalliq  
19 Inuit Association to finalize the offsetting plan  
20 during the authorization phase of the project.

21 More specifically, we will work with Fisheries and  
22 Oceans -- we've worked with Fisheries and Oceans to --  
23 to improve our methods for calculating the fisheries  
24 losses, and these -- these methods have been reviewed  
25 and endorsed by experts, including Cam Portt and  
26 Dr. Ken Minns. We have adjusted our methods in



1 offsetting calculations based on Fisheries and Oceans'  
2 feedback, and that includes -- we've adjusted our equal  
3 weights for species.

4 Habitat losses due to enrichment were examined  
5 after water quality predictions were updated to account  
6 for treatment and habitat losses, and we don't expect  
7 any habitat losses associated with the downstream  
8 environment. And as I mentioned, we also have a series  
9 of complementary measures that we're working with  
10 Fisheries and Oceans and the Kivalliq Inuit Association  
11 and the hamlet on, and those would include research  
12 projects with the University of Manitoba,  
13 sustainability projects that are intended to provide  
14 direct benefits to the community of Baker Lake. And,  
15 in fact, for the past few years, we've heard concerns  
16 from the hamlet regarding the water quality of Airplane  
17 Lake, which is downstream of their sewage treatment  
18 facilities. We've heard those concerns also as it  
19 relates to drinking water in Baker Lake itself. And as  
20 a result, Agnico Eagle is very committed to enhancing  
21 and remediating that sewage treatment plant. And, in  
22 fact, yesterday my colleague Michel Groleau and I and a  
23 series -- and a number of researchers met with the  
24 hamlet to discuss those concepts and to develop studies  
25 so that we can enhance and remediate the sewage  
26 treatment in Baker Lake. And, certainly, especially

1 after the meeting yesterday, we're very excited about  
2 this opportunity. And the hamlet is very supportive of  
3 making these changes as it relates to improving the  
4 downstream fisheries, as well as the downstream water  
5 quality.

6 And, lastly, we will work in partnership with the  
7 Kivalliq Inuit Association, Fisheries and Oceans, and  
8 other researchers, including the Arctic Research  
9 Foundation, to continue to ensure the protection of  
10 Baker Lake and collect additional monitoring data  
11 associated with that.

12 Our monitoring for fisheries will include water  
13 quality monitoring. We will conduct monthly water  
14 quality monitoring around the Whale Tail Pit site and  
15 in the pit during flooding and closure. And a  
16 commitment made during the review process was also to  
17 conduct stratified water quality monitoring in Whale  
18 Tail Lake, Mammoth Lake, Nemo Lake, and as part of the  
19 core -- this will be part of the core receiving  
20 environmental monitoring program.

21 As a result, we proposed a number of terms and  
22 conditions to meet some of the comments that we  
23 received from Fisheries and Oceans, and that includes  
24 we will continue to work with the Department of  
25 Fisheries and Oceans and the Kivalliq Inuit Association  
26 to finalize the offsetting plan for approval prior to

1 construction, and we'll provide contingency offsetting  
2 to -- if unable to demonstrate sustainable fish habitat  
3 in post-closure.

4 Ultimately, what that means, and Valerie is going  
5 to provide a bit more information on that, is that  
6 through monitoring our site, we'll use the data that  
7 we've collected in baselines to inform our modelling,  
8 and any monitoring that we collect during operations,  
9 we'll continuously update our modelling and evaluation,  
10 which then influences our planning. And then we'll be  
11 able to adapt. And that was described very well by my  
12 colleagues Erika, Valerie, and Michel on how we  
13 adaptively manage for waste, and we'll continue to do  
14 that through the operations at the Whale Tail Pit.

15 And now I'm going to pass it to my colleague  
16 Valerie to -- for the next half hour, 20 minutes.

17 Mat'na.

18 MS. BERTRAND: Good afternoon, Mr. Chair,  
19 Board members. My name is Valerie Bertrand on behalf  
20 of Agnico Eagle.

21 So the next few slides -- number of slides will  
22 talk about water quality and the steps that were taken  
23 to estimate what that future water quality might be and  
24 what control mechanisms would be appropriate to ensure  
25 no effects to the receiving environment.

26 You've seen this before, and it's to reiterate the

1 point that the pit rock management plan -- as we talked  
2 earlier, the waste rock can have some effect on water  
3 quality. So the pit rock management plan and the rock  
4 testing plan, previously explained by Erika, are  
5 designed to successfully execute waste rock segregation  
6 and implement progressive closure during mining so that  
7 the effects of the closure plan can be monitored, and  
8 you can verify, get satisfied that it's going according  
9 to plan, that things are going well.

10 A very similar plan to what was explained has been  
11 really successful at the Meadowbank mine. This is why  
12 we feel that this plan will be successful at Whale  
13 Tail, because of the similarities between the two  
14 sites.

15 In addition to that, university research is  
16 currently ongoing on the cover design and on freeze  
17 back -- the rate at which freezing happens, the  
18 intensity of freezing. This information being  
19 collected now at Meadowbank will certainly inform the  
20 design at Whale Tail. So even if Whale Tail life is  
21 short, there is a history of information that will be  
22 used to predict what will happen and to guide designs  
23 in Whale Tail so that the closure scenario can be  
24 successful and have minimal impacts on the receiving  
25 water quality.

26 So these aspects, along with a great deal of

1 commitments that were made in response to intervenor  
2 comments and requests, have satisfied the agencies.

3 Now, on water management. This, of course, is an  
4 important issue to avoid long-term effects to  
5 downstream lakes from the effluent discharge during  
6 operation and after operation to determine what kind of  
7 water quality is going to happen in the flooded open  
8 pit and to make sure that the dikes can be breached and  
9 that post-closure can be initiated.

10 So an estimate of the possible future water  
11 quality was completed to identify the potential  
12 effects, as was done for Meadowbank project for  
13 approval a number of years ago. So both at Meadowbank  
14 and at Whale Tail, water quality models are completed  
15 to see what the potential impacts could be. In fact,  
16 both of these models in Meadowbank and Whale Tail were  
17 completed by the same team. The Whale Tail Project  
18 model is based on site-specific information and very  
19 conservative assumptions on what will happen at site;  
20 basically, the same initial assumptions that were used  
21 for Meadowbank.

22 The predictions suggest that on a worst case or on  
23 a worst-case scenario, arsenic and phosphorous will  
24 require treatment prior to discharge. So as a result,  
25 Agnico Eagle has committed to treating arsenic and  
26 phosphorous prior to discharge during operation.

1 Additional commitments have been made to ensure that  
2 long-term water quality objectives are met. So far,  
3 this, along with these commitments, have satisfied the  
4 intervenors.

5 The model predicts that after treatment, when  
6 concentrations are lowered, the effluent into Mammoth  
7 Lake during operation will meet the environmental  
8 quality criteria that have been agreed to with  
9 Environment Canada. It will also meet the federal  
10 water quality guidelines that apply to the receiving  
11 water body, as well as the site-specific arsenic  
12 criteria that was developed for the site.

13 Now, the basis for assessing whether water quality  
14 control was necessary, as I said, is the predictive  
15 model. Water quality predictions or assessment of what  
16 water quality is likely going to be was made at  
17 locations where water will accumulate on-site. So  
18 these places include -- we estimated water quality  
19 within the open pit where water just accumulates in the  
20 pit and needs to be pumped. We estimated it here in  
21 the attenuation pond. The attenuation pond collects  
22 water from all the other sites before it is treated and  
23 discharged. We estimated the water quality at the  
24 waste rock storage facility and, of course, at the  
25 effluent discharge point and within this lake, Mammoth  
26 Lake, and in the downstream lakes.

1           At the downstream lakes -- excuse me. I'm having  
2   trouble with this. So this is the mine site, and we  
3   estimated water quality all along the flow path of  
4   water all the way down to this large lake called  
5   "Downstream Lake". So we have water quality estimates  
6   of the effluent, and then in each of these lakes, as it  
7   flows down. At this point here, the water actually  
8   flows in two paths -- on two paths. This way, to Node  
9   2, we call it "Node 2", to differentiate it from this  
10   way, to Node 1. But it's the same lake.

11           So later on I'll present some results, and you'll  
12   see water quality at different lakes. This is what it  
13   represents. It represents at the source and then  
14   farther down the lake -- the chain of lakes.

15           The first point of contact of mine water into  
16   these downstream lakes is at Mammoth Lake. The  
17   water -- after treatment from the attenuation pond, the  
18   water gets discharged here in this basin of Mammoth  
19   Lake. We call that "the effluent mixing zone". So  
20   regulations are such that the water quality at the pipe  
21   is regulated. It must meet certain criteria. And then  
22   there's other criteria for water quality at the edge of  
23   the mixing zone into the -- into the lake.

24           So when we perform water quality models, the  
25   output that we get is something like this. It's  
26   time -- in time, and then these are concentration.

1 Concentration is, you know, from very low  
2 concentrations to quite high concentrations, and these  
3 dotted lines represent criteria. So the metal mine  
4 effluent criteria is one of them. The Portage water  
5 licence criteria. The -- and then the site-specific  
6 water quality objective, down here, criteria that's for  
7 the receiving environment after the discharge and once  
8 it's mixed into Mammoth Lake.

9 This particular graph is for arsenic. So we'll  
10 focus the discussion on arsenic and phosphorous  
11 because, as you'll recall from the earlier  
12 presentation, all the other metals are really low.  
13 They meet criteria. Arsenic requires treatment, and,  
14 therefore, we focused on arsenic.

15 The results here show -- so these results -- each  
16 of the lines represent a different area. This area is  
17 the pit sump. This area is the water quality coming  
18 from the rock pile. And these are the downstream  
19 lakes. So we can see that the water needs to be  
20 treated before it is discharged. We can see that the  
21 rock storage facility is just about at the effluent  
22 criteria, and the downstream lakes do meet the  
23 site-specific water quality objectives.

24 This is another way to look at results, where  
25 this -- imagine this is distance from the discharge  
26 point and at each of the lakes that you saw earlier



1     that were circled. So this is a discharge point, at  
2     the effluent. It's going to be meeting the effluent  
3     criteria. And then as soon as you're out of the mixing  
4     zone, it meets the water quality -- the site-specific  
5     water quality objectives, and then it gets diluted the  
6     farther away you are from the mine site. So these  
7     results tell us the water quality will be fine in the  
8     receiving environment and downstream of it.

9             That was the base case of our model. Then we  
10    presented -- the results were presented to the  
11    intervenors. Intervenors had a number of questions.  
12    There was a lot of interaction with Environment Canada,  
13    with Indigenous and Northern Affairs, with the Kivalliq  
14    Inuit Association. And the model was tested to see  
15    what would happen under various scenarios that are not  
16    necessarily the scenarios that will happen but just to  
17    test what if this was to happen. What if a worst-case  
18    condition was to happen? So we did these tests. And a  
19    number of the following slides speak to that, those  
20    scenarios that are hypothetical, that may or may not  
21    happen.

22            So these outline the sensitivity scenarios that we  
23    did just over the summer after the prehearing of April.  
24    So those scenarios include -- the first scenario is  
25    what if the waste rock storage facility does not get  
26    treated and discharges directly to Mammoth Lake after

1 closure, once the dikes are breached, it goes directly  
2 into Mammoth Lake. Will that affect water quality of  
3 the receiving environment?

4 The second scenario was what if some of that rock  
5 that releases arsenic gets mixed in the cover? You  
6 heard earlier how Agnico has a good plan to really  
7 differentiate the rock that needs to be managed and the  
8 rock that is good and will be used for cover. Well,  
9 what if there's some of this bad rock that gets mixed  
10 in with the cover? What does that do?

11 And the third scenario is the pushback. So  
12 there's the pit wall -- there's the pit that you saw on  
13 the dotted line, earlier this morning, and there was  
14 the rock there that was leaching. And the proposal is  
15 to push that pit wall north and remove that rock. What  
16 would happen then?

17 So this is the result of the first scenario. The  
18 first sensitivity analysis on allowing waste rock  
19 contact water to be just released into Mammoth Lake  
20 without handling it, without treating it. We expect  
21 that the water quality -- so the results show this red  
22 line that, you know, water quality can be -- the water  
23 quality can be -- will have higher arsenic than if you  
24 treat it. Except of interest -- of most interest is  
25 that the downstream lake's post-closure still need  
26 site-specific water quality objectives.

1           So in that scenario, if you don't -- if the water  
2           quality of that pond is not treated, the effect will be  
3           minimal to the downstream lakes. So the risk to water  
4           quality of releasing non-treated contact water is low,  
5           whether you have 2 metre or a 4 metre active thaw depth  
6           in the cover or in the waste rock.

7           Now the second scenario. The second scenario was  
8           to see the effect of a cover not being perfectly clean.  
9           So the results of that are here -- are described here.  
10          If some of that leaching material ends up in the cover,  
11          this will indeed bring arsenic concentrations higher.  
12          These show how high, if there's 2 percent -- an  
13          estimated 2 percent of that leaching rock in the cover  
14          or 5 percent of that leaching rock. The concentrations  
15          definitely are higher, and there's more arsenic in the  
16          receiving environment.

17          In this unlikely scenario where material is not  
18          properly controlled and higher leaching waste rock gets  
19          mixed into the cover, they said there's a possibility  
20          that waste rock contact water will be affected. This  
21          is why -- this is the reason why a prescriptive waste  
22          rock management plan has been set up, has been  
23          implemented -- or will be implemented at Whale Tail, to  
24          ensure that rock is placed at the correct location  
25          according to its end use. This plan's an important  
26          component of the successful operation of the Whale Tail

1 Project. It has been effective at Meadowbank, as  
2 described by Erika.

3 In addition, we know that the model is very  
4 conservative and that should even a little bit -- we  
5 think that these numbers are certainly higher than what  
6 we would expect in reality given the site conditions  
7 that are quite different from the conditions in the  
8 laboratory where we're trying to force release of  
9 metals.

10 So what is the risk associated with this? Well,  
11 we're confident that the risk of improper placement at  
12 site is relatively low, and we're confident that the  
13 model is very conservative and that the effect of a  
14 little bit of mixture will be -- will not be of great  
15 importance to water quality. Agnico Eagle has  
16 extensive experience in the arctic at the Meadowbank  
17 mine, which has somewhat similar waste rock. In  
18 addition, ongoing university research right now on the  
19 freeze back and the cover performance will be applied  
20 at Whale Tail and water management -- you know,  
21 prescriptions of the water management plan will help to  
22 see that this is being done carefully.

23 The third sensitivity analysis was the effects of  
24 the pushback. Recall that this scenario was discussed  
25 at the prehearing conference as a contingency measure  
26 to improve water quality in the open pit. The scenario

1 was modelled at the request of intervenors and to see  
2 what the water quality would be like. So the scenario  
3 considers two things: The exposure of a different rock  
4 in the open pit, so what that does to the pit water  
5 quality; and the placement of this additional rock on  
6 the rock storage facility. Remember that there's  
7 already going to be some of that in the waste rock.  
8 We're just putting more on to the waste rock pile.  
9 Okay.

10 So the results suggest that if you remove that  
11 rock from the open pit, there's going to be an  
12 improvement, actually, in the water quality of the open  
13 pit, because there is less material, less bad material,  
14 in the open pit. And it actually also improves the  
15 water quality of the rock storage facility because  
16 there's not that much in the open pit. It's just a  
17 thin layer. It gets removed. And because of the pit's  
18 slope requirements, they have to remove more rock  
19 behind it. So in proportion, you end up having less  
20 proportion of that material in the rock pile. So the  
21 water quality has actually improved.

22 So there's a 20 percent improvement, and this is  
23 the testament of -- you know, of the output of the  
24 model. The improvement really of the rock storage  
25 facility is seen during operation, predicted during  
26 operation, not at closure, because at closure, it's a

1 cover. Regardless of what's underneath, there's the  
2 same cover. As I said, the removal of this -- the  
3 pushback of this north wall improves the water quality  
4 in the pit by about the same, 20 percent, so 20 percent  
5 less arsenic. And, consequently, of course, if the pit  
6 lake is better quality, then the downstream receiving  
7 lakes will also be better quality. The flooded pit  
8 lake, the water quality of that pit lake is expected to  
9 meet site-specific water quality objectives for arsenic  
10 and to meet the federal criteria for the protection of  
11 aquatic life under fully mixed conditions.

12 Within that pushback, there's another kind of  
13 subscenario that was tested to -- which is a  
14 hypothetical but unlikely diffusion scenario where  
15 arsenic would actually come from the rock, like, just  
16 slowly come out from the rock. This scenario yielded  
17 elevated concentration of arsenic in the flooded pit  
18 lake post-closure. However, after collecting more data  
19 on hydrogeology, this scenario was established early  
20 on, before obtaining a bit more information on  
21 hydrogeology and groundwater flow. Now, after  
22 collecting this information, we are confident that this  
23 scenario will not occur. We believe that the risk of  
24 occurrence of the sensitivity scenario is low, and we  
25 are confident that the plans submitted to the Water  
26 Board will be effective in preventing negative effects

1 to water quality. Based on the current understanding  
2 of local groundwater regime, the flooded pit will act  
3 as a groundwater recharge zone post-closure. As a  
4 result, diffusion is not expected to result in an  
5 accumulation of significant amount of arsenic in the  
6 pit lake over time.

7 So the next few slides explain why. This is a  
8 schematic here of the groundwater flow regime at the  
9 Whale Tail Project post-closure, when the pit is fully  
10 flooded. So this is the pit here. Imagine a section,  
11 a long section, along the Whale Tail Lake, the top or  
12 the left here is where the open pit will be, and at the  
13 bottom is the south portion, the south basin, of Whale  
14 Tail Lake. So the groundwater flow direction is  
15 dictated by groundwater -- or lake water levels around  
16 the -- around Whale Tail Lake. The arrows here show  
17 expected groundwater flow direction. This is  
18 permafrost here.

19 So post-closure, when it's fully flooded, the lake  
20 water elevations around the Whale Tail Lake are such  
21 that we expect that groundwater flow will go down  
22 before it meets the -- the regional groundwater level.  
23 This here is a cross-section, if you look at down here.  
24 This is -- these are two cross-sections. So this  
25 cross-section here is through the open pit, and this  
26 one is the open pit and the south portion of Whale

1 Tail. This is the berm here, this berm. Okay. It  
2 shows the anticipated groundwater regime defined from  
3 baseline lake level, the groundwater from -- also from  
4 groundwater and permafrost information that was  
5 collected -- that have been collected for a few years  
6 now. It shows the model domains as they relate to the  
7 pit and the Whale Tail Lake post-closure. Arrows show  
8 the direction of groundwater flow under the pit and  
9 under the lake, derived from available baseline data.

10 So with this information, Agnico Eagle is  
11 confident, we're confident, that the scenario of this  
12 diffusion of arsenic and groundwater flow, you know, is  
13 unlikely -- highly unlikely, to occur. Notwithstanding  
14 this, Agnico has committed to collecting additional  
15 hydrogeological information, permafrost information,  
16 and site water quality data during operation to  
17 validate this assumption and validate the results  
18 should the project be approved. This information,  
19 together with commitments on water quality and  
20 groundwater flow monitoring, has satisfied the  
21 intervenors.

22 A few more to talk about the model, because of its  
23 importance.

24 An example of how the water quality model that was  
25 built for this is conservative and it is likely to  
26 overestimate water quality is illustrated in this graph



1 here. This graph was -- is the original predictions  
2 from the Vault area. So in 2008, sitting in front of  
3 the Board, again, we produced these concentrations,  
4 these -- these results, based on our water quality  
5 model. So I'm having trouble with the pointer here.

6 So these lines show the kind of level of  
7 prediction. There were many models, but this refers  
8 to -- for the intervenors' reference, this refers to a  
9 model that used laboratory information, not site  
10 information. We used laboratory information for the  
11 Whale Tail model. So these are what was predicted, and  
12 then these dots are what was actually measured in 2015  
13 at Vault. And we can see that the measurements are  
14 really very low. I mean, it's here, but it's less than  
15 what the laboratory could measure. So we -- from this,  
16 it supports our expectation that the model is really  
17 conservative. And the reason why we do a conservative  
18 model is because the one thing that we don't want to  
19 happen is that we underestimate and then we need to  
20 catch up. So it's best to overestimate, have  
21 everything in place, have water treatment in place, and  
22 then if you don't need it, it's -- that's the way it  
23 is. You don't want to have a system -- a situation  
24 where you say it's fine, and then you need to bring in  
25 water treatment after the fact. So that's the reason  
26 why we built these models in a conservative fashion,

1 and these real data tell us that, yeah, that's as we  
2 expect; we expect the water quality to be better than  
3 what we have predicted.

4 The same can be seen here for the Portage area.  
5 Now, some are within the same order of magnitude. They  
6 are -- the pits have changed. The pits are much bigger  
7 now at the Portage area. But a lot of them still are  
8 very, very -- much lower concentration in reality.

9 Okay. Done with the model.

10 The next slide speaks to water treatment. The  
11 intervenors had interest in knowing what is going to be  
12 proposed for water treatment. So this illustrates  
13 Agnico Eagle's commitment to treat water quality. This  
14 water treatment plant, the Veolia water treatment  
15 plant, will attenuate arsenic concentrations, will  
16 decrease arsenic concentrations, and will also treat  
17 the suspended solids or the mud in the water. The  
18 Veolia water treatment plant will be built at Whale  
19 Tail to control arsenic and suspended solids. It will  
20 operate during construction in case it's needed when  
21 dewatering. At Meadowbank, in the early days, there  
22 was some treatment of suspended solids towards the end  
23 of dewatering. Some muds were brought along with the  
24 water. But, actually, the process was perfected at  
25 Vault, and the water treatment wasn't used. But it  
26 will be available for use during construction. And

1 will also be used, if needed, to treat the arsenic  
2 during operation and closure and post-closure, but  
3 hopefully not.

4 The treatment plant is fairly straightforward.  
5 It's standard technology. Water comes in here. A  
6 chemical is added to retain the arsenic. The filter  
7 system is put in place to remove the suspended solids,  
8 and clean water gets out. The treatment plant will  
9 only be operated during open water season, that is,  
10 June to September. No winter discharges. So this  
11 is -- oh, and the expected treatment levels, just  
12 before -- so this will be -- will take attenuation pond  
13 water and treat it just before discharge into Mammoth  
14 Lake. And the treatment level is 0.1 milligram per  
15 litre of arsenic. Current MMER is 0.5, and Agnico  
16 Eagle has proposed a water treatment of 0.1. So better  
17 than metal mine effluent regulations. And this has  
18 been agreed to with Environment Canada intervenors.

19 Now, remember, there was phosphorous as well. So  
20 phosphorous will also be treated. Phosphorous comes  
21 from the sewage water, actually. It's a big source of  
22 phosphorous. It also comes from some of the rocks in  
23 the suspended particulates. There could be phosphorous  
24 in there. This will be treated at the sewage treatment  
25 plant, so at the camp, before the water goes into the  
26 attenuation pond. So there's two treatment plants:

1 One before discharge for arsenic and suspended solids,  
2 but the phosphorous gets treated at the source, at the  
3 camp, and then that water goes into the attenuation  
4 pond. In fact, the system selected -- there's a system  
5 that has been selected. It's been purchased, and it  
6 will be installed shortly at the Whale Tail site. That  
7 system is called the Newterra water treatment plant.  
8 It's a membrane bioreactor. It's a bioreactor. It  
9 will treat phosphorous to 1 milligram per litre, but it  
10 will also remove ammonia and nitrate from the sewer.  
11 It's a typical sewage treatment system but can also  
12 treat phosphorous. That said, the effluent from the  
13 sewage plant will be discharged to the attenuation pond  
14 and then to Mammoth via the diffuser. You have there  
15 the limits of treatment or the treatment levels.

16 So the next slide is just a schematic of what  
17 system looks like. I'm not going to go into details,  
18 but basically the water enters and goes through all  
19 these chambers to remove some suspended solids and the  
20 phosphorous, as well as the ammonia and the nitrate.

21 So after treatment, what does the water look like?  
22 Total phosphorous concentrations are predicted to be at  
23 the zero to slightly above the 0.01 milligram per litre  
24 in Mammoth Lake, but that's -- and slightly lower in  
25 downstream lakes. So that's the downstream lakes here,  
26 and we can see -- so from the discharge point into

1 Mammoth Lake and then downstream lakes.

2 This is a -- it is -- we expect that the water  
3 quality is going to be better than this because of two  
4 things: Because in the model we assume that all the  
5 chemicals that are discharged get immediately  
6 transported to all the downstream lakes. There's no  
7 effect of, you know, taking its time to migrate through  
8 the system. It's a conservative assumption that comes  
9 out in one lake, and it's present in all lakes  
10 immediately. And it also assumes that there's a lot of  
11 particulate in the water, which carries phosphorous.  
12 But we know for a fact, based on what we see at Vault,  
13 that particulates in water are not that high.

14 So the environmental quality criteria that are  
15 proposed for the project, so those -- those criteria  
16 would -- would apply at the effluent discharge into  
17 Mammoth Lake. So those would be in the water licence,  
18 these numbers. A full suite of these environmental  
19 quality criteria have been agreed to with Environment  
20 Canada. They are presented right here. The criteria  
21 for mercury, here it says, "For further discussion",  
22 and, in fact, we have discussed with Environment Canada  
23 prior to just recently, prior to the Board hearings,  
24 and a number has been agreed to. They will be the same  
25 as the Meadowbank Vault discharge criteria. So we have  
26 resolution now on these. It'll be .004 average and

1 .008 maximum. So with this, there is now a complete  
2 list of -- well, approved criteria, approved with  
3 Environment Canada. And as I said, these criteria were  
4 included as part of one of the exhibits, the exhibit of  
5 the water licence framework that was provided to the  
6 Water Board just earlier at the beginning of the  
7 session.

8 Another question was that site-specific -- just  
9 have two slides left. Another question was  
10 site-specific water quality objective. So a  
11 site-specific objective for arsenic was developed for  
12 Whale Tail. There exists one in the federal water  
13 quality objectives, there exists one. It's 5 PPB. But  
14 a site-specific one was developed to make sure that  
15 water quality was not affecting fish and aquatic life.  
16 A method was used; the method used to develop that  
17 criteria followed what's called the "species  
18 sensitivities distribution protocol", which is a  
19 standard method recommended by the Canadian Council of  
20 Ministers of the Environment.

21 So a value of 25 PPB or parts per billion or 0.025  
22 milligrams per litre was derived. This value was  
23 discussed with Environment Canada and agreed to and  
24 will be applied in the receiving lake at Whale Tail.  
25 So at the discharge point, the arsenic value will be  
26 0.1, and within the lake, the guideline value will be

1 0.025.

2 This has been discussed previously. It's the  
3 results of phosphorous. And we see that during  
4 operation, phosphorous increased because of the sewage,  
5 decreases during closure, and then falls off as the  
6 water quality is rejuvenated in the lake.

7 Last slide. In summary, site activities are not  
8 expected to result in negative effects to water quality  
9 in receiving lakes downstream of the project during all  
10 stages of mining. Sorry. Last of my slides. Two more  
11 for Ryan. We'll discuss some of the key commitments  
12 made as part of intervenor review process. Thank you.

13 MR. VANENGEN: Thank you, Valerie.

14 Ryan Vanengen from Agnico Eagle.

15 So just two more slides.

16 In summary, as Valerie pointed out and you can see  
17 from all of the information that we've provided, we've  
18 worked extensively with the Nunavut Water Board and, in  
19 particular, with Indigenous and Northern Affairs  
20 Canada, as well as Environment Canada and the Kivalliq  
21 Inuit Association to work on revising our models and  
22 ensuring that we'll protect the receiving environment.  
23 This is just the first step. We're going to continue  
24 to look at those data; we're going to continue to work  
25 with Nunavut Water Board to ensure that we -- the data  
26 that we collect is analyzed properly and that we

1 compare to the conservative predictions that Valerie  
2 described. So that's a normal standard practice that  
3 we do on these sites.

4 The other point that Valerie made too -- and she  
5 illustrated that really well in that one slide where --  
6 with the Vault example where -- I can go back to it  
7 since I have the controls. These ones here. She  
8 illustrated very well with -- is that the one, Valerie?  
9 Yes. This one here. Where all of the slides before  
10 that were showing what we predict in the beginning, in  
11 the baseline, so using conservative estimates. And  
12 what we actually see, as Valerie described, in Vault  
13 pit sump are these water quality estimates. So our  
14 commitment for Whale Tail Pit is to do just the same:  
15 Continue to monitor, collect the data, and compare it  
16 to what we predict. So that's our commitment, and I  
17 think we've demonstrated that commitment with all of  
18 the information that we've provided to the Nunavut  
19 Water Board.

20 The other thing that Valerie mentioned as well was  
21 that we would -- we would treat our water. So if our  
22 predictions show that we need to treat to make sure the  
23 receiving environment is protected, we're going to do  
24 that. And she showed those schematics of the treatment  
25 facilities that we're committed to install.

26 And in addition to that, you can see a list here



1 of other commitments that were discussed in the final  
2 submissions as well.

3 So, really, in summary of the last two decks, so  
4 where we started with Michel presenting and with Erika  
5 presenting, Valerie presenting, myself, and then  
6 Valerie again, what we -- what we really wanted to  
7 demonstrate to the Board is that we've done a very  
8 thorough job of understanding our project and also what  
9 we want to emphasize is that we have experience. We  
10 have a lot of experience with all these things that  
11 we've discussed, and we have lessons learned from the  
12 Meadowbank mine where we -- we handle waste all the  
13 time. Erika showed many great slides showing what we  
14 actually do, what our truckers actually see to make  
15 sure waste is brought to the right spots. Michel also  
16 described how we're going to handle, very well, our  
17 tailing storage facility at Meadowbank, and this is  
18 already licenced under our Type A water licence  
19 2AM-MEA1525, and we're going to continue operating  
20 according to that licence.

21 And lastly -- or not lastly, Val explained that  
22 we'll going to continue to monitor and continue to  
23 model, like I showed earlier. And the important part  
24 is that we're not just making decisions based on what  
25 we think is going to happen. These are fact-based  
26 decisions. This is based on engineering and science

1 and the best models that we can possibly use so that we  
2 make sure that the receiving environment is protected.

3 We will work with -- continue to work with the  
4 Nunavut Water Board, INAC, and Environment Canada to  
5 ensure that the closure meets our goals to protect the  
6 environment in the long-term closure and post-closure  
7 period. So that's our goal. During operations, make  
8 sure we protect so that our models tell us and we'll  
9 prove up our models that in closure and post-closure,  
10 the site will be able to be returned back to the way it  
11 was.

12 We will also work with Fisheries and Oceans to  
13 ensure the losses to the fishery are offset.

14 And, ultimately, what all of this information  
15 provided to the Board shows is that we do not expect  
16 any significant water quality impacts in the receiving  
17 environment, and it's Agnico Eagle's commitment to  
18 monitor that and to make sure that the water quality  
19 into the future, as well as the fish and the food that  
20 the fish depend on and the habitat that the fish  
21 survive in, is protected.

22 Mat'na, Mr. Chair and Board members.

23 THE CHAIR: Thank you for your  
24 presentation.

25 Before we go into questions and concerns from the  
26 audience, we shall take a 15-minute break.

1 (ADJOURNMENT)

2 THE CHAIR: So we have questions and  
3 concerns to the applicants. I'd like to move on with  
4 it.

5 So I will start with the KIA. Do you have  
6 concerns or questions? If you are not ready, I can ask  
7 INAC.

8 INAC, do you have questions or concerns?

9 MR. PARSONS: Thank you, Mr. Chair. Ian  
10 Parsons, Indigenous and Northern Affairs Canada.

11 We have no comments or concerns at this time.  
12 Thank you.

13 THE CHAIR: Thank you.

14 And then Environment and Climate Change Canada.

15 MS. PINTO: Thank you, Mr. Chair. Melissa  
16 Pinto, Environment and Climate Change Canada.

17 We have no questions at this time.

18 THE CHAIR: Thank you.

19 And DFO.

20 MR. D'AGUIAR: Thank you, Mr. Chair. Mark  
21 D'Aguiar for Fisheries and Oceans Canada.

22 We don't have any questions at this time.

23 Thank you.

24 THE CHAIR: All right. Thank you.

25 And then public. Is there concerns? Questions,  
26 concerns from the public? There's none? Okay.

1 KIA, do you have questions, concerns?

2 MR. TULUGAK: Jeff Tulugak from Kivalliq  
3 Inuit Association. (OTHER LANGUAGE SPOKEN).

4 THE CHAIR: NWB staff, questions,  
5 concerns?

6 Nunavut Water Board Questions Agnico Eagle Mines  
7 Limited

8 MR. KHARATYAN: Thank you, Mr. Chair. Karen  
9 Kharatyan, Nunavut Water Board staff.

10 A few questions, please. Can you go back to  
11 Slide 55. Slide 55. Just a clarification. The value  
12 for cadmium, how many zeros you have after dot? Can  
13 you double-check, please.

14 MR. VANENGEN: Ryan Vanengen from Agnico  
15 Eagle. We're just going to double-check to see if that  
16 number is correct. We'll get back to you momentarily.  
17 Is that okay?

18 MR. KHARATYAN: Mr. Chair. Karen Kharatyan  
19 again, Water Board staff.

20 Can you go back to Slide 50, Ryan, please. Just  
21 for clarification, this expected level of treatment is  
22 for attenuation pond during operation or also for waste  
23 rock storage facility sump during closure?  
24 Closure/postclosure?

25 MR. QUESNEL: Thank you, Mr. Chair.

26 Yeah, for both, for operation and closure.

1 MR. KHARATYAN: Mr. Chair. Karen Kharatyan,  
2 Water Board staff again.

3 Again, follow-up question. So how confident is  
4 Agnico Eagle that with this treatment target or level  
5 they will meet the site-specific quality criteria which  
6 is 0025?

7 MR. QUESNEL: Thank you, Mr. Chair.

8 Yes, we're confident for operations and the  
9 closure phase.

10 MR. KHARATYAN: Karen Kharatyan. Mr. Chair.  
11 Water Board staff again.

12 Can we go to Slide 21, please. Question about  
13 conducting stratified water quality monitoring. This  
14 is for north basin Lake Whale Tail -- Whale Tail Lake?

15 MR. VANENGEN: Yes. Ryan Vanengen from  
16 Agnico Eagle.

17 The commitment there was related to Fisheries and  
18 Oceans and Environment Canada question around  
19 monitoring within the core receiving environment  
20 program, and as we do at Meadowbank, we'll do  
21 stratified water quality monitoring. At Nemo Lake,  
22 South Whale Tail Lake, as well as Mammoth Lake. And  
23 then into closure scenarios, we'll also do stratified  
24 monitoring in the pit as well, as we're actively  
25 flooding in closure.

26 MR. KHARATYAN: Mr. Chair, thank you. Karen

1 Kharatyan, Water Board staff.

2 Could you little bit describe this stratified  
3 monitoring, Ryan. How many levels -- how deep each  
4 levels from each other?

5 MR. VANENGEN: Yes. Ryan Vanengen from  
6 Agnico Eagle.

7 Normally when we're doing the, what we call  
8 "receiving environment monitoring", so when we're  
9 looking in Mammoth Lake, what stratified monitoring  
10 means is that we collect a water sample at the surface,  
11 maybe at 3 metres below and then down below. So we get  
12 an understanding of the entire -- kind of, the water  
13 quality at depth which can change because of inputs due  
14 to our effluent. So that's what stratified monitoring  
15 means.

16 We also use tools, so we water sample at different  
17 intervals, but we also use tools, like meters that  
18 monitor at .5 metre depths, and it tells us a lot about  
19 the water quality also as we move down in depth. So  
20 there's kind of a number of tools that inform our  
21 stratified monitoring.

22 Mat'na.

23 MR. KHARATYAN: Mr. Chair. Karen Kharatyan.

24 A follow-up, Ryan. Would Agnico Eagle be able to  
25 include this information for north basin Whale Tail  
26 Lake, the stratified monitoring requirement within

1 water quality and flow monitoring? Because this is not  
2 related to CREMP information. This may provide  
3 information about in future during closure/postclosure  
4 phase whether there is a mixing between pit lake -- pit  
5 water and lake water. So this -- including this --  
6 within the water quality flow monitoring plan will  
7 provide information to parties when reviewing this  
8 information to see how this develops, whether there is  
9 potential or there will be -- or there's a tendency to  
10 have mixing or not between pit and lake water. And  
11 also to include definition or description of the  
12 stratified monitoring within the monitoring program. I  
13 think it was ST10 or 9 for north basin. I am just  
14 looking for north basin Whale Tail Lake -- Whale Tail  
15 Lake monitoring station.

16 MR. VANENGEN: Ryan Vanengen from Agnico  
17 Eagle. Mr. Board and Board members -- sorry.  
18 Mr. Chair and Board members.

19 The request by the Nunavut Water Board technical  
20 advisors is -- in our view, goes beyond what a water  
21 quality and flow monitoring plan is set out to do.  
22 Water quality and flow monitoring plan should not, and  
23 typically doesn't, include stratified sampling. The  
24 reason why that is, it's a compliance driven kind of  
25 decision-making framework. So what we ensure is that  
26 all the site water here stays in the site and reports

1 to the attenuation pond. It's really not until it  
2 discharges into Mammoth Lake that it becomes receiving  
3 environment. Everything in here is controlled by the  
4 mine operators, Agnico Eagle. And we make sure that  
5 that water quality is clean, and we report all the  
6 data. These are point sourced kind of samples that  
7 inform our models.

8 What the Nunavut -- what I understand the Nunavut  
9 Water Board technical staff is asking is that they want  
10 stratified sampling to occur in the area during  
11 operations, and that doesn't make sense. There's no --  
12 it's not a lake. So we can't -- we can't go and do  
13 that depth monitoring that I described earlier 'cause  
14 it's not a lake. These are point sources of water.  
15 But what we are committed to doing in our core  
16 receiving environmental monitoring program, which means  
17 we're going to monitor in the south basin, as well as  
18 Mammoth, as well as in Nemo and other lakes as well, we  
19 will make sure that those lakes are clean, and we do  
20 that through that stratified monitoring.

21 That said, into closure, if I go to -- hopefully I  
22 can find a slide with closure on here. I don't think  
23 it's in this deck. But under the closure scenarios --  
24 I'll go back to this slide here. In the closure  
25 scenarios, this area here is going to be flooded. And  
26 under that scenario, we're certainly interested under



1 the -- once it's flooded, and while we're flooding,  
2 we'd be interested in doing that stratified monitoring,  
3 and that we could make exceptions on the water quality  
4 and flow plan during closure. That seems fair. But to  
5 put -- build into a licence to do stratified monitoring  
6 in these other locations doesn't seem to fit with  
7 what's commonly done, and it wouldn't make sense either  
8 in the field.

9 Mat'na.

10 MR. KHARATYAN: Mr. Chair. Karen Kharatyan,  
11 Nunavut Water Board staff.

12 I should clarify. I mentioned it. I am  
13 looking -- we are looking just north basin Whale Tail  
14 Lake for closure, post-closure. We are not looking for  
15 this information for operation or the other lakes.  
16 Because your hypothesis about no diffusion happening in  
17 the peak and no mixing happening between the peak water  
18 and lake water above is still hypothesis. So this  
19 stratified monitoring will allow to see a little more  
20 at the time, at closure/postclosure time.

21 MR. VANENGEN: Mr. Chair, that seems  
22 acceptable to us. And what we would think to do is --  
23 or we'd recommend, perhaps, is to work with the Nunavut  
24 Water Board during the closure phase to develop what  
25 that monitoring would look like, exactly what it would  
26 look like into closure. But we're certainly open to

1 working with the Nunavut Water Board to define that  
2 closure monitoring in the north Whale Tail Lake basin.

3 Thank you.

4 MR. KHARATYAN: Thank you, Mr. Chair. No more  
5 questions.

6 At this time, maybe you could follow up with the  
7 cadmium value.

8 MR. QUESNEL: Thank you, Mr. Chair. If we  
9 can -- on Slide 55, dealing with your question  
10 regarding cadmium, yeah, that was a mistake. So the  
11 mean -- Slide 55. There's one too many zeros. So it's  
12 .002 and .004. However, in the water licence framework  
13 that we submitted, we have the right concentrations,  
14 the correct numbers. Okay.

15 MR. VANENGEN: Two zeros.

16 MR. QUESNEL: Yeah. Two zeros, yeah. Two  
17 zeros, not three, two zeros.

18 THE CHAIR: Thank you.

19 The Panel members, do you have questions? No.  
20 Okay. Thank you.

21 So, applicant, you have more presentations to do.  
22 Go ahead.

23 Presentation by Agnico Eagle Mines Limited  
24 (Abandonment, Reclamation, Closure, and Security)

25 MR. QUESNEL: Thank you, Mr. Chair. We have  
26 four more presentations. So the next one's on the

1       reclamation closure and security.

2       MS. VOYER:                   Thank you, Mr. Chair, Board  
3       members. Erika Voyer, Agnico Eagle.

4             In this presentation, as Jamie mentioned, we will  
5       discuss the reclamation, closure, and associated  
6       security for the Whale Tail Project.

7             We had a chance to see that slide in the previous  
8       presentation. So this is the map showing the road from  
9       Meadowbank to Whale Tail. So the closure and the  
10      security includes the component of the Whale Tail  
11      Project and also include the component of the Whale  
12      Tail haul road. The map presenting the road from  
13      Meadowbank to the Whale Tail Pit Project is on this  
14      slide. The actual Whale Tail exploration road that was  
15      completed at the end of August 2017 will become, upon  
16      approval, the Whale Tail haul road when it will be  
17      enlarged by 3 metres passing from 6.5 metres wide to  
18      9.5 metres.

19            The haul road has a total length of 64.13  
20      kilometre connecting the Vault haul road to the Whale  
21      Tail Project. Two thirds of the road is constructed on  
22      Crown land and one third on Inuit-owned land. All  
23      these components of the road -- so the road itself, the  
24      embankment, as well as the nine bridges and the  
25      culvert are included in the global security that  
26      Kivalliq Inuit Association, Indigenous and Northern

1       Affairs Canada, and Agnico has agreed on.

2           Here is a map of the site for Whale Tail during  
3       operation. Please note that operation will occur from  
4       2019 to 2022. As presented previously, the pit area  
5       would be isolated by a dike and will be the water for  
6       the development and the operation of the pit. The  
7       dewatered water level will be maintained through the  
8       life of the project by diverting most of the freshwater  
9       to other sub-watershed area using diversion channel.  
10      The contact water will be treated before discharged to  
11      Mammoth Lake.

12           During operation, progressive reclamation will  
13      occur by progressive non-acid generator cover placement  
14      over the waste rock storage facility located here. An  
15      engineer cover will be progressively placed on the  
16      surface of the waste rock storage facility during  
17      operation. The cover will be composed of 4 metre thick  
18      non-acid generator waste rock material as presented  
19      during the waste disposal and management presentation.

20           Cover design will be finalized during the detailed  
21      design phase of the project and will consider  
22      operational experience at other northern mine site,  
23      including our Meadowbank mine. Active care,  
24      maintenance, and monitoring will be required for the  
25      reclaimed area over the waste rock storage facility  
26      throughout the operation stage. During operation, we

1 will also continue to work with the intervenors by  
2 updating our water quality modelling. Based on this  
3 information, we will update our operations and closure  
4 concepts.

5 Here is a map of the site following the end of  
6 operation during closure stage, starting at the end of  
7 2022, and that could extend to 2029, and not as 2025,  
8 as indicated on this slide. During the closure stage,  
9 the removal of the non-essential site infrastructures  
10 will occur. To dewater Whale Tail Pit area will be  
11 re-flooded as discussed previously. Active care,  
12 maintenance, and monitoring will be required for the  
13 decommissioned and remaining facility throughout this  
14 stage.

15 Post-closure stage following the closure period  
16 from 2030 and onward will commence as closure is  
17 completed. Please disregard the date that's noted on  
18 the presentation. Once the water in the re-flooded  
19 area of the pit is suitable for direct discharge to the  
20 environment, the pumping and pipeline systems will be  
21 removed. The Whale Tail dike and Mammoth dike will  
22 then be breached at selected locations.

23 The back-flooded area -- the flooded area will be  
24 restored. The contact water management system for the  
25 waste rock storage facility will be maintained during  
26 the closure and the post-closure period. Once the

1 water quality is acceptable for direct release, based  
2 on criteria established through the water licencing  
3 process, the waste rock storage facility contact water  
4 management system will be decommissioned. As  
5 mentioned, the dike will not be breached until water  
6 quality in the pit meets CCME, Canadian Council of  
7 Minister of Environment guideline, baseline, or  
8 appropriate site-specific water quality objective at  
9 the discretion of the Nunavut Water Board. During the  
10 post-closure stage, continued monitoring and  
11 maintenance will be carried out at an adjusted  
12 frequency depending on the result of the monitoring and  
13 measure of success of selected -- selected for closure.

14 After the four years of mining at the Whale Tail  
15 Pit, Whale Tail, as well as Meadowbank, will both enter  
16 in the closure phase. The closure concept for  
17 Meadowbank mine site presented in the interim closure  
18 and reclamation plan for Meadowbank will remain  
19 unchanged. The pit at Meadowbank will be re-flooded  
20 and as presented by my colleague Michel Groleau, the  
21 tailing and the waste rock storage facility at  
22 Meadowbank will be covered with non-acid generator  
23 material. During the operation of Whale Tail,  
24 progressive closure at Meadowbank will occur. Lessons  
25 learned during closure at Meadowbank will be applied  
26 for the Whale Tail Project.

1           For the Meadowbank site, as part of the licence --  
2           as part of the water licence Type A renewal in 2015,  
3           the interim closure and reclamation plan was completed  
4           in January 2014 and the security amount for the closure  
5           of Meadowbank site has been agreed on. As part of the  
6           application for the Whale Tail Project, the Whale Tail  
7           interim closure and reclamation plan has been  
8           completed, including the closure of the Whale Tail Pit  
9           site and the Whale Tail haul road.

10          The Whale Tail interim closure and reclamation  
11          plan adhered to INAC and Indigenous and Northern  
12          Affairs Canada guidance on closure and reclamation.

13          During the planning for closure and reclamation,  
14          Agnico Eagle will adhere to acid rock drainage and  
15          metal-leaching monitoring plan, waste rock storage  
16          facility management plan, water quality and flow  
17          monitoring plan. Those plans will be updated as  
18          required with the information gained during operation  
19          at Whale Tail. Experience and knowledge gained through  
20          operation and closure of Meadowbank facilities, such as  
21          the Vault area, will continue to inform closure  
22          planning for the Whale Tail Project. Progressive --  
23          proactive monitoring and decision-making will ensure  
24          post-closure goals are met. This will be achieved by  
25          geochemical monitoring of the waste rock material,  
26          thermistor installation and reading for thermal

1 monitoring, water quality in sumps and pit to update  
2 the water quality forecasts, and various modelling work  
3 such as thermal and water quality model.

4 As for Meadowbank, the closure concept will be in  
5 continuous evaluation and planning during the  
6 operation.

7 Agnico believes that closure of the Whale Tail  
8 Project will be controlled through on-site monitoring,  
9 as well as experience gained at Meadowbank and also  
10 through adaptive management to maintain the closure  
11 objective of chemical stability of waste rock and good  
12 water quality.

13 Agnico Eagle has agreed on a security management  
14 agreement with Kivalliq Inuit Association and  
15 Indigenous and Northern Affairs Canada for the Whale  
16 Tail Pit Project. The total costs for security agreed  
17 on is \$26,285,926.

18 In terms of security for closure, Agnico made the  
19 following commitment: Agnico Eagle agrees to the  
20 treatment of post-closure seepage/runoff until water  
21 meets discharge criteria required. Agnico Eagle will  
22 also work cooperatively with Indigenous and Northern  
23 Affairs Canada and the Kivalliq Inuit Association to  
24 develop a framework for reduction in monitoring  
25 requirements and associated security amounts. This  
26 framework may be applied by the Nunavut Review --



1 Nunavut Water Board to reduce security requirements in  
2 post-closure.

3 This completes the presentation of closure and  
4 security for the Whale Tail Pit Project.

5 Mat'na.

6 THE CHAIR: Thank you.

7 So open for questions/concerns. Can I start with  
8 KIA.

9 Comments by Kivalliq Inuit Association

10 MR. MANZO: Thank you, Mr. Chairman. Luis  
11 Manzo, Kivalliq Inuit Association.

12 I just have one clarification on the last slide  
13 regarding the framework. KIA's reviewing the framework  
14 at this time, and I believe INAC also is reviewing the  
15 framework. So it's very unlikely that we actually get  
16 an agreement before the hearing ends.

17 Thank you, Mr. Chair.

18 THE CHAIR: Thank you.

19 INAC.

20 Indigenous and Northern Affairs Canada Questions Agnico  
21 Eagle Mines Limited

22 MS. COSTELLO: Thank you, Mr. Chair and the  
23 Board. My name is Karen Costello. I'm with Indigenous  
24 and Northern Affairs Canada.

25 I'll verify that we have reached agreement with  
26 Agnico Eagle and the Kivalliq Inuit Association on a

1       reclamation cost estimate for the project as submitted  
2       in the environmental impact statement and the water  
3       licence application. In their closure plan and in  
4       their presentation, they have specified years related  
5       to the different operational phases or the construction  
6       operation closure. However, I have noted that in  
7       Agnico Eagle's July quarterly report and in a public  
8       publication, they have indicated that resources at  
9       Whale Tail in the global Amaruq project overall seem to  
10      be increasing beyond what was in the environmental  
11      impact statement. This is normal. Exploration is  
12      ongoing.

13             So my question is, is there -- in the event that  
14      the life of mine of Whale Tail goes beyond what it  
15      currently is in the EI -- environmental impact  
16      statement, is there flexibility or is there room in  
17      this closure plan to -- would it still apply in the  
18      event that the mine life was extended?

19      THE CHAIR:                     Thank you.

20             Applicants.

21      MR. QUESNEL:                   Thank you, Mr. Chair. Jamie  
22      Quesnel, Agnico.

23             Yeah, there's -- if that does occur, the closure  
24      plan -- there would be flexibility based on that. It  
25      would just be based on, you know, typical adaptive  
26      management practices, depending if that does occur. So

1 we would make those adjustments related to that. And  
2 depending what that could be, like, we're speculating  
3 now, so it's hard to really define it, but we would  
4 adjust that related to the existing closure plan. So,  
5 yeah, there's flexibility, but we're just speculating  
6 what that could look like. So it's challenging to be  
7 very definitive. However, I would state that that plan  
8 would be flexible to adapt to any extension if that did  
9 occur within the Amaruq footprint.

10 MS. COSTELLO: Thank you, Mr. Chair.

11 And thank you, Agnico Eagle -- oh, Karen Costello  
12 for Indigenous and Northern Affairs Canada.

13 Thank you, Agnico Eagle for that response. What  
14 I'm also thinking about is, as part of the  
15 consequential amendment to the Meadowbank water  
16 licence, it's the use of the tailings facility. So in  
17 the event that the Whale Tail mine life goes beyond  
18 what is currently, I'm just thinking capacity for the  
19 tailings. So 'cause we were kind of doing some rough  
20 math here, and it seems that both the north and the  
21 south cell are going to -- could be quite full after --  
22 based on even the current life of mine that is the  
23 subject of this licence application.

24 MR. QUESNEL: Thank you, Mr. Chair. Jamie  
25 Quesnel, Agnico.

26 Yeah, I think the -- based Michel Groleau's

1 presentation, I think it's close to 2 million -- is it  
2 cubic metres? -- yeah, of additional capacity at the  
3 north and south cell. Just like our exploration team  
4 in mining, they're drilling and looking for additional  
5 resources as a typical operating year, as an operation  
6 we're evaluating all these options if that does occur.  
7 So we would be ready for that evaluation to see if --  
8 where we could look at additional capacity for  
9 tailings. So those type of things are always ongoing.  
10 We're always looking at those options, but we don't  
11 have anything in front of us that we're looking at  
12 right now that would be tied into the whole process  
13 with NIRB if that does occur with any extension to  
14 Meadowbank. Hopefully that answers your questions.

15 MS. COSTELLO: Thank you, Mr. Chair; and  
16 thank you, Agnico Eagle.

17 Yes. I was just curious because this information  
18 kind of is out there in the public domain, and it was  
19 just something that -- the thoughts kind of came  
20 through our mind as we were reviewing this application  
21 as to just the adaptability and the flexibility with  
22 this current application should -- should you have to  
23 come back with a potential amendment or further  
24 consideration by the Nunavut Impact Review Board or the  
25 Nunavut Water Board.

26 Thank you, Mr. Chair. That's all.

1 THE CHAIR: Thank you.

2 Next, Environment and Climate Change Canada.

3 MS. PINTO: Thank you, Mr. Chair. Melissa

4 Pinto, Environment and Climate Change Canada.

5 We have no questions at this time.

6 THE CHAIR: Thank you.

7 Next, DFO.

8 MR. D'AGUIAR: Mark D'Aguiar with Fisheries

9 and Oceans Canada. Thank you, Mr. Chair.

10 We don't have any questions at this time. Thanks.

11 THE CHAIR: Thank you.

12 Is there questions or concerns from public?

13 (OTHER LANGUAGE SPOKEN)

14 NWB staff, concerns? Questions?

15 MR. KHARATYAN: Thank you, Mr. Chair. Karen

16 Kharatyan, NWB staff.

17 No questions at this time.

18 THE CHAIR: Thank you.

19 The Panel members? Okay. None.

20 All right. Thank you.

21 You have another -- more presentations to go?

22 MR. QUESNEL: Yes.

23 MR. VANENGEN: Just three more presentations.

24 Presentation by Agnico Eagle Mines Limited (Accidents

25 and Malfunctions)

26 MR. QUESNEL: Thank you, Mr. Chair. Jamie

1 Quesnel, Agnico Eagle.

2 Next presentation is on accidents and  
3 malfunctions.

4 Part of our process to evaluate a lot of the  
5 procedures and -- is related to our responsible mining  
6 management system. It was mentioned earlier about the  
7 plan, do, check, and act. So that's a common theme for  
8 adaptive management. We do our planning. We execute.  
9 We check if there's areas of improvements and act on  
10 those changes. Some of the key items would be related  
11 to site-specific health and safety plans, operational  
12 procedures, guides, and instructions. Again,  
13 continuous monitoring, the adaptive management piece.  
14 The mitigation, maintenance, and also response. The  
15 response is related to the highly skilled emergency  
16 response team that we have at Meadowbank and also for  
17 Whale Tail Pit Project. If we do receive our  
18 approvals, there will be a separate team located at  
19 Whale Tail.

20 So health and safety is paramount at Agnico Eagle.  
21 Everyone has a responsibility, and everyone can make a  
22 difference related to health and safety. We identify  
23 our health and safety responsibilities for all level of  
24 employees. We ensure clear guidance and expectations  
25 toward safety, and we adhere to all safety regulations  
26 and ensure preventative measures are in place.

1           Spill contingency and response plans. We have  
2       these plans as part of our water licence. It's related  
3       to the collection, use, management, and reuse of water.  
4       The collection, use, and management of waste, and any  
5       discharges to the receiving environment. And my  
6       colleagues have commented and explained, very  
7       effectively, of all the plans that we have in place at  
8       Meadowbank and that will be -- all that knowledge and  
9       operating experience will be transferred to Whale Tail.

10          Agnico Eagle has in place a systematic adaptive  
11       management approach that we've been using for ten years  
12       now in Nunavut, directly related to the decision-making  
13       whereby operational practices can be adapted and  
14       adjusted as required to reduce or eliminate any  
15       unforeseen negative impacts throughout the life of the  
16       project.

17          Our emergency response team, its designated team,  
18       there's one going to be at Meadow, one at Whale Tail  
19       Pit Project. All members of the teams are trained and  
20       familiar with emergency and spill response resources,  
21       including their location and access, where the  
22       resources are at the operation. The spill contingency  
23       plan, they're familiar with that, and appropriate  
24       emergency spill response methodologies.

25          Some of the training -- some of the highlight  
26       items related to the training, related to the spill

1 response plan, the roles and responsibilities of each  
2 member of the emergency response team, the nature,  
3 status, and location of the fuel and chemical storage  
4 facilities, where they are on the site, the on-site and  
5 off-site spill response equipment and how to use it,  
6 the emergency contact lists within Agnico Eagle and  
7 also with our government agencies, and also desktop  
8 exercises of worst-case scenarios. Just last week we  
9 had one here in Baker Lake at the fuel farm. Just as  
10 an exercise, if something did occur, and this is a key  
11 learning where we evaluate what went well with that and  
12 any areas of improvement. And, also, reviewing the  
13 likely causes and possible effects of spills.

14 And that's the end of that presentation.

15 Thank you.

16 THE CHAIR: Thank you.

17 Questions or comments, concerns? Kivalliq Inuit  
18 Association.

19 MR. MANZO: Thank you, Mr. Chairman. Luis  
20 Manzo, Kivalliq Inuit Association.

21 No questions at this time.

22 THE CHAIR: Thank you.

23 INAC.

24 MR. PARSONS: Thank you, Mr. Chair. Ian  
25 Parsons, Indigenous and Northern Affairs Canada.

26 We have no questions at this time.



1           Thank you.

2       THE CHAIR:                   Thank you.

3           Environment and Climate Change Canada.

4       MS. PINTO:                   Thank you, Mr. Chair.   Melissa

5       Pinto, Environment and Climate Change Canada.

6           We have no questions at this time.

7       THE CHAIR:                   Thank you.

8           And DFO.

9       MR. D'AGUIAR:               Thank you, Mr. Chair.   Mark

10       D'Aguiar with Fisheries and Oceans Canada.

11           We have no questions at this time.

12           Thank you.

13       THE CHAIR:                   Is there concerns, questions

14       from public?  (OTHER LANGUAGE SPOKEN).   Okay.

15           NWB staff.

16       MR. KHARATYAN:              Thank you, Mr. Chair.   Karen

17       Kharatyan, Water Board staff.

18           No questions at this time.

19       THE CHAIR:                   Thank you.   And last one,

20       NWB -- Panel members.   None.   Thank you.

21           So next presentation.

22       Presentation by Agnico Eagle Mines Limited (Management

23       Plans and Monitoring Programs)

24       MR. VANENGEN:                Mr. Chair and Board members,

25       for the next 20 minutes -- or my name's Ryan Vanengen

26       with Agnico Eagle.   For the next 20 minutes, Erika and

1 I will be presenting the summary of our management  
2 plans and monitoring plans. So a lot of this has  
3 already been presented in the previous presentations,  
4 and this is going to be, we hope, kind of a compressed  
5 version of that, as well as highlight a few of the  
6 specific monitoring plans related to the site  
7 monitoring that Karen had brought up and also our dike  
8 construction and then receiving environment monitoring.

9 So we'll touch on the -- an overview of our  
10 approach to management plans. We'll -- I'll touch on  
11 the water quality and flow monitoring. I'll touch on  
12 the water quality monitoring and management, as well as  
13 some of our hydrogeological monitoring. We'll talk  
14 about our quality assurance and quality control. Erika  
15 will present on our waste rock management. And then  
16 we'll quickly talk also about the spill contingency  
17 emergency and also closure and reclamation planning and  
18 the monitoring that will go into that.

19 So really quickly, this'll be a bit clearer for  
20 everybody as it's outlined also in our draft framework  
21 for the Type A water licence for Whale Tail Pit. So we  
22 separated our plans for Whale Tail Pit into a  
23 different -- four different categories. We have  
24 standalone plans that are Whale Tail Pit-specific. We  
25 have Whale Tail Pit addendums. So these are -- these  
26 are management plans that we had at Meadowbank and that

1 we bolted onto it elements of Whale Tail Pit. So we  
2 call that an addendum. We also updated our -- some of  
3 our mine plans, including the tailings storage facility  
4 management plan, which Michel Groleau presented on. So  
5 we updated that plan. And then we also used approved  
6 Meadowbank plans, and that would include, you know,  
7 spill contingency plans, quality assurance, quality  
8 control, transportation plans, and maintenance and  
9 surveillance plans. And the idea behind that is that  
10 we don't intend to reinvent the wheel. We want to use  
11 the plans that are good and work at Meadowbank; we want  
12 to apply them to Whale Tail Pit as well.

13 So for water quality, this is -- this is really --  
14 this figure here is summarizing our water quality and  
15 flow monitoring plan, and we call it site-wide  
16 monitoring. So we have -- during operations, what  
17 we're proposing are 15 monitoring stations all around  
18 the system. So it's to look at pits and sumps in our  
19 contact water. So you can see there's a station in the  
20 waste rock storage facility sump. There's a station in  
21 the pit where there'll be a sump as well. There's a  
22 station in the attenuation pond. And all that water is  
23 monitored at a station also prior to discharge into  
24 Mammoth Lake.

25 We also have a station for discharging water from  
26 our fuel farm, and we have a station to monitor our

1     sewage effluent into the attenuation pond. We also  
2     have a series of other monitoring stations within  
3     our -- on our water quality and flow plan in the  
4     receiving environment, including stations in A45, as  
5     well as in downstream locations. And that -- the idea  
6     behind those stations is that they'll be monitored  
7     generally every month. Like, there's some exceptions.  
8     An exception would be these downstream areas that  
9     freeze to the bottom, and also this pond here that  
10    would be frozen in the winter. In addition to all of  
11    this sampling around the site, you can't forget that  
12    the core receiving environmental monitoring program  
13    that looks at the biological parameters and stratified  
14    water sampling in the south basin of Whale Tail Lake,  
15    in Nemo, as well as in Mammoth.

16         This list here, Table 3-1, our monitoring program,  
17    describes all the stations, the phase of construction,  
18    and the monitoring parameters and the frequency, and we  
19    look, again, in its -- you can see it in our draft  
20    framework that we provided, that we're not looking to  
21    reinvent the wheel. This is all very similar to what  
22    we do at Meadowbank, and it's really, you know, an  
23    extension -- our water quality and flow monitoring plan  
24    is an extension of our Meadowbank monitoring, where we  
25    have compliance monitoring, we have event monitoring,  
26    and we have adaptive management monitoring as well.

1 And we'll discuss that a little bit further in the next  
2 presentation related to the draft framework.

3 We also are proposing to use the same group of  
4 parameters. They're by group number, and there's five  
5 different groups. The list of parameters -- this list  
6 of parameters is exactly the same as our Meadowbank  
7 Type A 2AM-1525.

8 As Valerie presented in our draft framework and  
9 our presentation previously, we have a list of effluent  
10 quality criteria that we're proposing. We've worked  
11 with Environment Canada to -- to come up with an  
12 acceptable -- total mercury. So that was agreed upon,  
13 and that's in the draft framework, like Valerie  
14 presented. And I will note the error in this table,  
15 similar to the other table; it should be two zeros, not  
16 three in there. But, ultimately, the discharge limits  
17 that have been reviewed and are developed and presented  
18 in this table were developed in consultation with  
19 Environment Canada and based on the predicted water  
20 quality, these limits will be protective of the  
21 receiving environment.

22 And even though we know that those -- those  
23 effluent discharge limits are protective of the  
24 receiving environment, we still go out and we monitor  
25 the receiving environment, and we do that in the core  
26 receiving environmental monitoring program, which is

1 described on this slide here, where we look at -- at a  
2 basin level, we'll look at Mammoth Lake, we'll look at  
3 Whale Tail South Lake, and we'll also look in the  
4 summer at the downstream lakes that Valerie described  
5 as well.

6 So looking at this figure here, we'll look at  
7 Nemo. But we'll look at all the lakes -- there's  
8 different points along here that in July, August, and  
9 in September, we'll monitor the lakes downstream as  
10 well. And we've collected a lot of data between 2014  
11 and 2017 to understand what our baseline conditions are  
12 in the receiving environment.

13 So for the core receiving and environmental  
14 monitoring program, we're going to use the same methods  
15 as approved under Meadowbank. We're proposing to use  
16 the same thresholds and triggers which were developed  
17 already in 2010 with -- with KIA or Kivalliq Inuit  
18 Association, Indigenous and Northern Affairs Canada,  
19 and Fisheries and Oceans. We look to use all of those  
20 and apply, again, our lessons learned in receiving  
21 environmental monitoring to our Whale Tail Pit Project.

22 We'll also use the lessons learned from the  
23 Meadowbank east dike construction and Bay Goose dike to  
24 manage and control total suspended solids. And I  
25 already presented this in the earlier presentation.

26 During the construction of the Whale Tail dike,

1 we'll be monitoring -- we'll be installing turbidity  
2 curtains. We already have that all planned out. We'll  
3 be monitoring in the receiving environment. So in this  
4 area, we have stations there, to make sure that we  
5 protect, during construction, the fish and the water  
6 quality in the south basin of Whale Tail.

7 We'll also be monitoring, as you can see on the  
8 other -- on that other figure, we're going to monitor  
9 downstream as well. And, of course, we'll be  
10 monitoring our freshwater source also while we're --  
11 while we're operating the camp. And that will ensure  
12 that this water is protected because that's our  
13 drinking water source for the camp.

14 So we touched on this earlier, and it's in many of  
15 our presentations about adaptive management. So we're  
16 committed to monitoring. And if, during construction  
17 of the dike, we see that -- that changes are occurring,  
18 that total suspended solids are increasing and that  
19 perhaps our turbidity curtains aren't -- aren't  
20 effective, we'll slow down our construction practices,  
21 we'll increase our monitoring, and we may need to  
22 install additional turbidity curtains or some other  
23 adaptive management as well. And we have great  
24 experience with that based on our Meadowbank  
25 experience.

26 Related to hydrogeology, we -- we installed three

1 groundwater wells. So this is to evaluate the  
2 groundwater. So we've talked a lot about surface  
3 water. But we're also interested in understanding deep  
4 under the ground what the water quality is like.

5 So in 2015, we installed three groundwater wells  
6 that were drilled towards the deepest part of the lake,  
7 where there's water flowing. It's called a talik.  
8 Valerie presented those models earlier that showed the  
9 talik. We -- we -- we drilled a number of different  
10 wells, and we were unfortunate that those wells  
11 weren't -- we weren't able to develop those wells, but  
12 they still told us a lot about the talik underneath the  
13 lake.

14 We also -- because the 2015 groundwater wells we  
15 weren't able to develop, we then decided to go with a  
16 very expensive but very reliable groundwater well  
17 installation; it's called a Westbay groundwater well,  
18 and what it tells us is that -- it's set up like this,  
19 and it has -- it's located in this area here. Here's  
20 where the dike is proposed, and it's located in this  
21 area right towards the attenuation pond. And what  
22 it -- it's a deepwater well that goes down to 500  
23 metres, and there's different ports along that well.  
24 So this one single well is like having multiple wells  
25 to evaluate the area around the attenuation pond and  
26 the groundwater underneath our site.



1           So what all that information has told us is what  
2 Valerie already presented, is that within the proposed  
3 pit, most of the pit is within permafrost. But as we  
4 move towards the dike, there -- and get into the deeper  
5 sections of the lake, there's an open connection or an  
6 open talik to the groundwater. But that's why we  
7 installed that groundwater -- the Westbay in this  
8 location, to ensure that we're protecting the  
9 groundwater related to the Whale Tail Pit site.

10          So we've talked a lot about this as well, and I'll  
11 just quickly brush over this. The -- one of the  
12 important points when you're monitoring is that the  
13 monitoring data that you collect is reliable, and we  
14 call that quality assurance and quality control. So it  
15 tells us if you're collecting a sample of it, does it  
16 really show -- is it -- is it an accurate  
17 representation of the water in that moment in time?  
18 That's what a QA -- quality assurance/quality control  
19 plan does. And using water as an example, we do that  
20 often. We do that in the water quality and flow  
21 monitoring plan monitoring. We also do that in the  
22 core receiving environmental monitoring program; we  
23 also do that in our groundwater monitoring program. We  
24 make sure that the samples that we're taking are  
25 reliable. And we follow very strict guidelines that  
26 are regulations from INAC or Indigenous and Northern

1       Affairs Canada but also Environment Canada in the  
2       receiving environment.

3               Now I'll pass it to my colleague Erika to talk a  
4       bit more about our waste management and waste control  
5       at Whale Tail Pit.

6       MS. VOYER:                       Thank you, Mr. Chair, Board  
7       members.

8               These following slides on the waste rock  
9       management were reviewed in the previous presentation  
10      for waste disposal and management presentation, the  
11      Number 3 presentation. So I will not go as much in  
12      detail as previously.

13              So for the waste rock management, as we had  
14      reviewed previously, the main step for this management  
15      are, first, the identification of the different waste  
16      rock type at the baseline stage of the project; the  
17      sampling and testing on-site during operation to define  
18      the acid rock drainage and metal leaching potential;  
19      and also the daily assessment by the geology and as  
20      well as the marking in the pit of the waste rock type  
21      during the operation.

22              The waste rock management plan is completed at the  
23      early stage of the project and is then further  
24      detailed. As we reviewed during production, the  
25      engineering team review the plan on a weekly basis and  
26      produce maps and clear directive on the waste rock

1 classification and deposition location as presented on  
2 the two maps here.

3 The dispatch system, as you know, is an important  
4 tool for the waste rock management at Meadowbank and  
5 will also be for the Whale Tail Project. The dispatch  
6 system and the dispatcher in charge guide the operator  
7 and ensure the ore and the waste rock material are  
8 transported to the appropriate location. The execution  
9 of the waste rock management is a step-by-step  
10 integrated process that includes different teams during  
11 the whole mining process. The best practices at  
12 Meadowbank in terms of waste rock management will  
13 continue for the Whale Tail Project.

14 I will let my colleague Ryan Vanengen complete the  
15 presentation.

16 Thank you.

17 MR. VANENGEN: Thank you, Erika.

18 So this slide is describing some of the quality  
19 assurance and quality control that goes into making  
20 sure that the waste rock that we say is non-potentially  
21 acid generating is actually that, and it kind of falls  
22 in line with what Valerie had presented.

23 So when we encounter a certain rock type that  
24 Valerie described, we then collect a sample from the  
25 drill hole. So while we're -- the drill holes during  
26 blasting, we collect that sample, and then we send it

1     into our on-site lab, which tells us what type of  
2     material it is, confirms what type of material it is.  
3     And we also send, periodically, a subset of those  
4     samples to an external lab, a lab in the south, that  
5     tells us how good a job we're doing at identifying that  
6     rock material. So that's a really important piece of  
7     our -- of the monitoring and management of our waste  
8     on-site.

9             We also -- related to water quality, we also have  
10    qualified technicians on-site, and in our water quality  
11    sampling, we also collect duplicates and send them down  
12    to the lab to make sure the lab is also doing a good  
13    job on -- on -- on their analysis. So it tells us a  
14    lot about the accuracy of that water sample. And we  
15    always use -- in our water quality, we always use the  
16    third -- a third-party accredited laboratory. So that  
17    means that we're not analyzing for that. An arm's  
18    reach away from us is analyzing our water quality to  
19    make sure it's safe.

20            And then we follow, as I kind of mentioned before,  
21    we follow Environment Canada guidance on quality  
22    assurance and quality control. We've developed quality  
23    assurance and quality control that meets very rigorous  
24    monitoring standards for our core receiving  
25    environmental monitoring, and we apply all of these --  
26    kind of these methods around quality assurance, quality

1 control. We apply it throughout our monitoring,  
2 including air, as well as, as I mentioned, groundwater.

3 Just two more slides on the -- on our emergency  
4 planning and then -- or two more topics to cover and, I  
5 think, five more slides.

6 So we have our spill contingency plan, which is an  
7 important plan for obviously -- obvious reasons. But  
8 as I mentioned before, something like the spill  
9 contingency plan and how we react to some type of  
10 spill, we're proposing to use the same methods that we  
11 have at Meadowbank, and on the current all-weather  
12 access road we're looking to apply that same spill  
13 response to the haul road and to the Whale Tail Pit  
14 site.

15 We have an emergency response team that is very --  
16 is very good at what they do, and they're going to be  
17 based at Meadowbank, and then there's going to be a  
18 smaller group also based at Whale Tail Pit. So they'll  
19 be able to respond to human health concerns or  
20 accidents that might happen, like Jamie described, and  
21 also spills that -- that might happen. So we have --  
22 we have, kind of, everything covered between those two  
23 sites.

24 And the last topic is related to our closure  
25 planning, and these were thoroughly covered by Erika in  
26 the previous presentation. So I don't think I need to

1 touch on these. What I will just touch on, though, is  
2 this: We've already agreed, based on Karen's comments,  
3 one of our updated water quality and flow monitoring  
4 plans has a monitoring station called STWT10 located in  
5 the pit, and it's carried forward in the latest version  
6 of the water quality and flow plan, it's carried  
7 forward in here, and we hope that that will address  
8 that question around monitoring of the pit and the  
9 north basin as it relates to stratified water quality  
10 monitoring.

11 Ultimately, and this is in closing, you've seen  
12 this slide a few times because it applies to all of our  
13 monitoring, and it relates to adaptive monitoring.  
14 We're going to collect monitoring data, which we  
15 already have baseline data that we've used to model.  
16 We're going to plan and evaluate. And we're going to  
17 adapt our infrastructure through engineering and change  
18 our mine -- mining operations to adapt based on --  
19 based on data, and we'll use fact-based  
20 decision-making.

21 So I hope that summarizes all of our monitoring  
22 plans.

23 Mat'na.

24 THE CHAIR: So that's end of the  
25 presentation on that particular one?

26 MR. VANENGEN: Mr. Chair, we just have one

1 more presentation that relates to the licencing. So  
2 it's a -- it'll go over the draft framework and the  
3 Type A water licence amendment as well.

4 THE CHAIR: Okay. So open up for  
5 questions, concerns?

6 Teresa.

7 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
8 Meadows, legal counsel for the Nunavut Impact -- or  
9 Nunavut Water Board. Sorry.

10 Before the final presentation -- I know we're  
11 going into questions right now about this presentation,  
12 but before we go into the final presentation, I didn't  
13 have a copy of that presentation to mark as an exhibit.  
14 So before you present, I'll need to take a pause and  
15 mark that as an exhibit.

16 Thank you, Mr. Chair.

17 EXHIBIT 13 - Agnico Eagle hard copy  
18 PowerPoint presentations entitled  
19 "Part 8 - Meadowbank Licence Amendment" and  
20 "General - Annual Reporting Commitments,  
21 Terms, Linkage to Other Licences"  
22 (English/Inuktitut)

23 THE CHAIR: Thank you.

24 So open for questions, concerns.

25 KIA.

26 MR. MANZO: Thank you, Mr. Chairman. Luis

1 Manzo, Kivalliq Inuit Association.

2 No questions at this time.

3 Thank you.

4 THE CHAIR: Thank you.

5 INAC.

6 Indigenous and Northern Affairs Canada Questions Agnico

7 Eagle Mines Limited

8 MR. PARSONS: Thank you, Mr. Chairman. Ian

9 Parsons, Indigenous and Northern Affairs Canada.

10 Pardon me if this was covered in the NIRB process,

11 but I wasn't here. So I'm just here now.

12 As far as water quality goes, our biggest concern

13 is with the metal leaching. So I'm just wondering why

14 the 16th hole for metal leaching and only every 4th

15 hole for ARD? Or is this something that was covered in

16 the NIRB process, and it's going to be adapted for

17 Whale Tail?

18 THE CHAIR: Thank you.

19 Applicants.

20 MS. BERTRAND: Mr. Chair. This is Valerie

21 Bertrand for Agnico.

22 So this sampling plan is what's currently done at

23 Meadowbank. And it's an example of the type of things

24 that can be done at Whale Tail. We have a commitment

25 to update that plan to include things like arsenic

26 content.



1 MR. PARSONS: Okay. Thank you. So just to  
2 clarify, this is not the -- the 4th and 16th is not set  
3 in stone, then, for Whale Tail?

4 MS. BERTRAND: Valerie Bertrand for Agnico  
5 Eagle.

6 That's correct. It's not set in proverbial stone.

7 MR. PARSONS: Thank you. No further  
8 questions.

9 THE CHAIR: Thank you, INAC.

10 Environment and Climate Change Canada.  
11 Environment and Climate Change Canada Questions Nunavut  
12 Water Board Staff

13 MS. AUSER: Thank you, Mr. Chair. Trish  
14 Auser, Environment and Climate Change Canada.

15 Environment and Climate Change Canada is seeking  
16 clarification from the Water Board whether these  
17 management plans and monitoring programs will be made  
18 available for review and be subject to Board approval.  
19 Our department, along with other intervenors, have been  
20 involved in reviewing these materials, and Environment  
21 and Climate Change Canada is interested in continuing  
22 our engagement by reviewing future updates of plans,  
23 programs, and studies.

24 Thank you.

25 THE CHAIR: Water Board.

26 MR. KHARATYAN: Thank you, Mr. Chair. Karen

1 Kharatyan, Water Board.

2 I don't really know which plan Environment and  
3 Climate Change Canada means right now. Generally,  
4 plans that were included within the applications, no  
5 big concerns there or concerns that were raised, but  
6 some of them, they are updated during the process. So  
7 the Board may approve within the issuance of the  
8 licence. This is the practice that the Board had  
9 before.

10 However, if there are some -- I think there are  
11 plans that should be updated, and I did have a very  
12 quick look. They are proposing -- Agnico Eagle is  
13 proposing a schedule for updated plans to be submitted  
14 60 days prior to operation or 60 days after licence  
15 issuance. So these plans will be made available for  
16 public review, of course.

17 MS. AUSER: Trish Auser, Environment and  
18 Climate Change Canada.

19 Thank you. That was what I was looking for.

20 Thank you.

21 THE CHAIR: Thank you.

22 And DFO.

23 MR. D'AGUIAR: Thank you, Mr. Chair. Mark  
24 D'Aguiar with Fisheries and Oceans Canada.

25 We don't have any questions at this time.

26 Thank you.

1 THE CHAIR: Thank you. (OTHER LANGUAGE  
2 SPOKEN).

3 NWB staff, Water Board.  
4 Nunavut Water Board Staff Questions Agnico Eagle Mines  
5 Limited

6 MR. KHARATYAN: Thank you, Mr. Chair. Karen  
7 Kharatyan, Water Board staff.

8 One clarification. If you go back to Slide 6 or  
9 7, I think there are missing stations there. Or maybe  
10 it's my computer.

11 MR. VANENGEN: Mr. Chair, Ryan Vanengen from  
12 Agnico Eagle. Yes. This is not the complete list  
13 that's in your draft framework. So there are stations  
14 missing in here. This was more to serve as a means of  
15 an example for presentation purposes.

16 Mat'na.

17 MR. KHARATYAN: Thank you. Karen Kharatyan,  
18 Water Board staff.

19 If you go next slide, Ryan, please. Next. I just  
20 caught it. Within the group, second of parameters,  
21 there is total cyanide included, total and free  
22 cyanide. And I think even Environment and Climate  
23 Change Canada suggested that it shouldn't be completed,  
24 so you can -- we can delete it for the framework if  
25 it's included within the framework.

26 Thank you.

1 MR. VANENGEN: Mr. Chair.

2 Thank you for that. That's an error in that

3 table. And we'll double-check if that was removed in

4 the draft framework.

5 Thanks.

6 MR. KHARATYAN: Thank you, Mr. Chair. Karen

7 Kharatyan, Water Board.

8 No more questions at this time.

9 THE CHAIR: Thank you.

10 Panel members. No?

11 Thank you.

12 Next presentation from the applicant.

13 MS. MEADOWS: Thank you, Mr. Chair. Teresa

14 Meadows, legal counsel for the Nunavut Water Board.

15 Mr. Chair, I have the presentation -- hard-copy

16 presentation materials for this presentation to mark as

17 the next exhibits in this public hearing.

18 And those are my procedural matters, sir.

19 THE CHAIR: Thank you, Teresa.

20 Go ahead.

21 Presentation by Agnico Eagle Mines Limited (Licence

22 Amendment)

23 MR. VANENGEN: Ryan Vanengen from Agnico

24 Eagle. Mr. Chair and Board members.

25 I think this is -- yeah, the 17th slide. So it

26 should be about 15 minutes presentation. We're really

1 going to get into the more administrative information  
2 related to our Type A water licence amendment, as well  
3 as our proposed Whale Tail Pit Type A water licence.

4 So as I mentioned earlier, especially in Michel  
5 Groleau's presentation, we talk about the linkage to  
6 our Meadowbank mine. We'll be mining at Whale Tail  
7 Pit, which we're proposing requires a Type A water  
8 licence. But we can't forget that that ore is going to  
9 be shipped to the Meadowbank mill, and the ore from  
10 Whale Tail Pit is going to be shipped to the Meadowbank  
11 mill and then stored in our tailings storage facility.

12 So what we've requested is really just a matter of  
13 just including that ore storage or the tailings storage  
14 in the Meadowbank licence. And, therefore, we're  
15 asking to extend that activity of our tailings within  
16 our Type A 2AM-MEA1525. So just extend the activity.  
17 Because it's all within an approved tailings storage  
18 facility footprint anyway.

19 So just the next slide, what that means is, as  
20 Jamie presented earlier, is this area here is going to  
21 continue to be operated. So this is our tailings  
22 storage facility at Meadowbank. And we're going to  
23 continue to operate also our mill, which then sends the  
24 tailings into the storage facility.

25 Oh, I forgot about these animations.

26 So the north cell raise was well described by

1 Jamie and also by Michel. So I won't get into that too  
2 much.

3 This is where we'll be depositing, as Michel  
4 described, 3.5 -- around 3.5 million tonnes of  
5 tailings. And then the remaining approximately  
6 5 million tonnes of tailings will go into an already  
7 approved tailings storage facility. So that's that  
8 Type A water licence.

9 But in order to mill -- in order to mill, we also  
10 need water; right? So that's part of that water  
11 licence amendment as well, is the water use for  
12 milling.

13 So as Michel described, we have the raise that  
14 we're proposing will go along the outside of the  
15 tailings storage facility, and this is the raise here  
16 and design. And as Michel showed as well, that raise  
17 will be inside of the tailings storage facility, and  
18 that will allow us to continue to operate our mill at  
19 Meadowbank and allow for the deposition of the Whale  
20 Tail Pit tailings into our already approved tailings  
21 storage facility.

22 So the same surface water management strategies  
23 will apply for -- so we'll apply everything that we've  
24 done and everything that Michel described earlier,  
25 we'll continue to apply that. So what that means is  
26 we're going to reduce the amount of contact water

1 requiring management. We're going to divert through  
2 channels on the outside. We're going to divert water.  
3 And we're also going to do as much as we can to limit  
4 our freshwater use. So that's just continuing our  
5 Meadowbank operations.

6 And you can see in these photos, these are fairly  
7 recent photos. These are the diversion channels that  
8 we're talking about, that Michel presented earlier.  
9 And you can see these are -- and that's diverting the  
10 non-contact water away from our tailings, to make sure  
11 that it stays frozen.

12 So those first few slides were really just  
13 describing, like I said, the Type A water licence  
14 amendment for the Meadowbank licence, and now we're  
15 going to get into the details of the proposed draft  
16 framework. I won't get into, like, extreme details,  
17 but I'll get into -- we'll just kind of overview that.  
18 So for those that -- does everybody have a copy of the  
19 draft framework in front of them? Yeah. We'll just  
20 quickly go through that together.

21 So this was described to our colleagues at  
22 Indigenous and Northern Affairs Canada, as well as  
23 Environment Canada and the Kivalliq Inuit Association.  
24 We -- what we really attempted to do in this draft  
25 framework was to copy, more or less, the same  
26 conditions in the draft framework as we already have in

1     our Meadowbank licence so that they look very similar.  
2     And what we -- what we're proposing also is that the  
3     terms and conditions are also similar. So it's -- the  
4     wording is identical in some cases.

5             In the left column, what you'll see here is the --  
6     is kind of the description. This is the information  
7     that would be in our -- in the proposed licence. And  
8     in the other column here is what we have here is the  
9     Agnico Eagle comments, and it's kind of an annotation  
10    or it describes what we're trying to achieve in the --  
11    in the left column.

12            So, you know, if we go to the second page, which  
13    is part A, the scope and definitions and enforcement, a  
14    lot of the wording is consistent with our Meadowbank  
15    licence but describes or Whale Tail Pit Project, and  
16    that description was already made by the -- by the  
17    Chair in his earlier presentation and described by  
18    Jamie.

19            If you look ahead to Part B, "General Conditions",  
20    we have in the left column, we have Items 1 to 12. And  
21    what that means is that we're looking to just adopt the  
22    Meadowbank Conditions 1 to 12. We're not looking to  
23    change them. They all apply to the Whale Tail Pit  
24    site. For general conditions, 13, this is related to  
25    monitoring plans. And what it says is we will  
26    implement monitoring plans that we described in the



1 presentations, we will implement them, is what it's  
2 saying.

3 If we go to the Condition Number 14, these are  
4 Whale Tail Pit-specific plans as well, and this tells  
5 the Board that -- and it's insurance for -- it ensures  
6 that Agnico Eagle will follow those Whale Tail  
7 Pit-specific plans.

8 And then Bullet Number 16 speaks to Agnico's  
9 commitment to update -- to update the plans. So that's  
10 in reference to Trish's comment also about the updating  
11 and revising plans; that's what this condition is  
12 about. And the licence goes through other standard  
13 wording related to securities, and we've adjusted that.  
14 And Part D, conditions applying to construction, it's  
15 very standard stuff; stuff that is in our Type A water  
16 licence at Meadowbank, but the wording's adjusted for  
17 Whale Tail Pit. And same thing for the other sections  
18 as well.

19 The one section that I want to point to for the  
20 Board's understanding is Part E, "Conditions Applying  
21 to Water Use and Management", and, in particular, the  
22 Condition 4 related to updating our Whale Tail water  
23 management report and plan, as well as the water  
24 quality modelling. These are -- these are conditions  
25 that we do at Meadowbank, and it's all the information  
26 that Valerie presented on the modelling and how we use

1 monitoring data inform -- to inform our modelling.

2 It's all in there, and it addresses INAC's concerns, as  
3 well as Environment Canada's concerns and the Kivalliq  
4 Inuit Association's concerns related to the closure  
5 modelling scenarios.

6 And I think that's generally -- that's it. I  
7 mean, the other one maybe to note would be the EQCs on  
8 page 8 of the draft framework. If you look at Part F,  
9 "Conditions Applying to Waste Disposal and Management",  
10 we have the new revised EQCs, and what you'll see here,  
11 cadmium is the right number, and we also have an  
12 agreed-upon number for mercury.

13 So I hope that helps with the Board's  
14 understanding of what we're proposing here, and we  
15 believe it's certainly transferrable. It's  
16 transparent, and it's also enforceable as well. It's a  
17 lot easier to enforce licences that have two licences  
18 on two, kind of, sites that are interacting, it's much  
19 better to enforce and easier on the compliance side.  
20 So it's just transferrable.

21 So I hope this document helps the Nunavut Water  
22 Board.

23 The one thing that was discussed over the lunch  
24 break was that intervenors have requested an extension  
25 on the review of the draft framework, and we're working  
26 with them on the timelines for that.

1           So this is -- this is a comprehensive list, and  
2   it's covered in the draft framework. So I won't get  
3   into the details of this, but this is really showing  
4   our commitment to -- to updating the plans and  
5   ultimately adhering to these plans. So that's the same  
6   slide related to that.

7           And then as Karen had mentioned about, you know,  
8   our commitment is to update certain plans prior to  
9   operations, and then after receiving our licence, you  
10   know, 60 days after issuance of the licence, we'll  
11   update other plans. And that's all in the draft  
12   framework as well. And then 90 days prior to  
13   construction, we'll update plans as well.

14          And then, lastly -- actually, I should go back.  
15   This is related to annual reporting commitments. And  
16   what we're proposing is that the Whale Tail Pit licence  
17   would be just the same in terms of its annual  
18   reporting, and, therefore, the Nunavut Water Board will  
19   receive, you know, essentially a single  
20   Report reporting on our Meadowbank licence, as well as  
21   our Whale Tail Pit licence. And it would include all  
22   of the things that we have reported on and discussed  
23   already, related to dust suppression, related to waste  
24   rock storage facility, including even the performance  
25   of our thermal modelling to address some of Indigenous  
26   and Northern Affairs Canada issues. You know, we'll

1 continue to adapt and report on the core receiving  
2 environmental monitoring program and also, you know,  
3 use our geotechnical experts like Michel to report on  
4 some of our geotechnical work around Whale Tail Pit.

5 Lastly, I spoke to this already. You know,  
6 certainly there's a linkage to our Meadowbank licence,  
7 and that's what this draft framework demonstrates. We  
8 believe there should be a linkage and that they should  
9 be consistent. And within that draft framework, we've  
10 also incorporated conditions of the road, the Type B  
11 exploration access road. It's the BC-AEA1525. We've  
12 incorporated that into here, into the draft framework.  
13 And we've also, as I mentioned, extend -- requested an  
14 extension for the Meadowbank licence to 2026 that Karen  
15 mentioned. What's important, though, is that we want  
16 to keep -- this was discussed in the prehearing  
17 conference, but we would like to keep the Type BB  
18 advanced exploration licence separate from this licence  
19 so that we can continue to do more regional drilling  
20 related to exploration on our Amaruq site, which is a  
21 much bigger property than just where Whale Tail is  
22 located.

23 Thank you very much. That's it.

24 THE CHAIR: Thank you.

25 Open to questions, concerns.

26 KIA.

1       Comments by Kivalliq Inuit Association

2       MR. MANZO:                    Thank you, Mr. Chairman.   Luis  
3       Manzo, Kivalliq Inuit Association.

4           In terms of the extension, I agree with INAC on  
5       that.  In terms of the -- of some of the general  
6       concepts mentioned, we also have general intent to go  
7       over those as well and -- just for clarification to the  
8       Board.

9           Thank you.

10       THE CHAIR:                   Thank you.

11           And then INAC.

12       Indigenous and Northern Affairs Canada Questions Agnico  
13       Eagle Mines Limited

14       MR. PARSONS:                 Thank you, Mr. Chair.   Ian  
15       Parsons, Indigenous and Northern Affairs Canada.

16           Just some clarification, I guess.  I think you  
17       guys skipped over, I guess, the slides on the proposed  
18       licence terms and updated plans.  I didn't see those  
19       talked about, but I do see it in the written copy here:  
20       (as read)

21           Whale Tail interim closure and reclamation

22           plan updated 90 days prior to construction.

23       I don't think we asked for that, and that's sort of  
24       where that's coming from.  Are you guys just going to  
25       provide that on your own accord?  Just getting some  
26       clarification on that.

1 MR. VANENGEN: Mr. Chairman. Ryan Vanengen  
2 from Agnico Eagle.

3 That's a leftover from the Type BC licence. So  
4 that's an error on our part. Our apologies.

5 MR. PARSONS: Thank you for your  
6 clarification.

7 MS. COSTELLO: Thank you, Mr. Chair. Karen  
8 Costello for Indigenous and Northern Affairs Canada.

9 It is getting close to dinnertime, and I'm sorry  
10 to have a couple of extra questions, but it has to do  
11 with Slide 15. You were speaking to annual reporting  
12 commitments, and I just am seeking clarification. I  
13 may have misheard you. But I thought I heard a  
14 statement that you were going to submit a single annual  
15 report for both the Whale Tail licence and the  
16 Meadowbank licence.

17 MR. VANENGEN: Mr. Board -- sorry.  
18 Mr. Chairman. Ryan Vanengen from Agnico Eagle.

19 Yeah, I misspoke. In order to meet the Type A  
20 water licence for both projects, we would submit  
21 separate plans. Yeah. Thank you.

22 MS. COSTELLO: Thank you, Mr. Chair. Karen  
23 Costello for Indigenous and Northern Affairs Canada.

24 Thank you for that clarification.

25 And just one more with regard to the other  
26 licences that are associated with the Whale Tail/Amaruq

1 project. So the Exploration Licence 2BE, that is for  
2 the drilling, but it's also -- I just want to get  
3 confirmation that you also want to keep separate the B  
4 licence for the underground bulk sample?

5 MR. VANENGEN: Mr. Chairman. Ryan Vanengen  
6 from Agnico Eagle.

7 Those licences were combined as a Type BB. So  
8 it's all -- it's under one single licence, all of the  
9 activities associated with exploration on the Amaruq  
10 site. So it's -- it covers the ramp and surface  
11 drilling within the Amaruq property.

12 MS. COSTELLO: Thank you. Yeah, I had  
13 forgotten they had been combined. So that -- Karen  
14 Costello for Indigenous and Northern Affairs.  
15 Apologies, Chair.

16 Right now your exploration licence only goes to  
17 2018. Okay. So just want to make a statement about  
18 that.

19 Thank you.

20 There's nothing further from Indigenous and  
21 Northern Affairs. I just wanted -- as the -- Agnico  
22 had mentioned that they wanted to retain that  
23 exploration licence for ongoing work. 2018 is only --  
24 is coming upon us soon.

25 Thank you. Nothing further from Indigenous and  
26 Northern Affairs.

1 THE CHAIR: Thank you.

2 And then, next, Environment and Climate Change  
3 Canada.

4 MS. PINTO: Thank you, Mr. Chair. Melissa  
5 Pinto, Environment and Climate Change Canada.

6 We have no questions at this time.

7 THE CHAIR: Thank you.

8 And DFO.

9 MR. D'AGUIAR: Thank you, Mr. Chair. Mark  
10 D'Aguiar with Fisheries and Oceans Canada.

11 We don't have any questions.

12 Thank you.

13 THE CHAIR: Thank you.

14 From public? (OTHER LANGUAGE SPOKEN).  
15 Board staff.

16 Nunavut Water Board Staff Questions Agnico Eagle Mines  
17 Limited

18 MR. KHARATYAN: Thank you, Mr. Chair. Karen  
19 Kharatyan, Water Board staff.

20 Just a couple clarification, and I think first one  
21 is important for Nunavut Impact Review Board as well.

22 You just responded, Ryan, that separate plans will  
23 be submitted. Separate plans or separate annual  
24 reports?

25 MR. VANENGEN: Ryan Vanengen from Agnico  
26 Eagle.



1 I misspoke again. It's separate annual reports.

2 MR. KHARATYAN: Thank you.

3 And just one very quick comment. I was just going  
4 very quickly -- not going into details through this  
5 framework. There may be some wrong referencing of --  
6 to management plans because everything is November  
7 2016; I think, for some of plans we received updated  
8 versions in 2017.

9 THE CHAIR: Applicant, go ahead.

10 MR. VANENGEN: Ryan Vanengen, from Agnico  
11 Eagle.

12 You're correct, Karen. In January 2017, we  
13 provided those management plans, and in our rush to get  
14 this out, it's a mistake. Thank you for the -- for  
15 noting that, Karen.

16 MR. KHARATYAN: Thank you, Mr. Chair. Karen  
17 Kharatyan, Water Board staff.

18 No more questions.

19 THE CHAIR: Thank you.

20 Panel members? No. No.

21 Okay. Need a little bit of housekeeping before we  
22 continue on with the presentations if we have to, or  
23 it's lunch [sic].

24 We have a community session tonight at 7:00, and  
25 we're supposed to have supper. Time's getting tight.  
26 So any guidance from the staff? Thank you.

1 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
2 Meadows, legal counsel for the Nunavut Water Board.

3 There's nothing further from staff or from me.

4 Thank you, Mr. Chair.

5 THE CHAIR: So we will continue on until  
6 tomorrow morning with your presentations. How many  
7 more presentations do you have to take care of? All  
8 done?

9 MR. QUESNEL: Thank you, Mr. Chair. Yeah,  
10 that was the last presentation by Agnico Eagle.

11 THE CHAIR: Okay. So we'll come back at  
12 7:00 tonight for the community session.

13 Okay. Suppertime. Thank you.

14 (DINNER ADJOURNMENT AT 5:17 PM)

15 (PROCEEDINGS RECOMMENCED AT 7:06 PM)

16 THE CHAIR: Good evening.

17 We're starting our community session here tonight.  
18 We have 7 to 10, I guess. So good evening, everyone,  
19 and welcome to the community session for the Nunavut  
20 Water Board's public hearing of the Type A water  
21 licence application and for potential consequential  
22 amendments to the Water Licence 2AM-MEA1525 issued for  
23 the Meadowbank project filed by Agnico Eagle Mines  
24 Limited with the Nunavut Water Board for the Whale Tail  
25 Pit Project.

26 My name is Lootie Toomasie, and I am the Chair of

1 the Nunavut Water Board and the hearing Chair for this  
2 public hearing.

3 Before we proceed with tonight's session, let us  
4 begin with a prayer. Let us stand and have opening  
5 prayer.

6 (OPENING PRAYER)

7 Opening Remarks by the Chair

8 THE CHAIR: So for those of you who were  
9 not here this morning when we started the public  
10 hearing, I have a few brief housekeeping and  
11 introductory remarks, and then I will turn the  
12 microphone over to the executive director and staff of  
13 the Nunavut Water Board, the applicant, and the  
14 intervenors.

15 Before I do, please note that there's  
16 interpretation available throughout the hearing and  
17 earpieces are available from the table located -- it's  
18 out there, yeah, by the entrance area. And English  
19 will be -- it's on Channel 1, and Inuktitut is on  
20 Channel 2.

21 I also want to remind everyone to sign in on the  
22 sign-in sheet located at the table just as you came in.  
23 Your signing in is part of the record of this hearing.  
24 In other words, the Board's decision report will  
25 include the sign-in sheets indicating all those that  
26 attended. That is why the Board's appreciating your

1 help, just making sure it is complete.

2 The washrooms are located just outside the hall  
3 door, outside the hall door here, in -- by the area.  
4 Exits are located just where you came in, and there's  
5 another one over there and in the back here.

6 And there will be coffee, tea, and snacks located  
7 at the table. It's out there on the side. During  
8 break, please help yourself to refreshments and snacks.

9 There are agendas for the hearing available at the  
10 table as you came in. Please pick one and follow  
11 along.

12 Now I would like to introduce all the Board and  
13 staff before we proceed with the presentation on the  
14 agenda.

15 I am chairing this Panel, and with me today as the  
16 members of the Panel are Board members Ross Mrazek on  
17 my right and to my left is Alex Ningark.

18 Several staff members who have contributed to the  
19 NWB's administration and technical review of the  
20 application are present along with the legal counsel to  
21 the NWB, and I will introduce the individuals attending  
22 today. When I say your name, please wave so that  
23 people will -- people know who you are: Stephanie  
24 Autut, executive director. Ben Kogvik, director of  
25 Board communication and in-house interpreter to the  
26 Board. He's at the back, by the screen, by the

1 windshield. Karen Kharatyan. I'm sorry. I won't  
2 pronounce it properly anyway. He's the senior  
3 technical advisor working on this file. Richard Dwyer,  
4 licencing administrator, at the back. And Teresa  
5 Meadows, legal counsel to the Board.

6 We have two interpreters available for  
7 simultaneous translation: Ben Kogvik from the Board and  
8 Alexander Alooq, who is from Baker Lake.

9 For audio support, we have with us William Nicoll  
10 from Nunavut Impact Review Board that kindly made its  
11 equipment and services available for NWB's hearing. If  
12 you experience any difficulties with your headsets,  
13 William will be able to provide you assistance.

14 To ensure an accurate record of the proceeding is  
15 kept, we have with us a court reporter: Sara Anderson.  
16 No? Yeah, I said it this morning. Sorry.

17 Legal.

18 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
19 Meadows, legal counsel for the Nunavut Water Board.

20 Sorry, Mr. Chair. Your remarks are not updated.  
21 Elizabeth Royal is our court reporter. Thank you,  
22 Mr. Chair.

23 THE CHAIR: Yeah, thank you. From Dicta  
24 Court Reporting Incorporated.

25 Okay. In our staff listing, I forgot to mention  
26 David Hohnstein. Sorry about that. He's not here on

1 the staff; forgot about it on my note. He's director  
2 of technical services.

3 Okay. I ask that all parties please state their  
4 name every time prior to speaking.

5 We will start tonight's session with a  
6 presentation by the Nunavut Water Board's technical  
7 staff and then a presentation by the applicant, Agnico  
8 Eagle Mines Limited. Following that, we will have  
9 presentations by the following intervenors: Kivalliq  
10 Inuit Association, Indigenous and Northern Affairs  
11 Canada, Environment and Climate Change Canada, and  
12 Fisheries and Oceans Canada.

13 Following these presentations, I will invite  
14 anyone who wishes to ask questions or provide the Panel  
15 with their comments to step up to the microphone and  
16 speak on the record. If you are an elder, you can  
17 raise your hand and one of our staff members will  
18 provide assistance. There's a microphone available to  
19 hand out.

20 I encourage everyone with questions or comments to  
21 please step up to the microphone and speak. You can  
22 direct your questions to the staff of the Nunavut Water  
23 Board; the applicant, Agnico Eagle; and the  
24 intervenors -- the Kivalliq Inuit Association,  
25 Indigenous and Northern Affairs Canada, Environment and  
26 Climate Change Canada, Fisheries and Oceans Canada.

1           Note that we need the public hearing records to be  
2   complete and accurate. We also need to assist our  
3   court reporter and interpreters. To do that, please  
4   wait until you have a microphone available to speak;  
5   then state your name and speak directly, clearly, and  
6   slowly into the microphone. Please be mindful of the  
7   interpreters as you go and avoid the use of acronyms  
8   and abbreviations, if you can.

9           We appreciate your participation and assistance in  
10   making sure we are heard and understood in this  
11   hearing. I will now turn the microphone to the  
12   executive director and the Board technical staff to  
13   walk you through how this application has progressed to  
14   this point.

15          Staff, proceed. Go ahead.

16   MR. HOHNSTEIN:            Thank you, Mr. Chair. David  
17   Hohnstein here.

18          Karen is just going to load our presentation up on  
19   the laptop there; so it'll take about a minute. And  
20   then we'll get on with our presentation.

21   THE CHAIR:                Go ahead.

22   MS. MEADOWS:              Thank you, Mr. Chair. Teresa  
23   Meadows, legal counsel for the Nunavut Water Board.

24          Mr. Chair, it's my understanding that the  
25   presentation -- there is a hard copy of presentation  
26   materials at the back for people who would like to

1 follow along. However, Karen has advised me that he  
2 has provided some updated slides to reflect the  
3 conversations that have gone on and some of the  
4 resolution of issues and so -- and to update the  
5 information that is in the hard copy presentation, and  
6 so we will be filing the electronic copy of the exhibit  
7 as it will be the most up-to-date information. So,  
8 Mr. Chair, I'll be filing that as the next exhibit in  
9 this public hearing.

10 MS. KOWBEL: Excuse me, Mr. Chair.

11 THE CHAIR: Go ahead.

12 MS. KOWBEL: Thank you. Christine Kowbel  
13 for Agnico Eagle.

14 Teresa, can you please just clarify what you just  
15 stated. I think we're not clear on what presentation  
16 you're referring to.

17 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
18 Meadows, legal counsel for the Nunavut Water Board.

19 I'm not 100 percent sure what changes there are on  
20 this presentation versus the hard copy. Just a couple  
21 of minor updates is what I'm told. So we will be  
22 filing the electronic version rather than the hard copy  
23 presentation so that it's the most up to date.

24 Thank you, Mr. Chair.

25 EXHIBIT 14 - Nunavut Water Board electronic  
26 copy PowerPoint community presentation



1           regarding an application for new Type A water  
2           licence: 2AM-WTP--- (English/Inuktitut)

3       THE CHAIR:                   Thank you.

4           So is the staff getting ready?

5       Presentation by Nunavut Water Board Staff

6       MR. KHARATYAN:            Thank you, Mr. Chair. Karen  
7       Kharatyan, Nunavut Water Board staff.

8           Yes, changes are very minor, like some small dates  
9       about presentation, et cetera. You will see.

10          So we are here today to speak about the Type A  
11       water licence application for Whale Tail Pit  
12       development and also potential amendments to existing  
13       Type A Licence 2AM-MEA1525.

14          So just to clarify for everyone, this presentation  
15       is not about the project but about the licencing  
16       process for the project. So the applicant will be  
17       speaking more in detail about the project, I think,  
18       after our presentation.

19          So the following topics will be covered through  
20       the presentation: background information about the  
21       Nunavut Water Board, authorizations the Water Board may  
22       issue, Type A licencing process, scope of the  
23       application, application procedural history, intervenor  
24       participation, public participation, next steps in the  
25       process for the Type A application, staff contact  
26       information, questions/comments.

1           So as you may know, the Nunavut Water Board is an  
2   institution of public government established under  
3   Article 13 of the Nunavut Agreement. It has  
4   responsibilities and powers over the regulation, use,  
5   and management of freshwater in the Nunavut settlement  
6   area. Nunavut Water Board's objects are to provide for  
7   the conservation and utilization of waters in Nunavut,  
8   except in a national park; to provide maximum benefit  
9   from these waters for Nunavut residents and Canadians  
10  in general.

11           Based on its mandate and Nunavut Waters  
12  Regulations, the Nunavut Water Board may issue any of  
13  the following authorizations for the use of water and  
14  deposit of waste for undertakings in Nunavut settlement  
15  area: so authorization without licence for less than  
16  50 cubic metres per day water or water use, Type B  
17  water licence to authorize water use between 50 cubic  
18  metres and 299 cubic metres per day, Type A water  
19  licence for more than 300 metre cubic [sic] per day.  
20  So this week's public hearing is for a Type A water  
21  licence application based on criteria set out in  
22  Schedule 2 and 3 of water regulations.

23           This slide shows the licencing process or  
24  beginning of licencing process for Type A water  
25  licence. So once Nunavut Water Board receives  
26  application and confirms classification of undertaking

1 and type of licence required as a Type A licence, the  
2 Board conducts initial technical review or concordance  
3 review and issues a notice of application, requesting  
4 full technical review from any interested party and,  
5 generally, giving 30 days for relevant comments. I  
6 should say that at this -- even at the initial stage,  
7 the applicant may be asked to provide additional  
8 information, clarification, et cetera.

9 So after general 30 days of technical review  
10 stage, parties or agencies, any interested person  
11 submit their representation or their written comments.  
12 And the next stage will be having a technical  
13 meeting/prehearing conference.

14 For this application, I should ask -- I should  
15 clarify that we did have a joint technical meeting and  
16 prehearing conference with the Nunavut Impact Review  
17 Board, as the applicant requested a coordinated review  
18 of project proposal and licence application.

19 After technical meeting/prehearing conference, the  
20 Board issues a prehearing conference decision -- so we  
21 did have this decision issued, again, jointly with the  
22 Nunavut Impact Review Board -- and issues a public  
23 hearing notice at least 60 days prior to having the  
24 public hearing. Again, even at this stage, the  
25 applicant may be asked to provide additional  
26 information, clarification, et cetera.

1           During 60 days of -- 60 days prior to public  
2   hearing, so parties and applicant may exchange written  
3   intervention and prepare for public hearing. Then  
4   public hearing is happening. We are at this stage of  
5   having a public hearing now. Generally, after public  
6   hearing, the Board may issue a decision to approve the  
7   application or not approve the application. And for a  
8   lot of cases, we may have two decisions coming from --  
9   two potential decisions coming from Minister.

10          For this specific application, we have to wait for  
11   NIRB consideration. So we will go -- or the Board will  
12   issue its decision once NIRB and Minister accept or not  
13   accept the project proposal. "Accept the project  
14   proposal", I should say. If it's not accepted, no  
15   Board decision will be issued.

16          The next few slides include the main items  
17   included within the scope of the application. So these  
18   numbers are about water use requested by applicant.  
19   Water use requested from Whale Tail and Nemo Lakes for  
20   construction/operation from 2018 to 2022: up -- '21,  
21   '22, I would say: up to 191,000 cubic metres per year.  
22   At closure phase, water will be taken from Whale Tail  
23   Lake for flooding of Whale Tail Pit and Whale Tail Lake  
24   north basin, and closure phase starting from 2022. And  
25   you'll see that the number of water use is very high at  
26   closure because number of water required for flooding

1 is a little higher than for operation. And we have  
2 this last number from 2021-2028: 17,520 cubic metres  
3 per year for camp domestic use.

4 So this application is for the development of a  
5 mine and request -- or requires construction and  
6 operation of mine-related infrastructure, like listed  
7 in the slide: camp accommodation buildings, storage  
8 area, crusher, power plant, explosive magazine, one  
9 open pit to be developed, ore stockpiles, waste rock  
10 and overburden storage facility, landfill.

11 Also, the applicant is asking to make Amaruq  
12 exploration access road a little wider to accommodate  
13 the traffic of haul trucks. Fuel storage facility is  
14 also requested on-site for 500,000 litres of fuel.  
15 Development of quarries and borrow pits and development  
16 of water management infrastructure like collection  
17 ponds, retention dikes, diversion channels, and  
18 culverts. Also, water treatment plants to be  
19 operating, including for domestic water and sewage  
20 treatment plant.

21 Ore: The applicant is requesting to have all ore  
22 processed in -- at Meadowbank site. Meadowbank is  
23 licenced separately. They have a valid licence with  
24 the Board. So all ore will be trucking to Meadowbank  
25 site. And they require water supply for ore  
26 processing.

1           Tailings storage facility will be involved with  
2           the storage -- or the disposal of additional tailings.  
3           Baker Lake marshalling area and Baker Lake all-weather  
4           access road will be utilized and also airstrip and camp  
5           facilities.

6           Next few slides include very basic or, I would  
7           say, main items of procedural history.

8           You may know that Water Board received the  
9           application on July 8th, received formal on July 8th.  
10          Applicant at that time requested already the Nunavut  
11          Impact Review Board and Water Board to conduct  
12          coordinated review of application and project proposal.

13          On August 18, the Nunavut Impact Review Board  
14          determined that Whale Tail Pit Proposal wasn't assessed  
15          within the Meadowbank Gold Mine project proposal and,  
16          also, related to location, a little bit far from  
17          Meadowbank site. Nunavut Impact Review Board decided  
18          that a separate review will be required for this  
19          project under the terms of, I would say, Nunavut  
20          Agreement and Nunavut Planning and Project Assessment  
21          Act.

22          On October 3rd, Water Board started its formal  
23          processing of application and did ask the applicant  
24          whether they agree with having a separate Type A  
25          application for this project. On October 15, the Board  
26          was provided a response that applicant agreed with this

1 approach.

2 MR. HOHNSTEIN: So those dates should be 2016;  
3 right?

4 MR. KHARATYAN: Oh.

5 MR. HOHNSTEIN: Just noticed that.

6 MR. KHARATYAN: Yes. There is a mistake. I  
7 am sorry. Yes. These dates should be 2016. I was  
8 thinking back in -- with the Meadowbank site, maybe.

9 On November 3rd, the Board received completeness  
10 comments and initial technical assessment from  
11 Fisheries and Oceans Canada, Environment and Climate  
12 Change Canada, and Indigenous and Northern Affairs  
13 Canada; and on December 7th and on January 26th, 2017,  
14 the applicant provided additional information and  
15 responses to comments.

16 On January 27, the Nunavut Impact Review Board and  
17 Nunavut Water Board jointly distributed the Whale Tail  
18 Pit Project Proposal and water licence application for  
19 full technical review; and on March 13, 2017, Water  
20 Board and Nunavut Impact Review Board distributed a  
21 technical meeting and prehearing conference draft  
22 agenda.

23 March 28th, Water Board received technical review  
24 comments related to licence application from Fisheries  
25 and Oceans Canada, Environment and Climate Change  
26 Canada, Indigenous and Northern Affairs, and Kivalliq

1 Inuit Association. On April 7, 2017, company Agnico  
2 Eagle Mines Limited provided its preliminary responses  
3 to technical review comments.

4 April 21-25, the Board received proponent's and  
5 intervenors' presentation for technical meeting. April  
6 24th, Nunavut Impact Review Board and Nunavut Water  
7 Board released jointly final agenda for technical  
8 meeting and prehearing conference. April 28-29 and May  
9 1-2, we conducted -- or Board conducted with Nunavut  
10 Impact Review Board joint technical meeting/prehearing  
11 conference, again in Baker Lake; and on June 8th, 2017,  
12 NIRB and Water Board jointly released technical meeting  
13 prehearing conference decision report. Between June 8,  
14 July 14, company provided its commitment submissions.

15 Notice for public hearing for this public hearing  
16 was issued on July 17, 2017.

17 In August 14-15, received comments from Fisheries  
18 and Oceans Canada, Environment and Climate Change, and  
19 Indigenous and Northern Affairs Canada, and Kivalliq  
20 Inuit Association and, on August 28th, final  
21 submissions from company.

22 September 5 to 25, Water Board received copies of  
23 the presentations from Fisheries and Oceans,  
24 Environment and Climate Change, Indigenous and Northern  
25 Affairs, Kivalliq Inuit Association, and the company.

26 September 8, 2017, Board distributed a public



1 hearing agenda, and we are here for the public hearing  
2 now.

3 So I should note that applicant/all parties'  
4 contribution was very valuable. Parties I should state  
5 separately maybe: Fisheries and Oceans Canada,  
6 Environment and Climate Change Canada, Indigenous and  
7 Northern Affairs Canada, and Kivalliq Inuit Association  
8 all provided their valuable contribution for the  
9 process and participated in formal and informal  
10 discussion to resolve different issues and provided  
11 very valuable technical information.

12 The Board is looking at public as well, and the  
13 public is encouraged to participate in the public  
14 hearing and community session now. I should note that,  
15 if anybody is interested to provide any information,  
16 any questions, they can contact Water Board staff. We  
17 also have all documents, it was stated, on our FTP  
18 site. That is stated in the -- on the bottom of the  
19 slide; it is the FTP site.

20 Like Water Board Chair mentioned, today's or  
21 tomorrow's public hearing is chaired by the Board Panel  
22 and led by the Board Chair. The Water Board Panel is  
23 here to consider the evidence provided during the  
24 hearing before issuing its decision in about 30-45 days  
25 after the project accepted by Nunavut Impact Review  
26 Board and Minister. And once a decision is issued, the

1 public will be informed. So it's very -- and also  
2 public will be informed with the subsequent Minister  
3 decision after the Board decision.

4 These are contact information for all Nunavut  
5 Water Board staff present right now at the public  
6 hearing. So anyone wishing to provide even questions  
7 after the hearing, they can just take the email  
8 addresses and send an email.

9 This was the end of presentation, Mr. Chair. And  
10 I will take any questions now.

11 Thank you. Mat'na.

12 THE CHAIR: Thank you.

13 Anyone have any questions related to the Nunavut  
14 Water Board's licencing process, please state your name  
15 before asking the questions. So anyone?

16 Go ahead. Go ahead, INAC.

17 Indigenous and Northern Affairs Canada Questions  
18 Nunavut Water Board Staff

19 MS. COSTELLO: Thank you, Mr. Chair. Karen  
20 Costello for Indigenous and Northern Affairs Canada.

21 I didn't want to take away questions from an  
22 opportunity for the public. So that's why I just  
23 waited to put up my hand.

24 I just had a question on process.

25 On Slide 26, it indicates that the Nunavut Water  
26 Board Panel would be issuing a decision in

1 approximately 30 to 45 days after acceptance of the  
2 project proposal by the NIRB, should that happen, and  
3 the Minister's decision -- and the Minister.

4 So just to confirm process timelines, does this  
5 mean that the Nunavut Water Board will not be --  
6 Panel -- will not be issuing a decision on this licence  
7 application until after the Minister and the other  
8 responsible ministers have issued a response to the  
9 NIRB decision?

10 Thank you.

11 THE CHAIR: Thank you.

12 Legal counsel.

13 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
14 Meadows, legal counsel for the Nunavut Water Board.

15 So the process -- just a slight correction to the  
16 slide. The process will be that, as you know, the  
17 Nunavut Impact Review Board will be issuing a decision  
18 following the close of their hearing to the Minister as  
19 to whether or not the project proposal can go ahead.

20 In the event that the Nunavut Impact Review  
21 Board's decision is a positive one and they recommend  
22 that the project be allowed to proceed to licencing,  
23 the Minister will then consider that report and  
24 recommendation and have the opportunity to decide  
25 whether or not the Minister agrees and accepts that  
26 report. Once the Minister has -- the responsible

1 ministers have made their decision, then the record  
2 will close, actually, with the Nunavut Water Board.

3 So there will be some time for the Board and for  
4 the parties to consider whether additional information  
5 needs to be provided following the Minister's decision,  
6 and then the record will close. So the public hearing  
7 record for this will not close until after the Minister  
8 has issued their decision.

9 If the project is approved to go ahead, then the  
10 Nunavut Water Board would go ahead, receive the final  
11 submissions, close the record; and within 30 to 45 days  
12 of closing the record, the Nunavut Water Board will be  
13 providing a written decision as with respect to the  
14 licence.

15 In the event that the Nunavut Impact Review  
16 Board's decision is a negative decision and the project  
17 is not approved to proceed and the Minister also agrees  
18 to that and the project does not proceed, there will be  
19 no decision rendered in respect of the licence by the  
20 Nunavut Water Board.

21 THE CHAIR: Thank you.

22 Continue, INAC.

23 MS. COSTELLO: Karen Costello for Indigenous  
24 and Northern Affairs Canada. Thank you, Mr. Chair.

25 I appreciate the clarification on process.

26 I was just also trying to visualize timelines.

1 The NIRB, the Nunavut Impact Review Board, is  
2 estimating that it will deliver its decision on or  
3 about November 6, plus or minus a day. So under the  
4 Nunavut Project Planning Assessment Act, the Minister  
5 has -- the responsible ministers have up to 90 days, if  
6 they're going to reject, to notify/to send it back to  
7 the Nunavut Impact Review Board or up to 150 days to  
8 provide a response.

9 So I'm just trying to map out potential timelines  
10 as to when, assuming a positive recommendation from the  
11 Nunavut Impact Review Board and acceptance by the  
12 responsible ministers, when we can -- potentially might  
13 anticipate a closing of the record on that.

14 So I appreciate this for clarification.

15 Thank you.

16 THE CHAIR: Teresa.

17 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
18 Meadows, legal counsel for the Nunavut Water Board.

19 So the question in terms of how long the record  
20 needs to remain open after the Minister's decision is  
21 very much dependent on what additional information the  
22 Nunavut Water Board is waiting for. And if the parties  
23 have already submitted everything and nothing further  
24 is required, then the Water Board would consider  
25 closing the record almost immediately after the  
26 Minister has made her decision. If, on the other hand,

1       there are a number of things that are waiting and the  
2       Water Board needs to keep the record open for, you  
3       know, more time in order to be able to allow the  
4       parties to get their information in, then it would be a  
5       longer timeline.

6             But, obviously, the preference is the Water Board  
7       would like to close the record as soon as they possibly  
8       can and remit the matter to decision-making, because  
9       the matter would not be remitted to the Panel until the  
10      Minister's decision is -- and if it's an affirmative  
11      decision -- is received from the Water Board.

12      MS. COSTELLO:                Thank you, Mr. Chair.   Karen  
13      Costello for Indigenous and Northern Affairs Canada.

14             I appreciate that clarification from the Water  
15      Board's legal counsel.   I have no further comments.

16             Thank you.

17      THE CHAIR:                    Thank you.

18             Is there any more comments to the presentation?  
19      Comments, concerns?

20             I don't see hands.   So where do we move from here?

21             Applicants.

22      Presentation by Agnico Eagle Mines Limited

23      MR. QUESNEL:                All right.   Thank you,  
24      Mr. Chair.   Jamie Quesnel, Agnico Eagle.

25             I just want to introduce the team.

26             From Agnico Eagle, we have Michel Julien, the vice

1 president, environment; Ryan Vanengen, Whale Tail  
2 Project lead; Erika Voyer, general supervisor,  
3 environment; Michel Groleau, geotechnical coordinator;  
4 Candace Ramcharan, community affairs coordinator. From  
5 Golder Associates, we have Valerie Bertrand and Colleen  
6 Prather. And from Lawson Lundell, our legal counsel,  
7 we have Christine Kowbel.

8 Just before I get into the presentation, I just  
9 wanted to say it's -- we're happy to be here in  
10 Baker Lake and having another conversation with the  
11 community. We believe that the process between the  
12 Nunavut Impact Review Board, the Nunavut Water Board  
13 that was established for the Whale Tail Pit Project has  
14 given us the opportunity to undertake a comprehensive  
15 review of the issues relating to water and waste. And  
16 I also would like to thank all the parties for the work  
17 that they've done over the past one-and-a-half years to  
18 help Agnico Eagle improve the proposed Whale Tail Pit  
19 Project. There's been a lot of work done by all the  
20 parties, lots of community engagement; and this has led  
21 us to a better proposal. We thank the parties for the  
22 comments and recommendations that were submitted.

23 So just to ensure we stay on track, on time, we  
24 have the handout of the presentation. At the back, we  
25 have a paper copy. Also, we have a lot of posters.

26 Okay.

1 THE CHAIR: Go ahead.

2 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
3 Meadows, legal counsel for the Nunavut Water Board.

4 I'm sorry to interrupt, but I would like to mark  
5 the presentation material, seeing as you were referring  
6 to them, as the next exhibit in the public hearing.

7 Thank you, Mr. Chair. Those are my matters.

8 EXHIBIT 15 - Agnico Eagle hard copy

9 PowerPoint presentation of introduction and  
10 overview for community information session

11 THE CHAIR: Thank you.

12 Go ahead, applicant.

13 Resumed Presentation by Agnico Eagle Mines Limited

14 MR. QUESNEL: Thank you, Mr. Chair. Jamie  
15 Quesnel, Agnico.

16 Yeah, so we have the handouts at the back by the  
17 front entrance; and, also, we have posters on the back  
18 wall. Plus we have a 3-D model of the Whale Tail Pit  
19 Project that everyone can take a look at and ask any  
20 questions. So we have the handout, but we'll go  
21 through the presentation and cover some of the key  
22 items.

23 So, overall, we just want to comment on our  
24 activities in Nunavut and why Nunavut: politically  
25 attractive and stable jurisdiction, enormous geological  
26 potential. And, also, our success at Meadowbank and



1 the infrastructure we have should be leveraged in the  
2 north. And, also, the operating experience on  
3 Inuit-owned land establishes a good foundation for  
4 continued activities in Nunavut.

5 So this highlights the locations. Meadowbank.  
6 Whale Tail Pit Project's within the Amaruq footprint.  
7 Also, we have the Meliadine project under construction  
8 just north of Rankin Inlet with commercial production  
9 starting in September 2019.

10 This slide just shows the Whale Tail Pit Project  
11 footprint with the activities that's there now. This  
12 is Whale Tail Lake. This is Mammoth Lake. Our pit,  
13 our proposed pit, is located here. The existing  
14 infrastructure we have there now would be the actual  
15 exploration camp. And our access road ties in from  
16 Vault pit at the Meadowbank operation to the Whale Tail  
17 location, approximately here. And we connected -- now  
18 we're connected by road, and that happened about two  
19 weeks ago.

20 So Agnico's Indigenous People engagement  
21 commitment, which is part of the discussion tonight:  
22 Agnico Eagle Mines will work in partnership with  
23 Indigenous People to establish a mutually beneficial,  
24 cooperative, and productive relationship. Our approach  
25 will be characterized by effective two-way  
26 communication, consultation, and partnering.

1           So a key part -- I was mentioning the haul road  
2   between Whale Tail and the Vault pit location at  
3   Meadowbank. We're looking at having heavy haulers, 18  
4   trucks, to move the ore from Whale Tail to Meadowbank.  
5   We're looking at operating 24 hours a day. It's about  
6   two-and-a-half cycles per day or five trips per day per  
7   truck. And, also, there's lighter traffic on the haul  
8   road.

9           But these are the two new trucks that we're  
10   looking at to pilot on the road before we make a  
11   decision. The top truck, the photo at the top, is one  
12   truck that we're looking at. It's a six by -- six  
13   wheels by six wheels, all-wheel drive, so three axles  
14   powering the front end of the truck to pull the ore.  
15   In the box of the truck, it's 150 tonnes. The photo  
16   just below that is another truck that we're looking at,  
17   and that's ten wheels by ten wheels, all-wheel drive.  
18   So there's five axles that's powering the truck, and  
19   the payload is still 150 tonnes. And the length of the  
20   truck and the trailer is about 84 feet.

21          And some of the new jobs -- we're looking at 150  
22   new jobs, if the project is approved; and a good  
23   portion of these jobs are related to driving these new  
24   trucks.

25          So just dealing with the haul road that's now  
26   connected between Vault -- so Meadowbank Vault pit is

1 located here; and Whale Tail, within the Amaruq  
2 property, is located here. The red colours here are  
3 Inuit-owned land. In the centre, we have Crown land.  
4 So that's the alignment of the road between Vault at  
5 Meadowbank operation to Whale Tail.

6 We're going to show a short video. It just  
7 highlights the predevelopment, the operational phase of  
8 Whale Tail, and also the closure phase of the project.  
9 So it just gives you an indication of what it should  
10 look like.

11 So this is predevelopment. So right here, this  
12 waterbody that I'm pointing to is the Whale Tail Lake.  
13 It flows through the Mammoth channel towards Mammoth  
14 Lake. So that's the natural flow of water right now.  
15 That flow of water will change based on the pit  
16 development and also the attenuation pond.

17 So the next -- that's just looking at the  
18 landscape.

19 So for the operations, this is Whale Tail Lake  
20 south basin. The water will now go to the south into  
21 Mammoth Lake. This is the Mammoth -- Whale Tail dike,  
22 attenuation pond, Mammoth dike, Whale Tail Pit, and our  
23 waste rock storage facility. So the 3-D model shows  
24 this operational phase. So that's at the back of the  
25 room that people can take a look at.

26 And at closure, once we meet the water quality

1 objectives, the criteria for the re-flood, these dikes  
2 will be breached. That's the Whale Tail dike and also  
3 the Mammoth dikes. So the water will be breached, and  
4 the water will flow again naturally from Whale Tail  
5 north basin through the Mammoth dike -- Mammoth channel  
6 through the dike to Mammoth Lake.

7 And the waste rock storage facility, as we've been  
8 discussing, will be covered with, like, 4 metres of  
9 rock. So that's from the floor to the piping at the  
10 ceiling, about that thickness of rock as a thermal  
11 cover.

12 So we're just going to advance to Slide 16. Maybe  
13 not. Yeah, this slide just shows the operational phase  
14 of the Whale Tail Pit Project. It shows some of the  
15 infrastructure. So, again, as a video, we have the  
16 pit. We have the Whale Tail Lake south basin. And  
17 this is Mammoth Lake, the waste rock storage facility.  
18 We have a collection pond there also. Whale Tail dike,  
19 Mammoth dike. We have the Whale Tail camp, the new  
20 camp for the employees at that location. We have  
21 some -- the ore stockpiles, overburden storage for  
22 closure. We're pulling freshwater from Nemo Lake,  
23 which is up here, to the site. And, again, the haul  
24 road -- this is the connection to Whale Tail. So now  
25 you can drive from Vault all the way to Whale Tail.

26 Just going to show -- this is based on the

1 existing infrastructure of Meadowbank that we're going  
2 to use. This is all based on approvals for permits.  
3 But Q3 2018, basically the three pits plus our Vault  
4 pit, we will not be extracting any more ore at that  
5 time, and that's why it's so important for the  
6 application -- the approval of the Whale Tail Pit  
7 Project, to continue the activities at Meadowbank.

8 But the existing infrastructure that will be used  
9 at Meadowbank would be the tailings facility. So we  
10 have the tailings facility located here. We have our  
11 airstrip located right here. We have our camp, our  
12 existing camp; and also the process facility where we  
13 crush the rock and extract the product, the gold, that  
14 we're after. And, also, the road to Whale Tail is  
15 located here. It's not on this photo, but that's the  
16 connection at the Vault location. So that's using --  
17 that just highlights the existing infrastructure at  
18 Meadowbank.

19 So I'm just going to pass this over to my  
20 colleague Ryan to make a few comments about the  
21 environmental monitoring and mitigation.

22 MR. VANENGEN: Ryan Vanengen from Agnico  
23 Eagle.

24 So for the next three or four slides, I'm just  
25 going to present an overview of our environmental  
26 monitoring.

1           So our environmental monitoring covers all of the  
2       areas, including the air; so we monitor the quality of  
3       the air of our site. We monitor the terrestrial  
4       environment -- so the caribou, the siksiks, the birds,  
5       but also the vegetation that the animals -- that the  
6       wildlife survive on; we monitor those.

7           We monitor around our mine site extensively,  
8       especially as it relates to water quality monitoring.  
9       We monitor around the ore stockpiles, and we monitor in  
10      our pit. And if we treat water, we also monitor to  
11      make sure that that treatment is effective. And then  
12      we discharge into the environment, so the nearby lakes.  
13      And we also monitor the water quality in the lakes, as  
14      well as the fish food, the habitat that the fish  
15      survive on, and also the fish themselves. So we  
16      monitor all of the water elements or the aquatic  
17      environment.

18          As part of -- as my colleague Jamie presented,  
19      there's an area to the north of Whale Tail Lake, and  
20      it's called the north basin. As a result of mining at  
21      Whale Tail, we'll be required to do a fish-out as well.  
22      So we'll be moving fish from the north basin into the  
23      south basin before dewatering that basin.

24          Before we began designing the Whale Tail Pit  
25      Project and also the monitoring programs and our  
26      baseline studies, we hosted Inuit Qaujimajatuqangit

1 workshops and collected data throughout, already  
2 beginning in 2014. And those traditional knowledge  
3 workshops informed our project design in the early  
4 phases. So it informed the road route. It also  
5 informed our biologists and scientists that went out in  
6 the field in 2015 to collect baseline data.

7 Many of the participants, including some of the  
8 Baker Lake HTO members and some other local people,  
9 were also hired in the field. So that was one way how  
10 we integrated the Inuit Qaujimajatuqangit into our  
11 design as well as our field studies.

12 Our field studies, as I mentioned, were primarily  
13 in 2015, but we continued those in 2016, and we  
14 continue to collect baseline data in 2017 as well to  
15 inform our project and inform decisions.

16 Throughout the process, we've integrated Inuit  
17 Qaujimajatuqangit; and as I mentioned, it's informed  
18 our design around infrastructure, including water  
19 management and including waste and road alignments.

20 MR. QUESNEL: Thank you, Mr. Chair. Jamie  
21 Quesnel, Agnico.

22 Just about five slides to go over the future of  
23 the Meadowbank mine, which is the Whale Tail Pit  
24 Project.

25 We know the Meadowbank operation will exhaust all  
26 the resources the third quarter 2018. So the Whale

1 Tail satellite operation will extend the life of the  
2 Meadowbank mine. That's very important for the  
3 continuity of employment, to ensure we pass on all the  
4 key learnings in the -- with that continuity. And this  
5 project relies on the use of the existing main  
6 infrastructures of Meadowbank -- the main  
7 infrastructures of Meadowbank; and, therefore, the team  
8 in place works to advance and put in place a plan to  
9 develop the new discovery as a satellite site. So  
10 there's a lot of activity.

11 This represents, like I was saying, the continuity  
12 of the current jobs at Meadowbank, over 800 people,  
13 also, with -- if we do receive the approvals, adding  
14 over 150 new jobs related to the full production phase  
15 of Whale Tail. And that could be up to, you know, 75,  
16 80 Inuit jobs and create many opportunities for Inuit  
17 to benefit through training, jobs, and contracts. So  
18 that's a very important piece.

19 We signed the Whale Tail Pit Inuit Impact Benefit  
20 Agreement. It was signed June 15th, 2017, in this room  
21 between Agnico and the Kivalliq Inuit Association.  
22 This ensures Inuit benefit from the development of the  
23 project through training, jobs, and contracts. Our  
24 target is 50 percent Inuit employment.

25 Also part of that Inuit Impact Benefit Agreement:  
26 to maintain a minimum of \$3.6 million to spend on



1 training plus one -- additional \$1 million per year on  
2 initiatives to achieve the employment target; again,  
3 the business opportunities with the registered  
4 companies; additional studies on Inuit workforce  
5 barriers; and also additional studies on socioeconomic  
6 impact and benefits.

7 And a big part of our success is providing the  
8 jobs, the local jobs. And also trades are  
9 transferrable across Canada. And couple examples are  
10 related to the Red Seal, related to mechanics,  
11 carpenters, cooks. And these trades are transferrable.  
12 They can come back to the community in Nunavut and  
13 continue with that trade or elsewhere in Canada. So  
14 Meadowbank is that location where people can be trained  
15 and have that certification to utilize it for the rest  
16 of their lives.

17 Devon is from Baker Lake. He graduated as a  
18 journeyman heavy-duty equipment technician in April.  
19 He joined Meadowbank in 2011.

20 At the end of 2016, there were 12 apprentices.  
21 And that's plumbing -- for plumbers; carpenters; again,  
22 heavy-duty equipment technicians; mechanics;  
23 millwrights. Those trades are important not just here  
24 but across Canada. Those are very important jobs.  
25 And, also, Agnico Eagle is one of Nunavut's largest  
26 employers for Inuit apprentices.

1           As mentioned earlier today, Agnico Eagle wants to  
2   be in Nunavut for decades. We're developing platforms.  
3   We have Meadowbank as a platform, also Meliadine as a  
4   platform -- which can be a cornerstone for Agnico Eagle  
5   activities for several decades.

6           Also, Meadowbank's lessons, the ten years we've  
7   been operating in the north and success -- and this  
8   success can be leveraged in new Agnico projects in  
9   Nunavut; and we mentioned that many times with our  
10  discussion of the Whale Tail Pit Project. The key  
11  learnings, the people, the systems -- that's going to  
12  be passed on to Whale Tail but also is being passed on  
13  to Meliadine, our new project north of Rankin.

14           And the Whale Tail Pit Project will extend the  
15  life of Meadowbank. And in Amaruq, the exploration  
16  footprint where Whale Tail is part of that is the  
17  future of the Meadowbank division.

18           And, also, like I stated, having our mines managed  
19  by Inuit is our vision.

20           And that's our presentation.

21           Thank you.

22   THE CHAIR:                   Thank you, applicant.

23           Is there questions or comments from public?

24           Either from other participants?

25           Go ahead. There's a microphone available. Just  
26  raise your hand.

1       Comments by the Public

2       TIMOTHY EVVIUK:               Dewatering the part of Amaruq  
3       project, before it is dewatered, these fishes that are  
4       being removed from that lake that are going to be  
5       transferred to that lake, it's something to think  
6       about. Maybe somebody that is not too young that has a  
7       good knowledge on how to handle fish, somebody that is  
8       well-trained. I was -- I grew up on -- I grew up on  
9       the land. When Kiggavik was opened 2016, I started  
10      working there. I started working with fish and the  
11      water. And to the bottom of the lake, I also pulled  
12      out some fish from there. Those fish have to be very  
13      well cared for -- or be careful with the fish.

14           Some that are too young, that are being --  
15      working, yes, it is joy that the young people are  
16      working. But for me, it is not too okay when they are  
17      going to handle the fish. How -- it has to stay -- the  
18      fish have to stay alive and survive. And when they are  
19      going to be transferred to another lake, I've seen them  
20      being suffer and I noticed and watched them, how they  
21      do it; therefore, somebody that is well-trained on how  
22      to handle -- to transfer fish. When they are going to  
23      handle the fish and transfer them to the other lake, I  
24      have noticed. I now know that they -- fish can survive  
25      after being handled.

26           I just wanted to put this out to you when they are

1 going to dewater the Amaruq site.

2 Thank you.

3 MR. VANENGEN: Ryan Vanengen from Agnico  
4 Eagle.

5 Thank you very much for the comments, and they're  
6 very useful. And we've also had the same experience  
7 working with the Hunting and Trapping Organization,  
8 where they've provided very good advice as well during  
9 our fish-outs at Meadowbank in the past. And we look  
10 to apply the same transfer procedures. We have also  
11 trained people that are -- that have worked for us  
12 based out of Baker Lake and also trained biologists as  
13 well that will be conducting the fish-out to ensure  
14 that the fish from the north basin are transferred  
15 effectively and are protected and then released into  
16 the south basin of Whale Tail Lake.

17 Mat'na.

18 THE CHAIR: Thank you.

19 Any more questions? (OTHER LANGUAGE SPOKEN). Any  
20 more questions? Okay. Thank you. There's no more.

21 Okay. Now moving on to intervenors. Can I start  
22 with the KIA.

23 Go ahead.

24 MS. MEADOWS: Thank you, Mr. Chair. Teresa  
25 Meadows, legal counsel for the Nunavut Water Board.

26 Mr. Chair, as this is the first evidence that's

1       being presented to the Board by the intervenors, I will  
2       need to affirm them or swear them in.

3               And as well I believe that we have a presentation  
4       that I will be marking as the next exhibit in the  
5       public hearing.

6       LOUIS MANZO, ALAN SEXTON, Affirmed

7       MS. MEADOWS:                   Teresa Meadows, legal counsel  
8       for the Nunavut Water Board.

9               Thank you, Mr. Chair. Those are all my procedural  
10       matters.

11       THE CHAIR:                    Thank you.

12               You may proceed with your presentation, QIA --  
13       sorry -- KIA. I came from -- I come from QIA. Sorry  
14       about that.

15       Presentation by Kivalliq Inuit Association

16       MR. MANZO:                    Thank you, Mr. Chairman.

17               For the purpose of time, I will explain our  
18       technical presentation, and our technical report was  
19       submitted as one single document. We stated in our  
20       technical document that we worked with the proponent  
21       and Climate Change Canada and Indigenous and Northern  
22       Affairs Canada and Fisheries and Oceans on all the  
23       issues in their mandates and also the responsibility  
24       the KIA has for the proposal of the Water Board  
25       hearing. So I will move very quickly. I will start my  
26       presentation.

1 KIA represents Inuit, administers and monitors  
2 certain provisions of the Nunavut final agreement in  
3 the Kivalliq Region. KIA's mission is to represent  
4 Inuit in a fair and democratic manner in the  
5 development, protection, administration, and  
6 advancement of their rights and benefits and to promote  
7 economic, social, political, and cultural well-being.

8 For these joint submissions, the purpose of the  
9 technical review was to ensure that the potential  
10 impacts and benefits were comprehensively assessed  
11 through scientific, socioeconomic, and impact  
12 assessment best practices and to ensure that Inuit  
13 traditional knowledge were incorporated into the impact  
14 determination, mitigation, project design, and  
15 monitoring.

16 A technical review was presented on August 11,  
17 2017. At that point when we present the technical  
18 review, six issues was remained and related to caribou  
19 and one issue was remained that related to arsenic  
20 content in the waste rock storage facility. Those  
21 issues now are being resolved.

22 And for the purpose of the Water Board hearings,  
23 KIA, after the -- before the presentation of the  
24 technical reviews, we have several meetings with the  
25 proponent, Environment Canada, and DFO on different  
26 issues: site-specific water quality objectives, pit

1 lake and water quality monitoring, post-closure Whale  
2 Tail Lake and water quality, waste rock storage  
3 facility, all related to water components. And those  
4 are being resolved.

5 Also, with Indigenous and Northern Affairs Canada,  
6 we assessed a security deposit in the total amount of  
7 \$26,285,926, the total amount of security deposit. We  
8 also work out the security management agreement, who  
9 will actually divide this total amount. And  
10 practically half of that will be for Indigenous and  
11 Northern Affairs Canada, and the other half will be for  
12 KIA. The security agreement ensures that the parties  
13 will come up to the table to review security, as  
14 needed; and, also, in any event of any other  
15 eventuality, we can come back to the table with the  
16 full total amount of security. And that is being  
17 signed by the Kivalliq Inuit Association.

18 The other uncertainty is water compensation. Over  
19 the course of these two weeks, Kivalliq Inuit  
20 Association has been -- go back into the table for the  
21 numbers for the water compensation -- because we hear  
22 different numbers, different dates of closure, and  
23 different values in different lakes. So we came back  
24 to the Board, and we prepared to -- before this hearing  
25 is closed -- to have a final compensation agreement for  
26 the Board in a future date.

1           And with that, I am finished with my presentation,  
2   if anyone have any questions.

3           Thank you, Mr. Chairman.

4   THE CHAIR:                   Thank you, KIA.

5           Any comments from public? Comments, concerns,  
6   questions? (OTHER LANGUAGE SPOKEN). Okay. There's  
7   none.

8           Thank you for your presentation.

9           I'll ask INAC to have a public presentation, and  
10   you may also want to be sworn in or affirmed with the  
11   legal counsel.

12   KAREN COSTELLO, Affirmed

13   MS. MEADOWS:               Thank you, Mr. Chair. Teresa  
14   Meadows, legal counsel for the Nunavut Water Board.

15           Ms. Costello, it's my understanding that you have  
16   presentation materials that you'll be filing in advance  
17   of your presentation, and I believe I have three  
18   versions -- in French, English, and Inuktitut; is that  
19   correct?

20   MS. COSTELLO:               Karen Costello for Indigenous  
21   and Northern Affairs Canada.

22           Yes. I can confirm we have three community  
23   presentations.

24   MS. MEADOWS:               Thank you, Mr. Chair. Teresa  
25   Meadows, legal counsel for the Nunavut Water Board.

26           So, Mr. Chair, for the record, we will be marking



1 those as the next three exhibits in this public  
2 hearing.

3 Those are my procedural matters, Mr. Chair.

4 EXHIBIT 16 - Indigenous and Northern Affairs  
5 Canada hard copy PowerPoint for community  
6 presentation (English)

7 EXHIBIT 17 - Indigenous and Northern Affairs  
8 Canada hard copy PowerPoint for community  
9 presentation (Inuktitut)

10 EXHIBIT 18 - Indigenous and Northern Affairs  
11 Canada hard copy PowerPoint for community  
12 presentation (French)

13 THE CHAIR: Thank you.

14 You may proceed with your presentation, INAC.

15 MS. COSTELLO: Thank you, Mr. Chair and Panel  
16 members.

17 Excuse me a second. I have to say hello to the  
18 community members. I feel bad that I have my back  
19 towards them.

20 My name is Karen Costello, and I'm the director of  
21 resource management with the Nunavut regional office of  
22 Indigenous and Northern Affairs Canada. I'm joined  
23 here today by Ian Parsons, who is the regional  
24 coordinator with the water resources division in the  
25 Nunavut office, and he is the project lead.

26 I'd like to thank the Nunavut Water Board for

1 providing this opportunity to speak to the community  
2 representatives of Baker Lake. We appreciate their  
3 hospitality and participation in this process and  
4 giving up their community hall for the second week in a  
5 row. So thank you to you.

6 I'd like to talk to the community members about  
7 Indigenous and Northern Affairs Canada's participation  
8 in the Nunavut Water Board's review of Agnico Eagle's  
9 Type A water licence application for the Whale Tail Pit  
10 Project. Our name is somewhat convoluted, "Indigenous  
11 and Northern Affairs Canada"; so I'm going to shorten  
12 it as I speak to you and just refer to us as "the  
13 department".

14 So why is Indigenous and Northern Affairs involved  
15 in the Nunavut Water Board licencing process?

16 The Minister has a decision-making role under the  
17 Nunavut Land Claims Agreement. She also has a role  
18 under the Nunavut Project Assessment Act and the  
19 Nunavut Waters and Nunavut Surface Rights Tribunal Act.

20 The department is also an intervenor, and we  
21 provide expert advice at meetings and hearings, such as  
22 this one. We participate through written submissions  
23 and provide technical advice and feedback to both the  
24 Nunavut Water Board and applicants, such as Agnico  
25 Eagle.

26 Finally, the department has a role in the

1 regulation and enforcement of activities that take  
2 place on federal land or activities that occur under  
3 water licences. So if a water licence is issued for  
4 this project, it will be the responsibility of  
5 Indigenous and Northern Affairs Canada inspectors to  
6 inspect the project and make sure the conditions of the  
7 water licence are being followed.

8 For Agnico Eagle's application as well as their  
9 amendment application to the Meadowbank licence, the  
10 department has participated in scoping of the initial  
11 applications. We have made information requests to  
12 Agnico Eagle. We participated in the technical meeting  
13 and the prehearing conference that was held here in  
14 Baker Lake in May. And we have made technical review  
15 comment submissions as well as a final technical  
16 submission in August.

17 The department's final written submission on  
18 August 14th identified three concerns related to water  
19 quality under the new Whale Tail Pit water licence  
20 application. On August 14th, they were considered  
21 outstanding. I'd like to tell the community members  
22 about these issues along with some specific  
23 recommendations related to the potential issuance of a  
24 water licence. Our final written submission also  
25 included two comments with regard to the amendment  
26 application for the Meadowbank water licence.

1           Since August 14th, the department and Agnico Eagle  
2   have continued discussions and the department's issues  
3   have been satisfied with commitments and agreement on  
4   proposed licence requirements which have been presented  
5   or will be presented tomorrow during the rest of our  
6   technical presentation to the Board for their  
7   consideration.

8           I'm going to take a few minutes to touch on the  
9   comments that I mentioned in our final written  
10   submission.

11          This is just an aerial shot looking at the north  
12   end of the Whale Tail Lake, and at the very kind of top  
13   end of the picture is the actual kind of Whale Tail,  
14   and that would be where the open pit would be.

15          So as I said, our August 14th had three comments  
16   about water quality.

17          The first concern had to do with the waste rock  
18   storage facility -- so, basically, the big rock pile  
19   that's going to be left. This rock pile will be where  
20   waste rock from the mined pit will be stored, and it  
21   will need to be covered with rock that does not have  
22   the potential to leach metals once the site is closed.  
23   The rock that covers the waste rock pile is an  
24   extremely important part of the overall design of the  
25   waste rock storage facility.

26          While the department accepts that Agnico Eagle

1 will be careful about making sure the rock used in this  
2 cover does not have the potential to leach metals, we  
3 feel it will be difficult to make sure that the cover  
4 is 100 percent non-metal leaching. The department was  
5 concerned that, if some metal-leaching rocks -- rock  
6 makes it into the waste rock storage facility cover,  
7 then seepage -- so basically water that's going to seep  
8 through the rock pile -- may need to be treated on a  
9 long-term basis.

10 The second concern also relates to the cover  
11 that's going on top of the rock pile. The final design  
12 for the cover will include decisions about how the  
13 freeze-thaw zone in the rock pile is expected to be and  
14 therefore how thick the cover needs to be. The  
15 department has recommended that Agnico Eagle continue  
16 to refine their analysis related to this final design,  
17 incorporating additional data from the Meadowbank waste  
18 rock storage facility as well as data from operations  
19 at Whale Tail once they have begun.

20 Our third concern focuses on the direction of  
21 groundwater flow around the Whale Tail Pit. If  
22 groundwater flows into the pit, arsenic may diffuse  
23 from the surrounding rock, increasing arsenic levels  
24 above recommended guidelines in the flooded pit after  
25 operations. The department has recommended to Agnico  
26 Eagle that they can do more hydrogeological studies

1 before dewatering the pit so they can confirm the  
2 direction of groundwater flow.

3 Through our discussions and through some  
4 commitments which we have worked on, Agnico Eagle has  
5 agreed to some recommendations and we work with them on  
6 some proposed licence terms and conditions that we will  
7 be presenting to the Board in our technical  
8 presentation tomorrow. So, basically, our three  
9 concerns with regard to water quality have been  
10 satisfied by commitments by Agnico Eagle.

11 When we met in May, the department had two  
12 concerns that we were able to resolve prior to our  
13 August 14 submission.

14 The first concern was whether there would be  
15 enough rock material at the site to cover the waste  
16 rock storage facility. Through some conversations and  
17 exchange of information with Agnico Eagle, the  
18 department is satisfied that there is sufficient  
19 material.

20 A second concern we had was how Agnico Eagle had  
21 calculated ammonia and nitrate concentrations in runoff  
22 from their blasting activities. Agnico Eagle and the  
23 department held some meetings and discussed their  
24 analysis, and the department has accepted the analysis  
25 as previously presented by Agnico Eagle. So we have no  
26 further concerns with this issue.

1           The final two issues that we commented on had to  
2   do with the consequential amendments to the Meadowbank  
3   mine -- Meadowbank mine water licence. The first  
4   concern in the comment raised by the department was to  
5   ensure that the modifications Agnico Eagle is planning  
6   to their Meadowbank tailings storage facility were  
7   reviewed by the Nunavut Water Board. The second issue  
8   was that the amendments to the Meadowbank licence  
9   should include a change in the term, and we had  
10   recommended that the water licence term should be  
11   modified. Instead of extending in 2025, we recommended  
12   that it go to 2026. Agnico Eagle has accepted these  
13   recommendations.

14          The water licence application document and all of  
15   its supporting plans is a very detailed document. In  
16   general, we found the information, the analysis, and  
17   the presentation of all this documentation was  
18   complete. We discussed and reached agreement with  
19   Agnico Eagle on some additional monitoring to address  
20   uncertainties related to long-term and post-closure  
21   water quality that were based on their models that they  
22   presented. The department recommended that Agnico  
23   Eagle undertake additional modelling as information  
24   becomes available and a more intensive monitoring  
25   program for the site to better understand the remaining  
26   uncertainties and provide more confidence to predicted

1 outcomes. Up-to-date modelling and monitoring during  
2 operations and closure may show that the site  
3 conditions match the predicted outcomes. However,  
4 outcomes that deviate from predictions could result in  
5 unintended impacts requiring mitigation.

6 A requirement of a water licence, as you have  
7 heard, is that a reclamation cost estimate must be  
8 developed. The department, Kivalliq Inuit Association,  
9 and Agnico Eagle have reached agreement on a  
10 reclamation cost estimate. They have also entered into  
11 agreement. It's called a security management agreement  
12 where it is -- Kivalliq Inuit Association and  
13 Indigenous and Northern Affairs would equally hold  
14 security. So if the total amount, which is  
15 approximately 26.3 million, as per the agreement,  
16 Kivalliq Inuit Association and Indigenous and Northern  
17 Affairs would each hold 50 percent of that. And  
18 because of that security management agreement, the  
19 department is recommending to the Board, should they  
20 issue this licence, that 50 percent of the agreed-upon  
21 reclamation cost estimate be required as financial  
22 assurance under the licence.

23 So that concludes the presentation, and I'm happy  
24 to take any questions.

25 And for those of you who might not know what gold  
26 looks like in its natural state, this is a picture of



1       some of the gold in the rock that hosts the Whale Tail  
2       deposit.

3             Thank you, Mr. Chair.

4       THE CHAIR:                     Thank you, INAC, for your  
5       presentation.

6             Questions, comments, concerns from public? (OTHER  
7       LANGUAGE SPOKEN). Okay. I take that there's none.

8             Thank you. Thank you for your presentation.

9             Next intervenor I'd like to call is Environment  
10       and Climate Change Canada. You may as well affirm  
11       witnesses with the legal counsel.

12       MELISSA PINTO, TRISH AUSER, Affirmed

13       MS. MEADOWS:                 Teresa Meadows, legal counsel  
14       for the Nunavut Water Board.

15             Mr. Chair, I have one presentation, one copy of  
16       this presentation, in English and Inuktitut; and I  
17       propose to file that as the next exhibit in these final  
18       hearings.

19             And those are my procedural matters.

20             EXHIBIT 19 - Environment and Climate Change  
21       Canada hard copy PowerPoint presentation for  
22       community session (English/Inuktitut)

23       THE CHAIR:                     Thank you.

24             Okay. You may proceed with your presentation.

25       Presentation by Environment and Climate Change Canada

26       MS. PINTO:                     Good evening, Mr. Chair, Board

1 members, elders, community members, Board staff, and  
2 other parties that have joined us here tonight. My  
3 name is Melissa Pinto, and I'm the senior environmental  
4 assessment coordinator with Environment and Climate  
5 Change Canada. With me today, on my left, I have Trish  
6 Auser, our water quality expert.

7 To start off, I will go through Environment and  
8 Climate Change Canada's mandate, briefly touch upon the  
9 relevant acts and legislation under the department's  
10 responsibility. I will then outline the department's  
11 participation in this water licence process and,  
12 finally, discuss the department's final written  
13 submission to the Nunavut Impact Review Board --  
14 sorry -- the Nunavut Water Board. For each  
15 recommendation, we will indicate whether or not the  
16 issue has been resolved or still remains outstanding  
17 along with any commitments made by the proponent.

18 Summarized, Environment and Climate Change  
19 Canada's mandate is to conserve and protect Canada's  
20 water resources; forecast daily weather conditions and  
21 warnings; coordinate environmental policies and  
22 programs for the federal government; and, continued on,  
23 to preserve and enhance the quality of the natural  
24 environment, including air, water, soil, flora, and  
25 fauna; and enforce rules relating to boundary waters.

26 Environment and Climate Change Canada's mandate is

1     governed by the Department of the Environment Act, the  
2     Canadian Environmental Protection Act, the pollution  
3     prevention provisions of the Fisheries Act, the  
4     Migratory Birds Convention Act, and the Species at Risk  
5     Act.

6             Environment and Climate Change Canada provides  
7     scientific expertise within the department's mandate to  
8     the Nunavut Water Board and the Nunavut Impact Review  
9     Board, particularly in regards to air quality,  
10    wildlife -- specifically migratory birds and species at  
11    risk -- and water and sediment quality.

12            Environment and Climate Change Canada has  
13    participated in all phases of the coordinated review  
14    process so far for the Whale Tail Pit Project by  
15    submitting information requests; technical comments;  
16    and, most recently, a final written submission. The  
17    department looks forward to continuing its  
18    participation in the regulatory process should the  
19    project proceed.

20            This presentation summarizes the department's  
21    recommendations outlined in its final written  
22    submission for consideration by the Nunavut Impact --  
23    apologies -- Nunavut Water Board.

24            I will now hand it over to Trish to continue the  
25    presentation.

26    MS. AUSER:                   For water quality, there was

1 some issues brought forward at the technical session  
2 that were resolved prior to final written submissions.  
3 The proponent proposed an updated site-specific water  
4 quality objective for arsenic and updated treatment  
5 objectives for arsenic and phosphorous. Environment  
6 and Climate Change Canada is supportive of these  
7 updated objectives that are more protective of the  
8 environment.

9 The first water quality issue that the department  
10 brought forward in its final written submission was in  
11 regards to the north wall pushback. The proponent is  
12 proposing to remove additional rock that has the  
13 potential to release arsenic and would encapsulate this  
14 rock in the waste rock storage facility. It is  
15 important to Environment and Climate Change Canada that  
16 the proponent determine and understand risks and  
17 benefits this pushback has on the environment, and the  
18 department anticipates that information gained during  
19 operation will help to refine predictions and  
20 management actions for the pushback.

21 The second water quality concern Environment and  
22 Climate Change Canada brought forward in its final  
23 written submission was regarding water quality  
24 modelling and having updated management plans to  
25 address any potential issues should conditions not be  
26 as predicted. The proponent agreed with the

1 recommendation put forward by the department, and thus  
2 Environment and Climate Change Canada considers this  
3 issue resolved.

4 The third water quality concern by the  
5 department -- that the department brought forward was  
6 regarding water quality criteria for discharges to the  
7 environment from the site. Through discussions with  
8 the proponent, criteria for water quality parameters  
9 have been determined.

10 The next water quality issue brought forward in  
11 Environment and Climate Change Canada's final written  
12 submission was regarding the placement of sludge or  
13 waste from the water treatment plant. The proponent  
14 agreed to place the sludge in the waste rock storage  
15 facility, and thus the department considers this issue  
16 resolved.

17 The proponent also agreed to conduct a separate  
18 mercury study to address uncertainties related to  
19 flooding in an Arctic environment, and the proponent  
20 will use this information to update their management  
21 plans as necessary. Environment and Climate Change  
22 Canada considers this issue resolved as well.

23 Finally, the department had concerns regarding the  
24 testing of sediment core samples. However, the  
25 proponent has clarified that they will continue to  
26 analyze a full set of parameters in their sediment

1 tests, and this issue is also considered resolved.

2 In summary, Environment and Climate Change Canada  
3 is generally satisfied with the information provided by  
4 the proponent and looks forward to continuing its  
5 participation and reviewing information as it becomes  
6 available in the ongoing regulatory process should the  
7 project proceed.

8 Thank you.

9 THE CHAIR: Thank you for your  
10 presentation.

11 Open up for questions, comments, concerns from  
12 public. Okay. I take there's no questions or  
13 concerns.

14 Thank you for your presentation, Environment and  
15 Climate Change Canada.

16 Next intervenor I'd like to call upon is  
17 Department of Fisheries and Oceans Canada. You will  
18 also have to affirm or -- for witnesses, swear or  
19 affirm with legal counsel.

20 MARK D'AGUIAR, LAURA WATKINSON, Affirmed

21 MS. MEADOWS: Teresa Meadows, legal counsel  
22 for the Nunavut Water Board.

23 Mr. Chair, it's my understanding that there are  
24 three copies of this presentation, being English and  
25 Inuktitut and -- oh, actually, two copies of this  
26 presentation -- English and Inuktitut, and French as

1 well. So they will be marked as the next two exhibits  
2 in this public hearing.

3 Thank you, Mr. Chair.

4 EXHIBIT 20 - Fisheries and Oceans Canada hard  
5 copy PowerPoint presentation for the Nunavut  
6 Water Board community roundtable session  
7 (English/Inuktitut)

8 EXHIBIT 21 - Fisheries and Oceans Canada hard  
9 copy PowerPoint presentation for the Nunavut  
10 Water Board community roundtable session  
11 (French)

12 THE CHAIR: Thank you.

13 You may go ahead with your presentation.

14 Presentation by Fisheries and Oceans Canada

15 MR. D'AGUIAR: Thank you, Mr. Chair.

16 Good evening, Mr. Chair, members and staff of the  
17 Board, the community of Baker Lake, and other community  
18 members joining us here this week. I will do my best  
19 to speak really slowly for the translators and try to  
20 explain and define some of the more complex terms.

21 My name is Mark D'Aguiar, and I am a senior  
22 fisheries protection biologist with Fisheries and  
23 Oceans Canada; and I am accompanied by my support  
24 staff, Laura Watkinson, who is a fisheries protection  
25 biologist, also with Fisheries and Oceans Canada.

26 I would like to thank the Nunavut Water Board for

1 providing us with the opportunity to present our  
2 technical comments and recommendations from our final  
3 written submission at this community roundtable.

4 In this presentation, I will provide an overview  
5 of Fisheries and Ocean's mandate. I'll briefly touch  
6 on our applicable legislation and some policies. Fun  
7 stuff. I will also provide an overview of our  
8 technical comments that we provided to the Nunavut  
9 Water Board in our final written submission. The final  
10 technical comments will touch on habitat loss, valued  
11 components, habitat alteration, changes to the lake  
12 ecosystem productivity, and the water quality and flow  
13 monitoring plan.

14 I would like to note, due to limited time, we will  
15 just bring to the attention only some key points,  
16 recognizing that the final written submission includes  
17 a more complete discussion of all those issues.

18 We also note that Agnico has agreed to most of our  
19 requests and we have been engaging with Agnico even  
20 since the Nunavut Impact Review Board hearing to  
21 further some of our discussions. And they have also  
22 agreed to further the discussions to finalize the fish  
23 and fish habitat gains/loss accountings and associated  
24 offsetting plans as well as the monitoring plans.

25 So the mandate of Fisheries and Oceans Canada  
26 fisheries protection program is to maintain the



1 sustainability and the ongoing productivity of  
2 commercial, recreational, and Aboriginal fisheries.  
3 The fisheries protection program is responsible for  
4 ensuring that projects in or near water are undertaken  
5 following the requirements of the Fisheries Act and the  
6 Species at Risk Act. The fisheries protection program  
7 provides guidance to proponents on how to avoid,  
8 mitigate, or offset impacts to fish and fish habitat.  
9 The fisheries protection program is also the main  
10 program of Fisheries and Oceans Canada that is involved  
11 in the environmental assessment process defined by the  
12 Nunavut Land Claim Agreement.

13 So the fisheries protection program is guided by  
14 two policies. The fisheries protection policy  
15 statement provides guidance on the application of the  
16 fisheries protection provisions of the Fisheries Act.  
17 And we have the Fisheries Productivity Investment  
18 Policy: a Proponent's Guide to Offsetting, which  
19 provides guidance on undertaking effective measures to  
20 offset impacts and serious harm to fish. Offsetting  
21 measures are actions taken after avoidance and  
22 mitigation measures are implemented, and they are  
23 basically intended to provide conservation outcomes for  
24 fish and fish habitat that may reasonably be expected  
25 to counterbalance the loss of fish and fish habitat  
26 productivity as a result of negative impacts of the

1 project.

2 So the first technical comment that Fisheries and  
3 Oceans Canada presented related to habitat losses.  
4 Fisheries and Oceans Canada requested that Agnico Eagle  
5 provide -- requested illustrations as agreed to by  
6 Agnico, which Fisheries and Oceans Canada would like to  
7 receive prior to the commencement of the regulatory  
8 phase, specifically the authorization. Agnico has  
9 agreed to fulfill our requests.

10 The second request under habitat loss, Fisheries  
11 and Oceans Canada notes that Agnico had not adequately  
12 demonstrated the evaluation of sustainable of water  
13 quality and habitat suitability for fish in the  
14 post-closure. Fisheries and Oceans Canada had concerns  
15 respecting how Agnico would effectively evaluate and  
16 monitor the mixing or non-mixing in the re-flooded pit.  
17 DFO is also concerned that water quality from the pit  
18 could negatively affect the remainder of the lake and  
19 fish habitat.

20 Fisheries and Oceans Canada therefore requested  
21 that Agnico provide additional details outlining how  
22 they intend to evaluate the question of potential  
23 mixing or non-mixing of water in the pit portion of  
24 Whale Tail Lake. If the additional details cannot be  
25 provided, additional offsetting options located outside  
26 of the Whale Tail Lake basin would need to be

1 developed.

2 Fisheries and Oceans Canada does acknowledge that  
3 Agnico has committed in their final submission  
4 responses to evaluate the mixing and non-mixing of the  
5 pit through the depth profile, limnological monitoring,  
6 and depth-integrated sampling which will aid in  
7 assessing the potential for end pit lakes to support  
8 self-sustaining fish populations.

9 Fisheries and Oceans Canada requested that Agnico  
10 provide additional and updated information on the  
11 evaluation of end pit lake scenarios with references to  
12 address Fisheries and Oceans Canada's concern regarding  
13 end pit lakes. In our final submission with respect to  
14 habitat losses, Fisheries and Oceans expressed concern  
15 that fish would not be able to return to the north  
16 basin of Whale Tail Lake post-closure due to several  
17 concerns with the long-term water quality and physical  
18 aspects of an end pit lake.

19 DFO acknowledges the efforts by Agnico to address  
20 uncertainty respecting the successful creation of an  
21 end pit lake that can support healthy, self-sustaining  
22 fish populations. However, sufficient information to  
23 support consideration of this post-closure pit as fish  
24 habitat is not yet available. So, as such, additional  
25 offsetting measures should also be explored.

26 Fisheries and Oceans will work with Agnico, the

1 Kivalliq Inuit Association, the Hunters and Trappers  
2 Associations during this regulatory phase to ensure  
3 that all losses to fish and fish habitat are accounted  
4 for and fully offset.

5 Again, I'd like to note that DFO also notes that  
6 Agnico has recently met with DFO since the conclusion  
7 of the NIRB hearing to further resolve and discuss  
8 these issues.

9 Our next comment is related to valued components.  
10 So Fisheries and Oceans Canada notes that, evaluating  
11 potential fisheries loss and gains, all fishes should  
12 be weighted equally. Fisheries and Oceans requested  
13 that Agnico give equal weights to species based on the  
14 presence or absence of those species in their  
15 calculations. Agnico has agreed to our recommendation.

16 The next comment is in regard to habitat  
17 alteration. This refers to the alteration that will  
18 occur due to proposed flooding activities. DFO  
19 acknowledges that Agnico has provided additional  
20 clarification in their final submission response. DFO  
21 will work with Agnico and KivIA during the regulatory  
22 phase to ensure all losses to fish and fish habitat are  
23 accounted for and fully offset.

24 In our final written submission, Fisheries and  
25 Oceans Canada requested that Agnico provide further  
26 rationale and information regarding the calculation of

1 habitat losses and gains associated with all phases of  
2 the project, including the temporary flooding  
3 activities. The temporary alteration of streams due to  
4 flooding may have negative effects on fish productivity  
5 due to a loss of stream habitat. Fisheries and Oceans  
6 Canada also does not believe that temporary flooding  
7 activities will result in an overall positive change in  
8 fish productivity.

9 Fisheries and Oceans acknowledges that Agnico has  
10 agreed to provide raw data during the authorization  
11 phase and has agreed to work together at that time to  
12 finalize an offsetting plan. We do note that Fisheries  
13 and Oceans Canada will require additional  
14 rationalization on other calculated fish habitat losses  
15 and gains associated with the proposed offsetting plan.  
16 DFO will continue to work with Agnico and the Kivalliq  
17 Inuit Association, the Hunters and Trappers to ensure  
18 that all losses to fish and fish habitat are accounted  
19 for and fully offset should the project be approved to  
20 proceed.

21 The next request regarding habitat alteration was  
22 with respect to the proposed plan by Agnico in which a  
23 portion of the Mammoth dike will be altered to provide  
24 a connection between Whale Tail Lake and Mammoth Lake  
25 which is intended to permanently raise the water level  
26 of Whale Tail Lake by .5 metres. In our final

1 submission, Fisheries and Oceans Canada requested that  
2 Agnico provide more information regarding their plan to  
3 permanently flood Whale Tail Lake by raising that water  
4 level by .5 metres, including the rationale and the  
5 ability to sustain this condition so as to provide  
6 measurable increases in fish productivity.

7 It was unclear how Agnico will ensure that the  
8 lake will remain at this increased water level  
9 long-term, and DFO requires more information on those  
10 plans to make this permanent increase happen.

11 Fisheries and Oceans Canada is not confident that this  
12 type of water level increase and associated increase in  
13 the surface area of the lake will result in  
14 productivity gains. As such, additional measures to  
15 offset the loss of fish and fish habitat may be  
16 required. But Fisheries and Oceans Canada will  
17 continue to work with Agnico Eagle, the Kivalliq Inuit  
18 Association, and the Hunters and Trappers to ensure all  
19 losses to fish and fish habitat are accounted for and  
20 fully offset should the project be approved to proceed.

21 The next set of technical comments that Fisheries  
22 and Oceans Canada had presented was in regard to  
23 changes in lake ecosystem productivity.

24 The first request relates to the potential  
25 proposed change to the lake trophic status of  
26 Mammoth Lake, so the nutrients in the lake. Fisheries

1 and Oceans requested clarification on whether the newly  
2 proposed changes to the project, which involved the  
3 phosphorous treatment plant, would still result in a  
4 change to the trophic status of the lake. Again,  
5 trophic status is nutrient status in the lake, to be  
6 simplified.

7 In their final submission, Agnico had clarified  
8 that the worst-case scenario would see a change from  
9 oligotrophic, which means very little nutrients/  
10 microscopic plants; to mesotrophic, which has a bit  
11 more microscopic plants and algae; rather than the  
12 eutrophic, which was heavily neutrified. So we do  
13 consider this issue resolved.

14 Fisheries and Oceans Canada had also requested  
15 that losses caused by this trophic change in lake  
16 ecosystem from nutrient overloading be considered as  
17 losses in their calculations for offsetting. However,  
18 in their final submission, Agnico had confirmed that  
19 that smaller change was predicted to occur.

20 So given that a trophic change is still predicted  
21 to occur, Fisheries and Oceans Canada was unclear how  
22 this predicted change in trophic status will impact  
23 fish productivity and requested that Agnico conduct an  
24 appropriate analysis. And this can be provided prior  
25 to the authorization phase, and we've been working with  
26 Agnico and discussing for future studies on this.

1 Fisheries and Oceans' third request in relation to  
2 the change in the trophic status was in regards to  
3 proposed research study evaluating the change from very  
4 low nutrients, oligotrophic, to a eutrophic lake and  
5 back again. We had previously requested that Agnico  
6 undertake a detailed research study to evaluate  
7 fisheries productivity losses when altering waterbodies  
8 in such a way.

9 Fisheries and Oceans is unclear since the  
10 discussion of this phosphorous treatment whether Agnico  
11 was still planning to complete the proposed study.  
12 Agnico responded and explained that the study on the  
13 change to eutrophic would no longer be completed since  
14 the lake will not change to eutrophic status. However,  
15 they did propose additional monitoring and adaptive  
16 management to track changes to the downstream  
17 environments. So DFO does acknowledge Agnico's  
18 response and recommends that, in addition to monitoring  
19 and proposed adaptive management, additional studies be  
20 conducted to assess the impacts of predicted trophic  
21 change on fish productivity. Fisheries and Oceans  
22 Canada acknowledges and notes that this was part of the  
23 discussions we've had with Agnico on Sunday.

24 And the last set of comments that Fisheries and  
25 Oceans presented in our final written submission  
26 discusses our concerns with the water quality and flow



1 monitoring plans.

2 In discussing plan monitoring stations, Fisheries  
3 and Oceans Canada noted that Agnico has referred -- or  
4 referenced the core receiving environmental monitoring  
5 plan in addition to the water quality and flow  
6 management plan. These two plans are different plans,  
7 focused on measuring different parameters. Thus  
8 Fisheries and Oceans Canada was concerned that data  
9 generated from each of these plans may not be directly  
10 comparable or complementary. It's important to  
11 addressing future offsetting requirements that  
12 appropriate monitoring stations that are consistent and  
13 comparable are captured in any monitoring plan intended  
14 to address the requirements of a Fisheries Act  
15 authorization should the project be approved to  
16 proceed. DFO will work with Agnico to ensure that  
17 monitoring supports any research proposed as  
18 complementary measures to offset serious harm to fish.

19 The second request under water quality and flow  
20 monitoring plan is in regard to reference stations.  
21 Fisheries and Oceans had requested that Agnico include  
22 at least two control lake monitoring stations or  
23 reference lakes in their water quality and flow  
24 monitoring plan and include a rationale to why these  
25 reference lakes used for Meadowbank project are  
26 appropriate when the reference lakes are not in the

1 Whale Tail watershed. Agnico has agreed to provide the  
2 requested rationale.

3 And the third request for water quality and flow  
4 monitoring plan is in regard to consistency in sampling  
5 frequency. Fisheries and Oceans Canada was concerned  
6 about consistency in the amount of sampling that will  
7 occur throughout operations, closure, and post-closure  
8 at monitoring stations and requested that a consistent  
9 and increased amount of sampling be considered at all  
10 sampling stations throughout the project to acquire  
11 appropriate, comparable data to inform future studies  
12 as committed.

13 Fisheries and Oceans Canada acknowledges that  
14 Agnico had agreed to our requests respecting monitoring  
15 in the final submission responses, including ensuring  
16 consistency and sampling locations and sampling  
17 frequency. DFO will continue to work with Agnico to  
18 ensure that monitoring frequency and locations support  
19 any research proposed as complementary measures to  
20 offset serious harm to fish.

21 So, in conclusion, Mr. Chair, DFO believes that it  
22 is possible to offset the impacts to fish and fish  
23 habitat that will result from the Whale Tail Project.  
24 Fisheries and Oceans will continue to work with Agnico,  
25 the Kivalliq Inuit Association, and the Hunters and  
26 Trappers to address our concerns with proposed

1 offsetting plans, and this includes ensuring that all  
2 losses to fish and fish habitat are fully accounted for  
3 and fully offset.

4 Fisheries and Oceans believes that a robust  
5 monitoring program is necessary to be able to verify  
6 the proponent's impact predictions and detect any  
7 unforeseen changes to the aquatic environment.  
8 Therefore, we will continue to work cooperatively with  
9 Agnico, the Kivalliq Inuit Association, and the Hunters  
10 and Trappers, and the potentially impacted communities  
11 to ensure that appropriate mitigation, monitoring, and  
12 robust follow-up programs are implemented. We'll also  
13 be working with Environment and Climate Change Canada  
14 and INAC to ensure those monitoring programs are  
15 robust.

16 So Fisheries and Oceans Canada thanks the Nunavut  
17 Water Board, the community of Baker Lake, and the other  
18 attending community members for this opportunity to  
19 present our comments and recommendations regarding the  
20 Whale Tail Pit.

21 Thank you.

22 THE CHAIR: Thank you, DFO, for your  
23 presentation.

24 Now open for questions and comments from public or  
25 the participants.

26 The Public Questions Fisheries and Oceans Canada

1       TIMOTHY EVVIUK:               That guy, when it's starting  
2       to cold and it's starting to freeze up, and my question  
3       is or my thought is when they are going to dewater the  
4       lake and it's starting frozen, before the fish run out,  
5       I would like to know when you are going to take the  
6       fish out.

7               And the other one is, in the lake, when the lake  
8       is frozen, they used to do some drilling in the Amaruq  
9       area and the Meadowbank, right in the lake. First they  
10      drill through the ice, and then they would -- they  
11      continued on into the water. And I'm wondering if the  
12      fish were touched, those saw things or something. They  
13      use some sort of substance.

14             This is what I wanted to ask.

15      THE CHAIR:                    (OTHER LANGUAGE SPOKEN)

16      MR. D'AGUIAR:                Mark D'Aguiar, Fisheries and  
17      Oceans Canada.

18             Thank you for your question. I will pass this  
19      question on to Agnico to talk about how they do the  
20      drilling to ensure that fish are not impacted and what  
21      substances they use. Is that okay? As well as when  
22      the fish-out is and when they're going to do the  
23      fish-out.

24      MR. VANENGEN:                Mr. Chair, it's Ryan Vanengen  
25      from Agnico Eagle.

26             So the first question that was asked to DFO is

1 related to the fish-out, and our plan right now is to  
2 fish out the north basin of Whale Tail Lake in the  
3 open-water season of 2018. So that allows us July,  
4 August, and a part of September to fish that entire  
5 basin out. And based on our experience, those three  
6 months is enough time to remove the fish, all of the  
7 fish, and carefully transfer them into the south basin.  
8 So that was the first question. And that would allow  
9 us to do it before the lake freezes.

10 The second question was related to our drilling  
11 practices, and this is related to exploration drilling.  
12 And when we drill through the ice, the community  
13 members comment about augering. We auger many holes to  
14 allow for our drill casings to go from our drill  
15 platform through the ice, down into the bottom of the  
16 lake, and those are called "drill casings". So within  
17 those casings is where our drills' bits go. So they  
18 contact then the sediment in the bottom of the lake.  
19 And in order to keep things from freezing, we typically  
20 circulate heated water, and we circulate the lake water  
21 through our piping to prevent freezing, and that's a  
22 continual thing. So we're recycling that water to keep  
23 things frozen [sic].

24 The question was around whether or not the fish  
25 would be impacted by that, and there's been a number of  
26 studies not related to fish but more related to the

1     benthic invertebrate communities, related to -- so the  
2     food that the fish eat; there's been some studies on  
3     the impacts of drilling. And typically there's not a  
4     significant effect, if I recall. So the effects of  
5     drilling directly on fish are unlikely and then limited  
6     effects on the food that the fish survive on.

7             Mat'na.

8     THE CHAIR:                     Thank you.

9             Any more comments, questions, concerns to the  
10     presentation of DFO?

11     TIMOTHY EVVIUK:             Thank you for the information  
12     that you have given to me. Thank you.

13     BASIL KAYAVINIK:             Thank you, Mr. Chair. My name  
14     is Basil Kayavinik from Baker Lake. I have a question  
15     to the Department of Fisheries and Oceans.

16             Those fish that are being -- going to be moved and  
17     transferred or into a different body of water, are they  
18     going to be using fishnets? And how many fishnets are  
19     you going to use? When you are going to transfer the  
20     fish from that lake, do they affect the fish? Or do  
21     they -- I am wondering how they affect the fish from  
22     the nets. Some fish do get stinky when they live long,  
23     and they cannot live long when they are trapped in the  
24     nets. How many fishnets are -- do you guys use when  
25     you are transferring fish from one lake to another?

26             And that is the only question that I have.

1 THE CHAIR: DFO.

2 MR. D'AGUIAR: Mark D'Aguiar, Fisheries and  
3 Oceans Canada.

4 I will speak to the first part of this question,  
5 and then I will pass it on to Agnico for a bit more  
6 formal discussion on what their fish-out plan will be.

7 DFO has a fisheries -- a fish-out protocol that  
8 requires a specific amount of nets in a consistent  
9 manner to fish out a lake. That's so that we can get  
10 very scientific data from those -- from those catches  
11 in the nets. Now, the timing of how long the fish are  
12 going to be in the net for are going to be determined  
13 in the regulatory phase, should the project be  
14 approved. We'll have discussions and consultations  
15 with community members. It'll be a part of Agnico's  
16 authorization, which we'll discuss the fish-out plan  
17 itself, how long the nets will be set for, which will  
18 include how long the fish will be stuck in those nets.  
19 Those details I do not believe have been determined  
20 yet, but it will be part of consultation discussions.

21 I'll pass on to you.

22 THE CHAIR: Applicant, go ahead.

23 MR. VANENGEN: Mr. Chair, Ryan Vanengen from  
24 Agnico Eagle.

25 So just to add to what Mark has shared with the  
26 community, he's absolutely correct. The exact number

1 of nets and some of those details around the timing of  
2 the sets of net haven't been determined, but we have  
3 some great experience fishing out other lakes, and we  
4 have a really -- we've worked really closely,  
5 especially in the last fish-out, with the Baker Lake  
6 Hunting and Trapping Organization, where they really  
7 were effective -- they provided very effective advice  
8 on the timing of the nets. And so we'll continue to  
9 work with them along with Fisheries and Oceans to  
10 finalize those plans.

11 But what we do know is that, typically, based on  
12 previous experience, we'll have likely two boats on the  
13 lake checking nets, and both teams -- both boats will  
14 have about four nets in the water. And we typically  
15 don't leave those nets in longer for two hours, which  
16 allows the fish to get caught, and that allows us to  
17 safely transfer those fish with minimal mortality. And  
18 that's based on our experience.

19 The other thing that is really important to  
20 note -- so we follow Fisheries and Oceans' protocols,  
21 but we also try to maximize our fishing time in the  
22 early part of the season, when the water is coldest, so  
23 in July; and that will allow us to transfer as many  
24 fish safely from the north basin to the south basin.

25 Mat'na.

26 THE CHAIR: Thank you.



1           Any more questions, comments, concerns from  
2       public? There's hands raised up. Pass it on.

3       JEFF TULUGAK:                I would like to ask, when they  
4       are going to remove the fish, they're going to go see  
5       the fishnets -- wouldn't they catch lots of fishing on  
6       the nets? I'm sorry. Did I make any sense?

7           I'm sorry. I was just wondering if DFO was going  
8       to do some monitoring during the fish-out while the  
9       fish-out is happening at the Whale Tail Lake.

10       MR. D'AGUIAR:               Mark D'Aguiar, Fisheries and  
11       Oceans. Thank you for that.

12           Typically Fisheries and Oceans has been able to go  
13       on-site to observe the fish-out and to check how  
14       they're doing their nets and sets. Whether we go or  
15       not is not a guarantee, but we have typically gone.  
16       Does that answer your question? Yeah.

17       THE CHAIR:                   Thank you.

18           There's another person at the back with raised  
19       hands.

20       CRAIG SIMAILAK:             Thank you.

21           Just a quick question on the size of the lake  
22       you're going to be transporting the fish to. Is the  
23       lake big enough so that it can sustain the extra fish  
24       being transported into there? It won't be  
25       overpopulated with fish in that one lake?

26       THE CHAIR:                   DFO.

1 MR. D'AGUIAR: Thank you, Mr. Chair. Mark  
2 D'Aguiar, Fisheries and Oceans Canada.

3 I'll pass this over to Agnico in a moment. But my  
4 understanding, the plan has not been finalized yet, but  
5 I think the conceptual plan is still just to transfer  
6 the fish from the north part of Whale Tail Lake after  
7 it's diked just to the south part, so within the same  
8 lake.

9 I will pass this to Agnico now to comment.

10 THE CHAIR: Go ahead, applicant.

11 MR. VANENGEN: Ryan Vanengen from Agnico  
12 Eagle.

13 That's a very good question, and we are -- have  
14 been asked that in the past as well with the fish-outs  
15 that we've conducted at Meadowbank. And in our -- with  
16 the plan at Whale Tail Pit, right now we believe that  
17 the waterbody will be able to sustain the fish moved  
18 over because the south water -- or the basin -- the  
19 Whale Tail Pit south basin will increase by 40 percent  
20 in surface area and therefore the volume -- I don't  
21 know the exact calculation of the volume of that, but  
22 we believe by transferring the fish from the north into  
23 what will be a raised waterbody will act as a reservoir  
24 for those fish. So we believe that those -- the  
25 waterbody that they're being transferred into will be  
26 able to sustain the fish that have been moved.

1 Mat'na.

2 CRAIG SIMAILAK: Thank you.

3 THE CHAIR: Any more questions or  
4 comments, concerns from public? There's one hand  
5 raised up again.

6 SHAWN ATTUNGALA: Thank you.

7 At the Whale Tail -- the lake there, do you guys  
8 sort of know how many fish is in there, the population  
9 is, right now?

10 THE CHAIR: DFO.

11 MR. D'AGUIAR: Fisheries and Oceans Canada,  
12 Mark D'Aguiar.

13 I believe Agnico has done some baseline studies  
14 and they have a good idea in their baseline studies,  
15 what the population estimate will be. I don't have the  
16 number offhand.

17 THE CHAIR: Applicant, go ahead.

18 MR. VANENGEN: Ryan Vanengen from Agnico  
19 Eagle.

20 Based on the -- as I explained the previous  
21 fish-outs and the volume of the water and area of Whale  
22 Tail Lake, our estimate is that there will be 3,346  
23 fish -- predominantly lake trout, a few Arctic char,  
24 and a few whitefish, and then a lot of smaller-bodied  
25 fish as well.

26 Mat'na.

1       THE CHAIR:                   Thank you. Any further  
2       questions or comments, concerns? Okay. There's no  
3       more questions, comments.

4           So we'll move on to in our agenda, move on to -- I  
5       think we are pretty well done now. So I'm about to  
6       move to closing remarks for tonight.

7       Closing Remarks by the Chair

8       THE CHAIR:                   Thank you, everyone, for  
9       attending tonight's community session at the Baker Lake  
10      Community Hall. Your questions and comments about  
11      Agnico Eagle Mines Limited's water licence application  
12      for the Whale Tail Pit Project were appreciated by  
13      myself, the NWB Panel members -- Ross Mrazek on my  
14      right and Alex Ningark on my left -- and staff.

15           Please remember that we still have a full day  
16      tomorrow of the public hearing tomorrow. The hearing  
17      will start at 9:30 because the -- I believe that the  
18      INAC and applicant need -- are requesting a little bit  
19      of time before we proceed for second day. So we will  
20      start at 9:30 AM.

21           And I encourage you to continue attending the  
22      hearing. As well, please let other members of the  
23      community know and attend the last day of the public  
24      hearing.

25           On behalf of the Nunavut Water Board, I would like  
26      to thank the applicants and the intervenors for their

1 presentations and answers to questions from members of  
2 the public here tonight.

3 Special thanks to all the elders, youth, and  
4 community members of Baker Lake for sharing their  
5 views, stories, and information with the Panel and the  
6 participants and contributing to a productive and  
7 respectful community session.

8 The community session is now adjourned, and we  
9 will proceed with the continuation of the public  
10 hearing tomorrow morning at 9:30 AM here at the  
11 Baker Lake Community Hall.

12 Let us stand for closing prayer.

13 (CLOSING PRAYER)

14 THE CHAIR: Thank you.

15 \_\_\_\_\_  
16 PROCEEDINGS ADJOURNED UNTIL 9:30 AM, SEPTEMBER 27, 2017  
17 \_\_\_\_\_

1 CERTIFICATE OF TRANSCRIPT:

2  
3 I, Elizabeth Royal, certify that the foregoing  
4 pages are a complete and accurate transcript of the  
5 proceedings, taken down by me in shorthand and  
6 transcribed from my shorthand notes to the best of my  
7 skill and ability.

8 Dated at the City of Calgary, Province of Alberta,  
9 this 16th day of October 2017.

10  
11  
12  
13 \_\_\_\_\_  
14 Elizabeth Royal, CSR(A)  
15 Official Court Reporter  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

## EXHIBITS ENTERED

SEPTEMBER 26, 2017

PAGE NUMBER:

EXHIBIT 1 - Agnico Eagle hard copy 28

PowerPoint presentation entitled  
"Part I - Introduction and Overview"  
(English/Inuktitut)

EXHIBIT 2 - Agnico Eagle hard copy 28

PowerPoint presentation entitled  
"Part II - Public Participation"  
(English/Inuktitut)

EXHIBIT 3 - Agnico Eagle hard copy 28

PowerPoint presentation entitled  
"Part 3 - Waste Disposal and Management"  
(English/Inuktitut)

EXHIBIT 4 - Agnico Eagle hard copy 28

PowerPoint presentation entitled  
"Part 4 - Water Use and Management"  
(English/Inuktitut)

1 EXHIBIT 5 - Agnico Eagle hard copy 29

2 PowerPoint presentation entitled

3 "Part 5 - Abandonment, Reclamation,

4 Closure, and Security" (English/Inuktitut)

5  
6 EXHIBIT 6 - Agnico Eagle hard copy 29

7 PowerPoint presentation entitled

8 "Part 6 - Accidents and Malfunctions"

9 (English/Inuktitut)

10  
11 EXHIBIT 7 - Agnico Eagle hard copy 29

12 PowerPoint presentation entitled

13 "Part 7 - Management Plans and Monitoring

14 Programs" (English/Inuktitut)

15  
16 EXHIBIT 8 - Agnico Eagle hard copy 30

17 correspondence dated May 25, 2017, to

18 K. Kharatyan (NWB) and copied to

19 S. Granchinho (NIRB) entitled "The NWB

20 Consideration of Agnico Eagle Mines

21 Limited Whale Tail Pit Project Proposal

22 and Revised Water Licence Applications"

23 (English)



1	EXHIBIT 9 - Agnico Eagle hard copy	30
2	proposed Whale Tail Pit Project Type A	
3	water licence framework for Water Licence	
4	Number 2AM-WTP--- (English)	
5		
6	EXHIBIT 10 - Agnico Eagle hard copy	31
7	meeting notes between Indigenous and	
8	Northern Affairs Canada, Agnico Eagle, and	
9	Golder Associates Limited dated September	
10	14, 2017 (English)	
11		
12	EXHIBIT 11 - Indigenous and Northern	31
13	Affairs Canada hard copy reclaim estimate	
14	for Whale Tail Pit Project, Revision 6,	
15	dated September 11, 2017 (English)	
16		
17	EXHIBIT 12 - Indigenous and Northern	32
18	Affairs Canada hard copy Whale Tail	
19	security management agreement, final,	
20	September 5, 2017, between the Kivalliq	
21	Inuit Association, Agnico Eagle, and Her	
22	Majesty the Queen in Right of Canada as	
23	represented by the Minister of Indigenous	
24	and Northern Affairs (English)	
25		
26		

1	EXHIBIT 13 - Agnico Eagle hard copy	167
2	PowerPoint presentations entitled	
3	"Part 8 - Meadowbank Licence Amendment"	
4	and "General - Annual Reporting	
5	Commitments, Terms, Linkage to Other	
6	Licences" (English/Inuktitut)	
7		
8	EXHIBIT 14 - Nunavut Water Board	192
9	electronic copy PowerPoint community	
10	presentation regarding an application for	
11	new Type A water licence: 2AM-WTP---	
12	(English/Inuktitut)	
13		
14	EXHIBIT 15 - Agnico Eagle hard copy	208
15	PowerPoint presentation of introduction	
16	and overview for community information	
17	session	
18		
19	EXHIBIT 16 - Indigenous and Northern	225
20	Affairs Canada hard copy PowerPoint for	
21	community presentation (English)	
22		
23	EXHIBIT 17 - Indigenous and Northern	225
24	Affairs Canada hard copy PowerPoint for	
25	community presentation (Inuktitut)	
26		

1	EXHIBIT 18 - Indigenous and Northern	225
2	Affairs Canada hard copy PowerPoint for	
3	community presentation (French)	
4		
5	EXHIBIT 19 - Environment and Climate	233
6	Change Canada hard copy PowerPoint	
7	presentation for community session	
8	(English/Inuktitut)	
9		
10	EXHIBIT 20 - Fisheries and Oceans Canada	239
11	hard copy PowerPoint presentation for the	
12	Nunavut Water Board community roundtable	
13	session (English/Inuktitut)	
14		
15	EXHIBIT 21 - Fisheries and Oceans Canada	239
16	hard copy PowerPoint presentation for the	
17	Nunavut Water Board community roundtable	
18	session (French)	
19		
20		
21		
22		
23		
24		
25		
26		