

NUNAVUT WATER BOARD

TYPE "A" LICENCE NO. 3AM-RUT---,
RENEWAL AND AMENDMENT APPLICATION

PUBLIC HEARING

Resolute Bay, Nunavut

October 27, 2020

1	TABLE OF CONTENTS		
2			
3	Description		Page
4			
5	October 27, 2020	Morning Session	8
6	Opening Remarks		8
7	Roll Call		22
8	TONY WHALEN, DARYL BURKE, BHABESH ROY, Affirmed		29
9	Via Teleconference		
10	ERIC BELL, Sworn		30
11	JANISE IDLOUT, Affirmed		30
12	Presentation by Government of Nunavut, Community		31
13	Government Services (Type "A" Water Licence)		
14			
15	October 27, 2020	Afternoon Session	60
16	Crown-Indigenous Relations and Northern Affairs		60
17	Questions Government of Nunavut, Community		
18	Government Services		
19	Environment and Climate Change Canada Questions		69
20	Government of Nunavut, Community Government		
21	Services		
22	Environment and Climate Change Canada Questions		69
23	Government of Nunavut, Community Government		
24	Services		
25	Nunavut Water Board Staff Questions Environment		74
26	and Climate Change Canada		

1	Nunavut Water Board Questions the Government of	91
2	Nunavut, Community Government Services	
3	GODWIN OKONKWO, SARAH FORTE, Affirmed	95
4	Presentation by Crown-Indigenous Relations and	96
5	Northern Affairs Canada	
6	Comment by the Government of Nunavut, Community	110
7	Government Services	
8	ANNA GRAHAM, MEAGAN TOBIN, Affirmed	113
9		
10	October 27, 2020 Evening Session	121
11	Community Session	121
12	Opening Remarks (Community Session)	121
13	Roll Call	126
14	Presentation by the Nunavut Water Board Staff	130
15	(Community Session)	
16	Presentation by Government of Nunavut, Community	140
17	Government Services (Community Session)	
18	Nunavut Water Board Questions the Community	154
19	(Community Session)	
20	The Community Questions the Government of Nunavut,	156
21	Government Community Services (Community Session)	
22	Presentation By Crown-Indigenous Relations and	167
23	Northern Affairs (Community Session)	
24	The Community Questions Crown-Indigenous and	173
25	Northern Affairs Canada (Community Session)	
26	Presentation by Environment and Climate Change	176

1	Canada (Community Session)	
2	Nunavut Water Board Staff Questions Environment	180
3	and Climate Change Canada (Community Session)	
4	Closing Remarks (Community Session)	182
5	Community Session Concluded	183
6	Discussion	183
7	Response to Deferred Questions by Government of	186
8	Nunavut, Community and Government Services	
9	Closing Remarks by Crown-Indigenous and Northern	189
10	Affairs Canada	
11	Closing Remarks by Environment and Climate Change	190
12	Canada	
13	Closing Remarks by Government of Nunavut,	190
14	Community and Government Services	
15	Closing Remarks by the Chair	191
16	Certificate of Transcript	194
17		
18		
19	EXHIBITS	
20	Description	Page
21		
22	EXHIBIT 1 - PowerPoint presentation	30
23	for Type "A" water licence application of the	
24	Resolute Bay utilidor system, Nunavut Water Board	
25	public hearing, October 27, 2020 (English)	
26		

1	EXHIBIT 2 - PowerPoint presentation	30
2	for Type "A" water licence application of the	
3	Resolute Bay utilidor system, Nunavut Water Board	
4	public hearing, October 27, 2020 (Inuktitut)	
5	EXHIBIT 3 - Correspondence from Bhabesh Roy to	30
6	Richard Dwyer dated August 4, 2020, Re: Seeking	
7	approval for the renewal of the Type "A" water	
8	licence of the Resolute Bay utilidor system for 20	
9	years term (English)	
10	EXHIBIT 4 - Executive summary of the utilidor	31
11	system (water and sewage treatment facilities) of	
12	the Municipality of Resolute Bay (English)	
13	EXHIBIT 5 - Executive summary of the utilidor	31
14	system (water and sewage treatment facilities) of	
15	the Municipality of Resolute Bay (Inuktitut)	
16	EXHIBIT 6 - Hard copy executive summary of the	31
17	utilidor system (water and sewage treatment	
18	facilities) of the Municipality of Resolute Bay	
19	(French)	
20	EXHIBIT 7 - Hamlet of Resolute Bay utilidor	96
21	renewal application for Water Licence 3AM-RUT---	
22	(English/Inuktitut)	
23	EXHIBIT 8 - Summary of Crown-Indigenous and	96
24	Northern Affairs Canada review of Water Licence	
25	Application 3AM-RUT--- (English/French/Inuktitut)	
26		

1	EXHIBIT 9 - PowerPoint presentation from	113
2	Environment and Climate Change Canada to the	
3	Nunavut Water Board respecting the Resolute Bay	
4	Type "A" Water Licence Renewal and Amendment	
5	(English)	
6	EXHIBIT 10 - PowerPoint presentation from	114
7	Environment and Climate Change Canada to the	
8	Nunavut Water Board respecting the Resolute Bay	
9	Type "A" Water Licence Renewal and Amendment	
10	(Inuktitut)	
11	EXHIBIT 11 - Nunavut Water Board community session	184
12	presentation regarding a new Type "A" Water	
13	Licence 3AM-RUT--- Hamlet of Resolute Bay utilidor	
14	system (English/Inuktitut)	
15	EXHIBIT 12 - GN-CGS community session PowerPoint	184
16	presentation for the Type "A" Water Licence	
17	application of the Resolute Bay utilidor system	
18	(English)	
19	EXHIBIT 13 - Electronic copy of the	184
20	Resolute bleed water clarification memo	
21	dated October 27, 2020 (English)	
22	EXHIBIT 14 - Electronic copy of email from Daryl	185
23	Burke sent October 27, 2020, at 5:29 PM	
24	to Roy, Bhabesh, Subject: RE: Outstanding Issues	
25	for RB WLs (English)	
26		

1 Proceedings taken at Resolute Bay Community Gymnasium,
 2 Resolute Bay, Nunavut.

3

4 October 27, 2020

5

6 NUNAVUT WATER BOARD

7 L. Toomasie Chair of Hearing

8 R. Mrazek Panel Member

9 S. Sowdloopik Panel Member

10

11 NUNAVUT WATER BOARD STAFF

12 K. Kharatyan Director of Technical Services

13 S. Autut Executive Director

14 S. Kuflevskiy Technical Advisor

15 R. Ikkutisluk Licensing Administrator

16 T. Meadows Legal Counsel to the Board

17

18 INTERVENERS

19 Government of Nunavut, Community and Government

20 Services

21 B. Roy (Remotely) Municipal Planning Engineer

22 J. Idlout Municipal Technical Officer

23 E. Bell Senior Engineer of EXP

24 S. Piercey CAO of the Municipality of

25 Resolute Bay

26 T. Whalen (Remotely) Senior Engineer, EXP

1 D. Burke (Remotely) Senior Engineer, EXP
2
3 Crown-Indigenous Relations and Northern Affairs Canada
4 G. Okonkwo Manager Water Resources
5 S. Forte Water Management Specialist
6
7 Environment and Climate Change Canada
8 A. Graham (Remotely) Environmental Assessment
9 Coordinator
10 M. Tobin (Remotely) Water Quality Expert
11
12 INTERPRETERS/TRANSLATORS
13 T. Qitsualik Language Translator
14
15 S. Anderson, CSR(A) Official Court Reporter
16
17 R. Dempster Sound Technician
18
19 (PROCEEDINGS COMMENCED AT 9:20 AM)
20 Opening remarks
21 THE CHAIR: Thank you. Good morning. And
22 we're now start -- proceed to the public hearing here
23 in Resolute Bay. Welcome to our public hearing for
24 Type "A" water licence application submitted by
25 Government of Nunavut, Community and Government Service
26 Department (GN-CGS). This application is seeking

1 authorization to renew and amend [sic] the expired
2 Type "B" Water Licence No. 3BM-RUT1520 with a Type "A"
3 Water Licence No. 3AM-RUT---.

4 My name is Lootie Toomasie, and I'm the chairman
5 of the Nunavut Water Board and the hearing chair for
6 today's public hearing. Over the next two days, the
7 Nunavut Water Board will be considering the GN-CGS
8 application to authorize activities associated with
9 continued use of water and disposal of sewage through
10 the utilidor system at the hamlet of Resolute Bay. The
11 Applicant initially requested a licence term of
12 10 years until 2030 but later updated it to 20 years to
13 address the recommendation received from CIRNAC during
14 the technical meeting.

15 I would like to also note that some parties are
16 joining the public hearing via Zoom conference call, so
17 I would like to ask those participants who are calling
18 in to mute your microphone to avoid any unnecessary
19 noises.

20 Before we proceed with the hearing, please let us
21 begin with a prayer. Let us stand and pray.
22 Opening prayer

23 THE CHAIR: On behalf of the Nunavut Water
24 Board, I welcome you to the hamlet of Resolute Bay.
25 Now, to provide you with some background and set the
26 stage for the hearing, the Nunavut Water Board, which I

1 shall refer to as "the Board" or "NWB", is an
2 institution of public government created under
3 Article 13 of the agreement between the Inuit of the
4 Nunavut settlement area and Her Majesty the Queen in
5 Right of Canada, Nunavut Agreement. The NWB is
6 responsible for the use, management, and regulation of
7 freshwater in the Nunavut settlement area.

8 The purpose of this public hearing is to review an
9 application filed by the Government of Nunavut,
10 Community and Government Services Department -- I may
11 refer to them as "GN-CGS" or "the Applicant" -- for a
12 renewal and amendment of the existing Type "B" Water
13 Licence No. 3BM-RUT1250 [sic], which expired March 29,
14 2020, as a Type "A" Water Licence No. 3AM-RUT--- under
15 the Nunavut Waters and Nunavut Surface Rights Tribunal
16 Act to authorize the continued use of water and deposit
17 of sewage through the utilidor system at the hamlet of
18 Resolute Bay.

19 Under Article 13, Section 13.3.6, of the Nunavut
20 Agreement and Section 29 of the Nunavut Waters and
21 Nunavut Surface Rights Tribunal Act, the Board has
22 delegated its power to dispose of all matters related
23 to the processing of the GN-CGS's renewal and amendment
24 application, including the conduct of this public
25 hearing, to a Panel of the Board, which the Board
26 refers to as the "Resolute Bay Panel" or "Panel P21".

1 I will be chairing this Panel, and with me today,
2 as members of the Panel, are the Board members:
3 Ross Mrazek on my left, and to my right, Sakiasie
4 Sowdlooapik. Several staff members, who have
5 contributed to the Board's administration and technical
6 services, technical review of the application, are
7 present, along with legal counsel to the Board. I ask
8 them to wave when I say their names: Stephanie Autut,
9 executive director; Karén Kharatyan, director of
10 technical services; Sergey Kuflevskiy, technical
11 advisor; Robin Ikkutisluk, licensing administrator; and
12 Teresa Meadows from Meadow's Law, legal counsel to the
13 Board.

14 In addition, we have two interpreters available
15 for simultaneous interpretation throughout the hearing,
16 Tapitia Qitsualik, who is originally from Gjoa Haven,
17 and Martha's not -- I think she's not here yet, but
18 she'll join us today -- who is from Resolute Bay.

19 For audio support, we have Ryan Dempster from
20 PIDO. If you experience any difficulty with your
21 headsets, Ryan is able to provide assistance.

22 To ensure an accurate record of the proceeding is
23 kept, we have with us a court reporter, Sara Anderson,
24 from Dicta Court Reporting Incorporated.

25 Before I move on to an overview of this
26 application and what to expect today during this public

1 hearing, there are some important housekeeping items
2 for everyone here. First of all, I would like to
3 remind everybody that we are currently in the middle of
4 the global pandemic, so we'll be discussing safety
5 measures on an ongoing basis throughout this meeting.
6 As everyone can appreciate, due to the public health
7 restrictions associated with the COVID-19 pandemic, our
8 proceeding may look different than usual as we have had
9 to modify our normal plans to keep us all safe and in
10 compliance with local health requirements.

11 Today, to provide our health and safety briefing,
12 we have Mavis Manuk. Is she here? She's not here yet,
13 but she'll probably join us. Oh, okay. Legal counsel,
14 Teresa Meadows will take the -- take the floor.

15 Go ahead, Teresa.

16 MS. MEADOWS: Thank you, Mr. Chair. Teresa
17 Meadows, legal counsel for the Nunavut Water Board.

18 So as we all realize, we are in fairly exceptional
19 circumstances as we embark on the public hearing for
20 this application. You will notice that as you come in
21 the door we have a sign-in desk. At that sign-in desk,
22 before anyone can enter the hall, we are taking
23 peoples' temperature, and we are getting them to fill
24 out the health screening questionnaire. Anyone who is
25 presenting symptoms that would be similar to
26 COVID-19 -- so anyone who has a fever, a runny nose, a

1 sore throat -- will be asked not to enter the venue.

2 You will notice that some people, when we can't
3 maintain that distance of 6 feet, are putting masks on
4 so that we can protect each other. We also, at the
5 back table, have hand sanitizer and masks available if
6 anyone did not bring a mask with them but they would
7 like to wear a mask.

8 Once inside the hall here, you'll notice that the
9 chairs have little 'X's underneath them. That is where
10 the chair must be placed so that it maintains that
11 distance. Please don't move your chair around.

12 We also have refreshments on the side wall. We
13 ask that once you're in the venue, you come in through
14 the entrance, and to go to the washrooms or to go to
15 the -- where the snacks are, if you can use the far
16 exit so that we're kind of one-way traffic so that we
17 minimize the amount of time where we're in close
18 proximity. It would be appreciated.

19 The Board has complied with all of the public
20 health orders. We have protocols in place, and the
21 chief public health officer for Nunavut has reviewed
22 the Board's protocols for these meetings and approved
23 the Board's implementation of them. If anyone at any
24 time has concerns about the protocols that are in place
25 or questions about the protocols that are in place, we
26 invite you to see either Stephanie or I, and we can

1 assist you in knowing what measures the Board is taking
2 in more detail.

3 For the people on the Zoom call, because this is
4 the first time that the Board has conducted a meeting
5 in this way, we ask that you identify yourself before
6 you speak. The court reporter cannot always see who is
7 actually speaking on the Zoom call, so it's very
8 important for everyone here to identify themselves
9 before they speak.

10 We also note that we are on a bit of a delay in
11 terms of the video feed and the audio feed to the
12 people who are on the Zoom call. In the interest of
13 both our interpreter, our court reporter, and the
14 people in the room, we ask that you allow some time in
15 between your remarks so that the interpreter can -- can
16 hear what you said and interpret it for the people in
17 the room and so that we're not talking over each other
18 where we're not able to actually understand and hear
19 what anyone on the Zoom call is saying.

20 We very much appreciate everyone being willing to
21 come out and join us today. There are gathering
22 limits -- indoor gathering limits in place in Nunavut,
23 and so the maximum capacity of this building is
24 75 percent of the rated capacity, so we will have
25 people monitoring how many community members are here
26 so that we can make sure that we do not exceed the

1 capacity of the building.

2 And with that, Mr. Chair, those are the, sort of,
3 rundown of the changes to the Board's modification of
4 process to reflect COVID-19. We really appreciate
5 everyone doing their best, being patient and flexible,
6 as we work through some new procedures for the Board.

7 Thank you, Mr. Chair.

8 THE CHAIR: Thank you, Teresa.

9 Additionally, I would like to ask everybody not
10 to -- not to approach Sara Anderson, the court
11 reporter, and Ross Mrazek, the Board member, directly
12 since they travelled here from outside of Nunavut.
13 Instead, please direct your questions to Teresa, and
14 she will relay them to Sara and Ross.

15 Second, I would like to ask, again, those
16 participants who are calling in via Zoom to mute their
17 microphone to avoid any unnecessary noises. I would
18 also like to remind everyone to please turn your cell
19 phones off or put them on silent before you begin --
20 before we begin. So if you have -- if you have done
21 so, you may -- put your mute -- put it on mute or so --
22 or turn it off.

23 Additionally, as indicated earlier, there is
24 interpreter -- interpretation available throughout the
25 hearing in English and Inuktitut. Earpieces can be
26 obtained from the table located just by the door as you

1 enter this room. Channel 1 broadcasts English while
2 Channel 2 broadcasts Inuktitut. When you are speaking
3 into the microphone, please make sure you have turned
4 it -- your earpieces off to prevent audio feedback or
5 interference with the speakers.

6 Thirdly, I would like to ask everybody, including
7 the Applicant, interveners, and members of the public,
8 to sign in and leave your contact information on the
9 sheets located at the table by the entrance.
10 Additionally, there are COVID-19 screening
11 questionnaire forms available. Please fill them out
12 too. This information is required by the Department of
13 Health for contact tracing purposes, so we will
14 appreciate your help in making sure this information is
15 provided.

16 Also, the agenda for the public hearing and the
17 community session are available at the back. Please
18 pick one up and follow along with us as we proceed.

19 The washrooms are located at the -- outside the
20 hall by -- by -- by the coffee area on the side. There
21 will be snack and refreshment brought in -- brought in
22 throughout the hearing during breaks, and you are
23 welcome to help yourself throughout the day. Please
24 remember to wash your hands and use hand sanitizer
25 prior to touching the snacks. Also, the snacks will be
26 individually packed, so please try to make -- try to

1 take only the item you are going to consume.

2 Finally, to assist both our court reporter and
3 interpreters, please wait to have a microphone before
4 you speak, then state your name, speak clearly and
5 slowly, and avoid the use of abbreviation. We
6 appreciate your assistance in making sure your comments
7 are recorded and the Board's record of proceeding is
8 accurate and complete.

9 Is there media? Any present? No. Okay.

10 Since the Board cannot comment on pending matters,
11 either by confirming or denying accuracy of statements
12 by others to the media, the Board would appreciate if
13 all parties refrain from making any comment that may
14 imply a certain action or decision by the Board.

15 Following the close of the record of this public
16 hearing, the Board's decision and recommendation with
17 respect to the application will be communicated in a
18 publicly available decision report. Until that time,
19 the Board reminds everyone that the Panel members and
20 Board staff will not discuss the substance of the
21 hearing or the matters before the Board with any of the
22 parties or the media.

23 If you have a question regarding the Board and its
24 practice or procedures, please speak with the executive
25 director, and she will assist you.

26 Prior to identifying and introducing all the

1 parties in attendance today, I will proceed -- I will
2 provide, sorry -- I will provide a brief description of
3 the application that is before the Board. The
4 application we'll be discussing today is for renewal
5 and amendment of the existing Type "B" Water Licence
6 No. 3BM-RUT1250 [sic] as a Type "A" Water Licence
7 No. 3AM-RUT--- requested by the Government of Nunavut,
8 Community and Government Services Department. The
9 scope of the application is generally as follows:
10 Replacement of the Type "B" Licence Number 3BM-RUT1520,
11 expired as of March 29, 2020, with a new Type "A"
12 licence for a term of 20 years; storage and use of up
13 to 216,528 cubic metres of freshwater annually; the
14 water will be extracted from Char Lake; continued
15 management of utilidor system operated by the GN-CGS
16 through ATCO.

17 Now, I'm going to provide you with a brief
18 overview of the procedural history for the application
19 that is before the Board, which captures only the major
20 procedural steps.

21 January 22, 2020: NWB received a renewal,
22 amendment application for GN-CGS.

23 January 23 to February 28, 2020: NWB conducted an
24 internal preliminary review of the application, GN-CGS
25 submitted missing documents.

26 February 28, 2020: NWB distributed the

1 application for a preliminary technical assessment and
2 completeness check with a deadline of March 20, 2020,
3 and later extended until March 26, 2020.

4 March 20 to 26, 2020: Preliminary review comments
5 were received from CIRNAC and ECCC.

6 March 27 to April 22, 2020: Preliminary review
7 were received -- sorry. I missed -- preliminary
8 comments from parties were addressed by the Applicant.

9 March 29, 2020: The previous Type "B" water
10 licence governing the undertaking expired.

11 April 29, 2020: NWB issued correspondence
12 requesting that parties conduct full technical review
13 of the application by June 12, 2020.

14 June 12, 2020: NWB received technical review
15 comments from CIRNA and ECCC.

16 June 17, 2020: NWB issued correspondence
17 requesting that the Applicant respond to interveners'
18 comments by June 22, 2020.

19 June 29, 2020: NWB reviewed and distributed the
20 GN-CGS's response to interveners' comments and
21 recommendations.

22 June 29, 2020: NWB distributed the draft agenda
23 and correspondence to confirm that NWB would hold a
24 technical meeting and prehearing conference for the
25 file on July 14 and 15, 2020, via teleconference.

26 July 14, 2020: NWB hosts the technical meeting

1 and prehearing conference via teleconference and
2 completed the both -- completed the -- both TM and PHC
3 in a single day.

4 July 27, 2020: NWB issued a prehearing conference
5 decision in respect of the application, providing a
6 list of commitments, timelines for the submission of
7 additional documentation, a list of issues to be
8 considered at this public hearing, and a tentative
9 timeline for this in-person public hearing and
10 community session; and ...

11 August 21, 2020: NWB issued formal notice of this
12 public hearing as required under the Nunavut Waters and
13 Nunavut Surface Rights Tribunal Act.

14 October 8, 2020: NWB issued a public hearing
15 update correspondence with draft agenda for this public
16 hearing and community session.

17 October 20, 2020: NWB distributed the final
18 agenda for this public hearing and community session.

19 Complete details on all submissions received in
20 relation to the application and key procedural steps
21 are available on the NWB's FTP site. If you need any
22 assistance finding or reviewing any of the
23 documentation files on the site, please check with our
24 licensing administrator, Robin Ikkutisluk, at the
25 table, and she will help you get access to the
26 document.

1 I will now move on to a list of the issues to be
2 addressed at this hearing as identified during the
3 technical meeting and prehearing conference for this
4 file.

5 The scope of the licence: Amendment to original
6 scope of Licence No. 3BM-RUT1520 to reflect
7 decommissioning at the various facilities (old dump
8 site -- oh, sorry, old pump station, blue building,
9 macerator unit building, old intake line, outfall line)
10 and construction/decommissioning of new wastewater
11 treatment plant, new outfall, collection point and
12 improvement to utilidor, and exclusions of the sewage
13 lagoon at the airport.

14 The terms of licence: 10 years -- 10-year term
15 originally requested but later amended to 20-year term.

16 Compliance: Status of outstanding compliance
17 obligations under Licence No. 3BM-RUT1520, wastewater
18 effluent quality criteria in -- waste facilities.

19 Water supply: Quantity of water requested, water
20 pumping capacity of new pump station, Char Lake as
21 water source and its capacity to handle increased water
22 use.

23 Waste management.

24 Wastewater treatment: New wastewater treatment
25 plant, WWTP; decommissioning of macerator --
26 macerator -- sorry -- unit building and the outfall

1 pipe.

2 Management plans and reports: Environmental
3 plan -- management plan; spill contingency plan;
4 quality assurance/quality control plan; operation and
5 maintenance (O&M) manual, including updated O&M manual
6 for water supply facility; timing of approval of plans.

7 Monitoring program: Compliance with sampling
8 requirements; modification and required updates to
9 sampling methods, sampling points; bioassay effluent
10 testing; amendments; new requirements.

11 Closure and Reclamation Planning: Decommissioning
12 and reclamation of old pump station, blue building;
13 macerator unit building; and old intake line/outfall
14 line.

15 So now that I have given you the background to the
16 renewal and amendment application we will be discussing
17 throughout this public hearing and community session,
18 I would like to turn to Item 4 on the agenda, the
19 instruction of the Applicant and interveners
20 participating in this public hearing.

21 I will now ask -- I will now ask that the
22 Applicant, GN-CGS, introduce their representative.

23 Go ahead.

24 Roll Call

25 MR. BELL: Thank you very much,

26 Mr. Chairman.

1 My name is Eric Bell, and I'm here with Janise,
2 and we are representing, in the person, CGS.
3 Bhabesh Roy is our lead liaison on this, and he is on
4 the Zoom call, so perhaps now Bhabesh could give us a
5 breakdown of how his team is working.

6 THE CHAIR: Thank you.

7 I will now go to the local associations and
8 representative interveners, intervening parties, to
9 introduce -- okay. Just hold on.

10 Go ahead, Teresa.

11 MS. MEADOWS: Thank you, Mr. Chair. I
12 believe that Mr. Roy is on the -- on the Zoom call and
13 is going to introduce the people that are on the Zoom
14 call for the Government of Nunavut, Community
15 Government Services.

16 Thank you, Mr. Chair.

17 THE CHAIR: Okay. Thank you. Thank you
18 for the reminder. Yeah. I'm not used to this, so I
19 keep forgetting. All right. I already forgot one.

20 Okay. Go ahead.

21 MS. AUTUT: Yeah. Thank you, Mr. Chair.
22 Bhabesh, we're going to stop you. I believe your
23 microphone may be on mute, so if you can make sure that
24 you're unmuted at your end, then we can hear you. We
25 are still unable to hear you.

26 We are still unable to hear you. Stephanie Autut,

1 Nunavut Water Board.

2 MR. DEMPSTER: If you could maybe unplug your
3 headset and change the audio for your microphone. If
4 you go down to the little microphone on the left-hand
5 side, you can pull up the pop-up and change it just to
6 your -- your -- same as system here, your integrated
7 audio. You can also -- as an alternative, you can just
8 dial the phone number on the link in the email and call
9 in. Yeah. If you go to your bottom left-hand side of
10 the Zoom screen ...

11 THE CHAIR: Okay. Give us -- to -- to
12 correct some -- some of the problem here and -- and
13 something -- give us a 15-minute break.

14 MS. AUTUT: So as the Chair has indicated,
15 we are going to take a short break. We do ask anyone
16 that is heading out to the refreshment table to use the
17 proper exit and to maintain a -- 6 foot between each
18 other as you proceed down the refreshment table.
19 Thank you.

20 (ADJOURNMENT)

21 MR. ROY: So we can start now?

22 MR. DEMPSTER: Correct.

23 MR. ROY: Okay.

24 Thank you, Mr. Chairman, to give us the
25 opportunity for -- to attend this meeting. My name is
26 Bhagesh Roy. I'm the GN representative and licensee

1 and main contract of this file. In my team, I am being
2 assisted by Janis Idlout, who is our municipal
3 technical officer in my office. I have a big team in
4 this meeting.

5 Some are physically attending; some are partially.
6 Physically attended, Steve Piercey, who is the CEO of
7 the Municipality of Resolute Bay. Municipality is also
8 part of this included operation. He is also part of my
9 team.

10 Also, Eric Bell, who is the senior engineer of
11 EXP, who is physically in this meeting, who is
12 assisting me for this entire meeting.

13 Beside that, I have Tony Whalen, who is the senior
14 engineer of EXP, who is remotely attending this call.
15 Also, Daryl Burke, who is also senior engineer,
16 remotely attending to support the -- my licence --
17 licence application process.

18 Now, these are the team members: two from sole GN
19 office; one from municipality, CAO; and three from EXP.

20 Mr. Chairman, I just want to let you know that our
21 IT -- GN IT told me that Zoom is not friendly to the GN
22 IT system. So it means -- I'm outside of the GN
23 network; that's why I'm getting to the system. But if
24 I was in the GN network, I could not -- into the Zoom
25 system. Just let you know in future meetings.

26 Thank you, Mr. Chairman. So these are the parties

1 working together with me to support the licensing
2 process and the meeting today and tomorrow. Thank you.

3 THE CHAIR: Thank you.

4 Now we'll proceed with the interveners and local
5 representative.

6 I'd like to call Crown-Indigenous Relations and
7 Northern Affairs, who is here in person and will be
8 providing a formal presentation. Please have your --
9 have your introduction.

10 MR. OKONKWO: Hello. Thank you, Mr. Chair.

11 My name is Godwin Okonkwo. I'm the manager water
12 resources with Crown-Indigenous Relations and Northern
13 Affairs Canada. And with me here is Sarah, who's lead
14 of the file, but I'll let her introduce herself.
15 Thank you.

16 MS. FORTE: Hello. My name is Sarah
17 Forte, and I'm water management specialist with
18 Crown-Indigenous Relations and Northern Affairs, and
19 I've been working on this file.

20 THE CHAIR: Thank you.

21 Ryan, you want to address something?

22 Now call the Environment and Climate Change Canada
23 who is joining us over teleconference and will be
24 providing a formal presentation.

25 MS. GRAHAM: Anna Graham, Environment and
26 Climate Change Canada. Can everyone hear me?

1 THE CHAIR: Yeah, we can hear you.

2 MS. GRAHAM: Okay. Thank you. Thank you.

3 I am the environmental assessment coordinator for
4 this project, and with me on Zoom today is Meagan
5 Tobin, our water quality expert on this project.

6 THE CHAIR: Okay. Thank you.

7 Is there any other interveners who would like to
8 speak? Please identify yourself and introduce
9 yourself -- your representative. Okay. I take
10 that ...

11 It is our tradition to give respect to all the
12 elders; therefore, at any time during the proceeding an
13 Elder may speak about the application that is before
14 the Board. I just ask that any Elder wanting to speak
15 about the application wait until the Board staff can
16 get you a microphone so that we can ensure we have a
17 complete record of what you have to say.

18 Are there any members of the general public who
19 would like to identify themselves and make a formal
20 request to speak to the Board about -- during this
21 public hearing?

22 I also want to mention any community member who
23 wish to ask question or provide comments to the Board
24 about this application will also have an opportunity to
25 do so tonight during the community session starting at
26 7 PM.

1 Are there any representative from agencies,
2 association, et cetera, who have not submit
3 intervention but would like to speak?

4 I will now turn to getting identification of any
5 motion or objection to the application that is before
6 the Board. We're not suspecting any motion, but --
7 okay. Okay.

8 Seeing none, we will now proceed with Item 8 of
9 the agenda, the presentation by the application -- by
10 the Applicant. Sorry.

11 Applicant, go ahead.

12 MR. BELL: Thank you very much,
13 Mr. Chairman. The first part of the presentation will
14 be presented by Mr. Roy.

15 THE CHAIR: Just hold on, Applicant.
16 Sorry. Go ahead.

17 MS. MEADOWS: Thank you, Mr. Chair.

18 Teresa Meadows, legal counsel for the Nunavut
19 Water Board. Mr. Chair, there's a number of procedural
20 matters that I have before the Applicant can make their
21 presentation.

22 First and foremost, I will require that the -- the
23 parties who will be presenting and providing evidence
24 on behalf of the Applicant, I will ask now that they be
25 sworn in or affirmed. So if I can have the witnesses
26 please state and spell their name for the record,

1 please.

2 MR. BELL: I will go first. My name is

3 Eric Bell, E-R-I-C B-E-L-L.

4 MS. IDLOUT: Hi. I'm Janise Idlout,

5 J-A-N-I-S-E I-D-L-O-U-T. Thank you.

6 MS. MEADOWS: And I believe you have someone

7 on the phone as well -- or several people on the phone.

8 If I can have those -- or on Zoom. If I can have those

9 witnesses please state and spell their name for the

10 record, please.

11 MR. WHALEN: Yeah. Tony Whalen.

12 T-O-N-Y W-H-A-L-E-N.

13 MR. BURKE: Also Daryl Burke, D-A-R-Y-L

14 B-U-R-K-E.

15 MS. AUTUT: Stephanie Autut with the

16 Board.

17 Bhabesh, I believe you were on mute, but as a

18 witness to this application, you will need to identify

19 yourself and spell your name, please. Bhabesh, we are

20 unable to hear you. If you can unmute your phone,

21 please.

22 MR. ROY: Bhabesh Roy. B-H-A-B-E-S-H.

23 Last name is R-O-Y.

24 MS. MEADOWS: Thank you. If I can have the

25 witnesses who are on Zoom and on the phone ...

26 TONY WHALEN, DARYL BURKE, BHABESH ROY, Affirmed Via

1 Teleconference

2 ERIC BELL, Sworn

3 JANISE IDLOUT, Affirmed

4 MS. MEADOWS: Thank you. Teresa Meadows,
5 legal counsel for the Nunavut Water Board.

6 Mr. Chair, I have six exhibits which consist of
7 the presentation materials about to be presented by the
8 Applicant in English and Inuktitut. I also have their
9 summary statements that are in several languages, and I
10 also have a statement -- a letter that the Applicant
11 provided to the Nunavut Water Board, and I propose to
12 mark those as the first six exhibits in this public
13 hearing.

14 And, Mr. Chair, with that, those are all my
15 procedural matters. Thank you, Mr. Chair.

16 EXHIBIT 1 - PowerPoint presentation
17 for Type "A" water licence application of the
18 Resolute Bay utilidor system, Nunavut
19 Water Board public hearing, October 27, 2020
20 (English)

21 EXHIBIT 2 - PowerPoint presentation
22 for Type "A" water licence application of the
23 Resolute Bay utilidor system, Nunavut Water
24 Board public hearing, October 27, 2020
25 (Inuktitut)

26 EXHIBIT 3 - Correspondence from Bhabesh Roy

1 to Richard Dwyer dated August 4, 2020,
2 Re: Seeking approval for the renewal of the
3 Type "A" water licence of the Resolute Bay
4 utilidor system for 20 years term (English)
5 EXHIBIT 4 - Executive summary of the utilidor
6 system (water and sewage treatment
7 facilities) of the Municipality of
8 Resolute Bay (English)
9 EXHIBIT 5 - Executive summary of the utilidor
10 system (water and sewage treatment
11 facilities) of the Municipality of
12 Resolute Bay (Inuktitut)
13 EXHIBIT 6 - Hard copy executive summary of
14 the utilidor system (water and sewage
15 treatment facilities) of the Municipality of
16 Resolute Bay (French)

17 THE CHAIR: Thank you, Teresa.

18 So, Applicant, you may go ahead.

19 Presentation by Government of Nunavut, Community
20 Government Services (Type "A" Water Licence)

21 MR. ROY: Thank you, Mr. Chair.

22 I am going to present for the Type "A" water
23 licence application of the Resolute Bay utilidor
24 system. This presentation will be shared by myself and
25 our senior advised technical advisor, Eric Bell, and to
26 answer to the question of the -- provided to you by

1 myself, Eric Bell, Tony, and Daryl.

2 So let's go ahead to -- step by step. I'm going
3 slowly. My first slide is for the Municipality of
4 Resolute Bay. As you know, the Municipality of
5 Resolute Bay, it is 1970s settlement located at
6 74 degree, 43'01" second north and 94 degree 58'10"
7 west. The population -- the community was designed in
8 a way at 1970 to accommodate roughly 1,500 people.
9 Today, 2020's population is 290. This is the base
10 population of the town. Interestingly, the town
11 population increased dramatically in summer because
12 this is the Canadian military training centre, and the
13 military moved to the town for short term, so
14 population moved from 290 to roughly 800.

15 The entire town divided into two sections. The
16 town area is the utilidor system, is the one part where
17 it's mostly the public area. 7 kilometres away there
18 is another band of the settlement or be -- government
19 offices are -- the airport are located, which is almost
20 7 kilometre from the town.

21 The town is company -- water supplied by the
22 utilidor system, and the airport area is water supplied
23 by truck system. In this -- in this small town, we
24 have three water licence: water licence of the
25 utilidor system, 3BM-RUT1012, Type "B". It was issued
26 March 30th, 2015. This licence -- or the licence of

1 the solid waste facility, this belonged to the Hamlet.
2 It was issued on March 30, 2020. At the airport
3 facility, there is a sewage lagoon in the airport, it's
4 3BM-YRB1621, Type "B". It was issued December 16,
5 2016. This licence belonged to the GN, the Department
6 of Economic Development and Transportation. So out of
7 the three licence, the utilidor licence belonged to
8 Community Government Services, Government of Nunavut,
9 and sharing with the Municipality of Resolute Bay.

10 How this system is operated: The operational mode
11 of the utilidor system -- Nunavut is original system,
12 and Baffin original headquartered in Pond Inlet.
13 Pond Inlet office, we have the PO office and also the
14 asset management division. Asset management is under
15 the PMO office, and we contacted a local contractor for
16 day-to-day operation who's name is ATCO.

17 Char Lake is the potable water source, and we pump
18 water from Char Lake, and from there, we'll pump the
19 water to the system plant. So the old pump station is
20 not functioning to the satisfaction. We are building a
21 new pump station about 60 feet -- 60-metre area from
22 the existing one. It is under construction right now.
23 We are expecting to build -- build and complete and
24 commission the new one in 2021. It is half -- almost
25 75 percent done.

26 Now, all pump station has a flow meter who is --

1 calculate the water coming from the Char Lake. In the
2 new pump station, also a new flow meter has to go there
3 to model the future water extraction volume.

4 The water treatment plant is located at Signal
5 Hill, which is about 500 metre from the pump station,
6 and there is a storage tank next to the water plant,
7 approximately 500 metre cubed.

8 Now, in the airport area, the water is supplied by
9 the truck. The truck water collected from the water
10 treatment plant. The water distribution system in the
11 town is a circulation system. It's -- the system is
12 controlled from the water treatment plant. So, like --
13 how the town -- the public individual household in
14 Resolute Bay, they are getting the pipe water supply.

15 Chlorine is the only disinfectant reagent we are
16 using that now in the current water treatment plant.

17 In the future treatment plant, it will be
18 different. I will explain later.

19 The operational mode continues in this chapter.
20 The linear length of the utilidor system is about
21 4 kilometre. This is a network system inside the town.
22 The utilidor system consists of buried water and sewer
23 line. The waterline is 150-millimetre diameter, and
24 sewer line is 200-millimetre diameter. The waterline
25 is a recirculation process under the pressure of 100
26 psi. The estimated of bleeding water is roughly

1 227 litres per day. The utilidor system consists of
2 36 access vault and 23 fire hydrants. There is a water
3 meter at each building to record water consumption, and
4 it's billed to the Hamlet on monthly basis.

5 The sewer line passes through the macerator unit
6 where suspended solids are classed to make it smaller
7 to discharge to the sea.

8 A new wastewater treatment plant is proposed to be
9 built next to the macerator unit. The macerator unit
10 will be decommissioned once the new wastewater
11 treatment is built.

12 The future wastewater treatment plant will receive
13 the truck sewage coming from the airport, and once the
14 system will be operational, the airport sewage lagoon
15 will be decommissioned.

16 The new wastewater treatment plant effluent
17 recommended by ECCC, CBOD, and TSS, 25 milligram per
18 litre both cases.

19 The utilidor system -- different section have been
20 updated at the current time. The new utilidor system
21 acquired the waterline, sewer line, head pump, fire
22 hydrant, all have been updated, and to be operational
23 is available for the audience and to the contact to
24 operate the system.

25 Here, this status of the water licence: The
26 existing water licence, 3BM-RUT1012, this licensee is

1 Community Government Services of Government of Nunavut.
2 It is Type "B" issued March 30, 2015, expired March 29,
3 2020. It was a five years' licence. The water permit
4 of this particular licence is 126,020 cubic metres
5 annually.

6 Now, status of the future licence, part --
7 Mr. Chair already explained. The proposed licence is
8 3AM-RUT dash -- we are waiting for the number. The
9 licensee the same, Community Government Services of
10 Government of Nunavut. It will be Type "A" licence.
11 The proposed duration is 20 years, and these 20 years
12 will be ending on 2040.

13 We are requesting for the permit of 2040. This
14 Type "A" water licence is 216,528 metre cube.

15 The component of the utilidor system at par, we
16 have 4 kilometre of buried water and sewer lines,
17 23 fire hydrants, 36 access vaults, the pump station at
18 Char Lake. We have 500-metre water storage tank at
19 Signal Hill, a water treatment plant at Signal Hill, a
20 macerator unit, 150-millimetre diameter intake line
21 from Char Lake to pump station, 150-millimetre diameter
22 water intake line to the pump station to Signal Hill,
23 200-millimetre diameter of outfall line from macerator
24 unit to the sea. The original utilidor system was
25 built 1978 and upgraded 2014/'15.

26 Here are the main components of the future

1 utilidor system, how -- next one -- next -- from now to
2 next five years, how the utilidor system will be look
3 like.

4 The main buried water and sewer line upgraded in
5 2014/'15, the vaults upgraded in 2014/'15, fire hydrant
6 upgraded in 2014/'15. And intake from the Char Lake to
7 the new pump station, it is already constructed. Fish
8 screen were all -- already provided at the end of
9 intake of the new pump station. The new pump
10 station -- sorry. A new -- new pump station at
11 Signal -- a new water plant at Signal Hill is under
12 construction. A standard flow meter will be installed
13 at the new pump station to -- it will be done in --
14 next year. Because this year construction already
15 stop.

16 Intake from new pump station to Signal Hill water
17 treatment plant have -- already constructed. The
18 storage tank is already built. We are upgrading the
19 existing water treatment plant in order to meet our
20 current drinking water guidelines. It is under
21 construction. A new wastewater treatment plant, it's
22 under design phase; we did the site selection. A new
23 outfall from the water treatment -- the wastewater
24 treatment plant to the sea, it will be built once the
25 future wastewater treatment plant is built. A
26 collection point at the wastewater treatment plant to

1 receive the trucks with, it will be located once the
2 new wastewater treatment plant in operation.

3 Once all these new utilidor -- new component of
4 the utilidor system are in -- operational, the old pump
5 station, macerator unit, outfall line, and the -- the
6 old wastewater treatment plant, blue building, will be
7 decommissioned.

8 Here is a little sketch I'm presenting to you, how
9 it is today and how it should be tomorrow. We -- we
10 have Char Lake. This is our main source. From
11 Char Lake, the water presently -- the water is coming
12 to the pump station, and pump station will push out the
13 water to the storage tank to the Signal Hill water
14 treatment plant. And from there, it is coming to the
15 main town for distribution. And, also, the sewer line
16 is running parallel to the waterline.

17 And from there, the sewer -- sewer is passing
18 through the macerator unit, and there is a grinding
19 machine inside. It's grinded up, the suspended solid,
20 and running to the sea. So outfall line -- there is a
21 point called "compliance point", while you have to
22 satisfy BOD and TSS level according to the water
23 licence.

24 The outfall is seen when there's a low tide.
25 Outfall is submerged when there is high tide. And,
26 interestingly, the entire sewer system of -- of the

1 town is a gravity system. We don't have any mechanical
2 device to drive the sewer from one point to other
3 point. But in the mechanical system, we are using the
4 bleed water to mix with sewage to dilute and then back
5 to the sea.

6 So later on we'll be talking about the bleed
7 water, its impact on our water supply system.

8 So this is the present system. How the future
9 system will looking -- look like -- the future system
10 is -- Char Lake will be there. The new pump station is
11 going to be built -- is under construction next to the
12 existing pump station. And then, same way, we are
13 connecting the pump station to the same storage tank
14 and then storage tank to the water treatment plant.
15 Water treatment plant, as I said, is going to be highly
16 upgraded to satisfy our present need. And then
17 connected will be the distribution line, the water
18 sewer line.

19 Right now, the water treatment plant is connected
20 with the waterline. So once, basically, the
21 distrubution is completed, then sewer line -- the last
22 vault are build. Sewer line is connected also getting
23 the sewage from treatment plant. Now, once it's coming
24 to the town, from the town, it will not go to macerator
25 unit anymore because we are building a wastewater
26 treatment plant, so all the wastewater is coming to the

1 treatment plant.

2 At the same time, we are getting the truck sewage
3 from the airport location and then dumping to the
4 sewage -- sewage plant. So this sewage plant will be
5 receiving sewage from the town from the pipe system,
6 also sewage from the truck, and then will connect and
7 then have to treat to the high degree to satisfy the
8 BOD-TSS level as directed by ECCC, and then we have to
9 flow the water to the sea.

10 In this -- in this case, the compliance point is
11 moved from the sea to the -- next to the water
12 treatment plant. It means once the water from the --
13 treatment water coming out from the plant, it must
14 satisfy our compliancy.

15 So I just use one slide, and then I hand it over
16 to Eric.

17 The historical water extraction volume: You see,
18 the water extraction volume 2019 down to 2014, and in
19 this period you will see the highest water extraction
20 volume 2015 and then second highest is -- next highest
21 is 2016. Because 2015 to once we are -- we are
22 updating the utilidor system -- prior to that, we have
23 sewage leaking. You can -- we must have lost almost
24 50 percent water leaking out. And then once we built,
25 then we have to do -- we have to do the hydraulic test
26 of the entire pipe to make sure there is no -- there is

1 no leak anywhere. We have to store water and do the
2 hydraulic test. So that also take a lot of water.
3 That's why 2014 and 2015 we have a huge extraction of
4 water from the Char Lake.

5 Now, as I said, the previous permit volume is
6 126,200 [sic] cubic metre, but due to the Water Board's
7 current regulation, we have to move from Type "B" to
8 Type "A", and we are requesting for 20 years' licence,
9 and so definitely 20 years' licence -- the amount I
10 already indicated -- that that was -- volume we are
11 requested in the water permit.

12 So from here, I'm leaving to Eric. The -- EXP is
13 our main consultant who would be the entire replacement
14 of the utilidor system, and, also -- they are also
15 current consultant for the pump station and also the
16 water treatment plant. They also do the site selection
17 study, the simply -- for the wastewater treatment
18 plant.

19 So the most experienced three senior engineers who
20 are involved with me for design and construction,
21 renovation, and supporting all the necessary documents
22 for the water licence application. All three are
23 present. So Eric is on -- in the room, so I'm leaving
24 to Eric to continue to present up to the end.

25 Eric.

26 MR. BELL: Thank you very much, Mr. Roy.

1 Moving on this slide right here, again, EXP has
2 compiled a lot of these numbers on best practices and
3 on historical data for the CGS group. The design flow
4 for the water source at the new pump station in
5 Char Lake is by --

6 THE CHAIR: Stop. Hold on. Hold on. The
7 interpreter needs some -- slow down. Sorry. She
8 can ...

9 MR. BELL: Thank you very much,
10 Mr. Chairman. I'm a little excited.

11 The design flow for the water source from the new
12 pump station is 720 litres a minute. There will be
13 three pumps installed with two in operation at any time
14 for a capacity of each having 360 litres a minute.

15 There's also a fish screen, as per DFO
16 regulations, that has 2.3-millimetre wedge wire
17 protecting the aquatic life.

18 The maximum output from Char Lake pump station is
19 900 litres per minute with all pumps in operation.
20 And, again, the gravity sewage flow rate from the
21 macerator unit to the ocean is currently estimated at
22 280 litres a minute.

23 If I could go to the next slide, please.

24 So we are aware of revised turbidity ruling as of
25 May 13th, 2020, and the treatment design for the plant
26 takes this into account. With filtration, normal

1 operation will occur as long as the water turbidity
2 remains less than or equal to 1 NTU.

3 With dual filtration at the water treatment plant,
4 which includes one stage of multimedia filters which
5 are the large filters that remove large particles of
6 turbidity, as well as giardia microorganisms -- the
7 second stage of filtration is a 1-micron filter -- so
8 it's much smaller -- which will remove smaller
9 particles, as well as cryptosporidium microbio. There
10 should be no issues with meeting the turbidity limits
11 so long as these filters are in operation.

12 The 3-log, 99.9 percent inactivation of pathogens,
13 is achieved with 2-log credits from filtration and an
14 additional log credit for the addition of chlorine.

15 Next slide, please.

16 So on to the quantity of water that has been
17 requested. The annual water extraction from Char Lake
18 has been calculated and forecasted from this current
19 year all the way to 2047. Included in this table are
20 an estimated growth in the population, an estimate in
21 the litres per person per day that a person in
22 Resolute Bay would consume, and then the overall
23 community consumption. There's also the airport
24 consumption for a total estimate of how much water is
25 currently being utilized and how much will be in demand
26 in 2047. That number goes from 103,000 litres per

1 day -- or a thousand -- litres per day, yes -- to
2 upwards to 141,000 litres a day.

3 Both of these numbers have max-day factors applied
4 to them, okay, whether it's reflected in 2 units of
5 flow, being litres per day or litres per second, and
6 this accounts for the instantaneous time when everybody
7 wants to use water at once.

8 Also added in this chart is the bleed water rate,
9 and that has to do with the amount of water that comes
10 from the freshwater system to be added to the sewer
11 system to keep that alive. And the litres per day on
12 the bleed water has been modified over the forecasted
13 timeline, up to 2047, based on forecasted age and
14 forecasted number of users.

15 So the total annual consumption in metres cubed in
16 2020 is estimated to be 160,000 cubic metres; and then
17 2040, at the end of our request for permit, it's
18 216,000 cubic metres; and by 2047, it is estimated to
19 be 236,000 cubic metres.

20 Next slide.

21 The total extracted water accounts for use within
22 the community, the airport community, as well as the
23 bleed water. Annual consumption for 2020 is calculated
24 at sixteen -- 160,000 up to 236,000 in 2047. Again,
25 this has to do with the population increases; the user
26 habits, being the per-capita consumption; and the

1 increase in the estimates for bleed water.

2 The Char Lake replacement capacity is estimated to
3 be sufficient up to about 2040 to supply water for the
4 community. It is recommended that additional
5 technologies be investigated, heat tracing, additional
6 pumping, to replace bleed water systems and to prevent
7 water from freezing since Char Lake cannot sustain
8 supply in this fashion past 2040.

9 Next slide, please.

10 CGS is requesting a water measurement confirmation
11 for Char Lake. For this purpose, the measuring of
12 water quality is being withdrawn on a consistent basis
13 from Char Lake, and a flow totalizing flow meter is
14 the -- is the desired technology. Everything on this
15 slide that is being presented has to do with a
16 temporary flow measurement request that CGS has in
17 order to confirm the measurement. Once the ultimate
18 Signal Hill water treatment plant has been upgraded,
19 this will -- there will be adequate flow measurement
20 incorporated into that.

21 But in the short-term, the service conditions -- a
22 turbine flow meter is what we would like to use. The
23 service conditions and the congestion that exists at
24 the Char Lake pump house is provided -- tough to put a
25 flow totalizer at Char Lake. Ideally, you would have a
26 nice piece of a pipe where you could just insert the

1 flow meter, and, in our case, the flow meter is
2 .58 metres long.

3 If anyone has been down to Char Lake, there is not
4 very much piping down there, and it's not very long.

5 So we are proposing to install this at the
6 Signal Hill plant directly on the intake as the line
7 comes to Char Lake into the Signal Hill plant. So that
8 is an equal measurement of what leaves Char Lake.

9 From Char Lake, a dedicated 6-inch line is
10 utilized to connect to the Signal Hill water treatment
11 plant. It's proposed that that's where the flow meter
12 be installed. This will -- there will be no other flow
13 measured on this line, only the withdrawal water that
14 is from Char Lake. And EXP has prepared the
15 specifications and are currently working to have it
16 installed as soon as possible.

17 Next slide, please.

18 So the plans for the Char Lake pump house: There
19 are both environmental management plans and
20 decommissioning and remediation plans that have been
21 submitted. The environmental management plan assists
22 with implementing the measures to protect the
23 environment and minimize environmental impacts during
24 the construction of both the new lake -- Char Lake pump
25 house and the Signal Hill sites.

26 The environmental management plan outlines

1 requirements and procedures to minimize the surface
2 water and fish habitat impacts by controlling erosion
3 and drainage and settlement and, in turn, turbidity in
4 the water.

5 Pollution control and procedures are also
6 implemented to reduce dust and particulate matter in
7 the construction area. It also deals to -- determines
8 the procedures for management of hazardous materials
9 during the decommissioning should they become obvious.

10 A spill response procedure are also outlined for
11 spills on land, snow, and in water. And, finally, the
12 environmental management plan describes in detail the
13 reporting requirements that any spill may occur.

14 Next slide.

15 Additional details are provided in the
16 decommissioning and remediation plan, as well as the
17 spill contingency plan. The decommissioning plan
18 assists with implementing the specific work and
19 procedures in order to protect human health and
20 minimize the environmental impacts during the
21 decommissioning of the old Char Lake pump house. Due
22 to the proximity of the pump house to Char Lake,
23 control measures must be implemented to prevent
24 movement of contaminants into the water that -- that
25 are -- could be potentially caused by disturbing the
26 soils and structure as it is being dismantled.

1 The above-ground fuel tank must be safely removed,
2 cleaned, and washed using a vacuum truck, and the metal
3 will be disposed of in the community metal land
4 field -- land disposal.

5 Hazardous materials, such as lead-based paints,
6 mercury-containing fluorescent light tubes, and PCBs in
7 the light fixture ballasts are going to be securely
8 removed and disposed of to recycling facilities.

9 The scope of the new pump house and the
10 remediation of the site and the new facility involve
11 some of the following activities: The site work
12 including access by truck and personnel, as well as a
13 new power line; a provision of a new building,
14 including electrical and mechanical systems; a
15 provision of a new intake into Char Lake with a new
16 transmission water main interconnecting the pump house
17 at Char Lake to the Signal Hill water treatment plant;
18 and the remediation of the petroleum contamination of
19 the existing site and management of the contaminated
20 soil.

21 As previously mentioned, the design flow from the
22 water source at the new pump house is going to be
23 720 litres a minute. And the site that has been
24 selected is 60 metres to the east of the existing
25 facility, and that meets the required criteria for
26 water intake.

1 Next slide, please.

2 The Char Lake pump house design and construction:
3 A significant amount of work has already been done
4 during the 2020 construction season, and the Char Lake
5 site that includes the installation of silt fencing
6 around the work site --

7 THE CHAIR: Excuse me?

8 MR. BELL: Yes.

9 THE CHAIR: You need to slow down a bit.
10 The court reporter cannot keep up with you.

11 MR. BELL: Sorry. Again, I'm awfully
12 excited.

13 The work that has been done at Char Lake in 2020
14 includes the installation of silt fencing around the
15 worksite; excavation of the new pump house and concrete
16 pours for foundations; and the new pump house building
17 that has been already constructed; boilers and glycol
18 pipes and pumps have also been installed; and bedding
19 material has been imported; the -- Char Lake, with the
20 turbidity curtain in place to prevent particulate
21 matter from entering the raw water supply; and new
22 intakes are being placed during the 2021 construction
23 season. So there has been significant work done this
24 year.

25 Next, please.

26 The recommended water treatment process that is

1 going to be implemented at Signal Hill includes
2 multiple filtration steps and disinfection using
3 chlorine in the form of calcium hypochlorite.

4 The filtration will provide the suitable
5 protection for microorganisms removal and any small
6 amounts of TSS and turbidity to get picked up by the
7 Char Lake pumps.

8 The chlorine addition protects against viruses and
9 other microorganisms from the water source and provide
10 protection from any cross-contamination that may occur
11 in the utilidor distribution system.

12 The first stage of the filters are backwashable
13 media filters. A media filter is -- typically removes
14 particles down to 7 to 10 microns in size, and that's
15 suitable for the large turbidity particles as well as
16 the giardia.

17 The secondary proposed filters are disposable
18 cartridge filters or polymer-based filters that filter
19 down to 1 micron of size, which is suitable for further
20 removal of small particles and include cryptosporidium.

21 The disinfection method to be employed will be the
22 use of chlorine in the form of calcium hypochlorite,
23 and this will be delivered to site in dry format and
24 prepared for a 24-hour period in a mixing or hydration
25 tank.

26 As can be seen in this drawing, the water will

1 flow in from Char Lake on the left-hand side and will
2 move towards the right; the first stage being
3 multimedia filters, the second stage being the
4 cartridge filters. All water will be treated and
5 disinfected before entering into the reservoir, and
6 then from the reservoir, two locations it can go to,
7 being the hamlet utilidor system, where there is a
8 constant recirculation, and to the truck fill to
9 support the airport and any users that are on the
10 truck-fill system.

11 Next slide.

12 The upgrade to the water treatment plant on
13 Signal Hill examines the requirements for the water
14 treatment as outlined by the Canadian Drinking Water
15 Guidelines. This includes the upgrade of disinfection
16 equipment and the inclusion of filtration equipment.

17 Capital costs, as well as operational costs for
18 the needs for the 30-year operation life, were
19 considered when selecting the technology.

20 The upgraded water treatment plant will be in the
21 same building but will incorporate additional
22 filtration equipment, new disinfection equipment, new
23 circulation pumps, a washroom facility, additional
24 equipment storage, and a laboratory area for -- as well
25 as a maintenance area.

26 Next side, please.

1 The unused reservoir tank has been removed
2 already, and the building has been expanded in an
3 easterly direction. A significant amount of this work
4 has been completed during this construction year, and
5 that includes the site grading; some concrete
6 demolition work; building-addition work, including some
7 concrete walls room; roof and cladding; and any
8 obsolete equipment that was in the building and has
9 been removed, as well as other materials.

10 Next.

11 So for quality assurance and quality control, a
12 program has been developed and is used to maintain the
13 standards of monitoring programs for both the
14 wastewater treatment and disposal and the water supply
15 and treatment, as well as solid waste disposal, as
16 described in each one of the O&M manuals.

17 The program describes quality assurance and
18 quality control processes and procedures as applied
19 during field activities to accurately reflect the
20 attributes of either the water, the wastewater, or the
21 leachate being tested.

22 Field quality control addresses
23 cross-contamination as a common source of -- and an
24 error in sampling procedures and sample handling and
25 storage of equipment; i.e., this is errors during our
26 sampling.

1 So field QC samples must include field blanks, as
2 labelled as such, to trace sources of artificially
3 induced contamination. Or blind duplicates can be
4 used, not labelled as such, to ensure the analytical
5 precision.

6 Laboratory quality control is applied by
7 laboratories after the samples have been received from
8 the field and to enable the laboratory to produce
9 accurate and reproducible results on an ongoing basis.

10 The samples are collected in laboratory supplied
11 bottles and jars and are analyzed at laboratories
12 certified by the Canadian Association of Lab
13 Accreditation. All analytical reports are to include
14 QA/QC reports, and this hamlet has been using the
15 services at accredited labs in Ottawa named "Caduceon
16 Environmental Labs".

17 Next.

18 So for the spill containment -- or contingency
19 plan: The spill contingency plan is used to address
20 the proper responses to the anticipated types of spills
21 that may be -- occur during the routine operation and
22 maintenance activities at the hamlet's facilities
23 associated with wastewater disposal, water supply, as
24 well as the solid waste disposal.

25 This contingency plan presents potential
26 contaminants, spill scenarios, and existing preventive

1 measures and response organizations that are to be
2 used.

3 The spill contingency plan has action to include
4 potential impact from -- and procedures for containing
5 the chemical spills, such as sodium hypochlorite, being
6 the chlorine, and any petroleum spills, such as diesel
7 fuel, used for the powering of equipment.

8 The spill contingency plan provides information in
9 case of the spill and spill kit locations, as well as
10 spill reporting procedures.

11 It also includes the standard spill kit
12 requirements, as well as forms for filling them out and
13 reporting.

14 And I think that's the last slide there, Sergey.
15 Oh, sorry. My bad.

16 At the wastewater treatment plant a number of
17 technical issues and concerns regarding the current and
18 future wastewater treatment have been raised by the
19 stakeholders. As such, EXP, my company, has prepared
20 and submitted a technical memo addressing the fecal
21 coliform limits for the O&M plan for the existing
22 macerator and a technical memo addressing the ammonia
23 for the new wastewater treatment plant and technical
24 memo that reviews the 2012 and the 2020 wastewater
25 treatment plant designs.

26 The calculated fecal coliform values, which were

1 determined based on linear regression of data reflected
2 from 2016 to 2020, and includes 18 results as a data
3 set.

4 For a flow greater than 600 litres per person per
5 day and a TSS -- so a total suspended solids -- of
6 80 milligrams per day, the calculated fecal coliform
7 was calculated to be 157,000 units per hundred
8 millilitres. For flows between 150 litres per person
9 per day and 600 and a TSS of 80, the calculated number
10 was increased to 183,000 coliform units per
11 100 millimetres.

12 And that was the last slide, I believe. No? I
13 got ten more? What? Sergey, are you adding slides to
14 this?

15 MR. ROY: No, no. Continue. "EXP has
16 previously noted" ...

17 MR. BELL: EXP has previously noted that
18 the building macerator unit is an open flow and that
19 the heater has been -- exposed in a heating element,
20 including thermostat, and the fan is completely blocked
21 off with insulation.

22 Okay. I was down at the building yesterday, so
23 yes.

24 There's not so much smell in the -- in the
25 building because the flow is so dilute, but it was
26 noted to the GN that this is a hazard as -- an

1 explosion potential for operators, and there is
2 ventilating issues. This is the way it is in all
3 macerator and head works buildings.

4 As such, health and safety risks from these
5 hazards need to be mitigated.

6 The identified issues associated with the building
7 are that it's not ventilated, has only a single-man
8 door entry, and it's flushed to the exterior grade, a
9 vent is not operating, electrical equipment is not
10 explosion-proof in design and does not have any
11 hazardous gas sensors.

12 We've recommended a number of procedures that
13 should be followed when entering the macerator
14 building. This is useful to investigate short-term
15 options until a new water treatment plant -- wastewater
16 treatment plant is constructed and commissioned. These
17 may include things such as acquisition of gas detector
18 and replacement of the heating, lighting, fans, plugs,
19 and disconnects for the explosion-proof units.

20 Further on this, the current trends in the
21 wastewater regulations indicate that effluent ammonia
22 is likely to become a parameter of concern throughout
23 Nunavut, and specifically the hamlet the Resolute Bay
24 in the future.

25 There are currently no regulations in place in
26 Nunavut or the hamlet that require biological

1 electrification to meet the effluent ammonia discharge
2 objectives; however, it's anticipated that there will
3 be future regulatory changes for that far north -- that
4 include the far north that could include new guidelines
5 for the ammonia.

6 With the uncertainty of future regulatory changes,
7 the hamlet of Resolute Bay has -- will be well-served
8 by installing a biological mechanical treatment system
9 according to a predesign report that my company has
10 done.

11 The proposed process water technology could be
12 designed for ammonia removal to meet the current WSER
13 performance standards in effect throughout Canada.

14 There are a number of key design factors that
15 remain very similar or unchanged between the original
16 2012 design and the 2020 design as completed by my
17 company. The most significant difference was the
18 process technology with the intent to better balance
19 the treatment performance with some of the economic and
20 operational challenges. This will result in a more
21 cost-competitive system that is still capable of
22 providing a high-quality effluent for exit to the
23 ocean.

24 MR. ROY: Okay. Thank you, Eric. Let
25 me finish the last slide myself. Thank you.

26 MR. BELL: Happily.

1 MR. ROY: So I'm taking -- yeah.

2 Thank you. Thank you, Eric.

3 So the last slide is the -- how we see the future
4 wastewater treatment plant. So what is the
5 recommendation in the technical meeting by ECCC -- they
6 are saying -- they're suggesting -- and we were also
7 designing the plant following the solution that CBOD
8 should not be more than 25 milligram per litre. It
9 means we have to keep the CBOD below at the approved
10 level, and the compliance point next to the water plant
11 should be less than or equal to 25 milligram per litre.
12 The same way, the total suspended solids should be less
13 than or equal to 25 milligram per litre.

14 The average concentration of total residual
15 chlorine should be less than or equal to 0.02 milligram
16 per litres.

17 The maximum concentration of unionized ammonia
18 should be less than 1.25 milligram per litre expressed
19 as nitrogen at 15 degree, plus/minus 1 degree
20 centigrade. Be non-accurately lethal effluent.

21 So these are going to be a compliance point of the
22 new treatment plant. And the effluent coming from the
23 treatment plant, that water quality has to satisfy this
24 criteria. So this is my last slide of the
25 presentation.

26 Before I will go for question, I have one question

1 to the audience: Is the CAO of the Municipality of
2 Resolute, Steve Piercey -- I'm not hearing his sound.
3 He's in the meeting? Hello? Hello?

4 MR. PIERCEY: Yeah. Go ahead, Bhabesh.

5 MR. ROY: Oh, I'm just asking -- oh, you
6 are -- you are there. You are -- because you are
7 not -- not counting your name. So, anyway, I'm glad
8 that you are there. Thank you. Thank you, Steve.

9 Thank you, Mr. Chair. This is end of my
10 presentation.

11 THE CHAIR: Teresa, do you want to speak
12 to that? Okay. Okay.

13 MR. ROY: Mr. Chair, I just want to
14 mention that the -- all the questions will be directed
15 by the name of GN to me, and I will share whoever will
16 respond to the question from my team.

17 Thank you, Mr. Chair.

18 THE CHAIR: Okay. I think we can -- we
19 can have a break for now. Break -- lunch for break,
20 and then we can come back at 2 -- 1:15. And we have
21 one interpreter as well, so need the break as well.
22 Okay. We can come back -- come back at -- you can
23 continue with your presentation -- oh, all done? Okay.
24 Yeah. We -- we can start again at 1:15 this afternoon.

25 MR. ROY: Okay. Thank you.

26 THE CHAIR: Thank you.

1

2 PROCEEDINGS ADJOURNED UNTIL 1:15 PM

3

4 (PROCEEDINGS RECOMMENCED AT 1:31 PM)

5 THE CHAIR:

Welcome back to -- for this

6 afternoon's session.

7 So questioning we were about to start by the time

8 we left the -- the room for lunch, so I'd like to ask

9 the Crown-Indigenous and Relation -- Crown-Indigenous

10 Relations and Northern Affairs -- Sarah and Godwin, you

11 may want to come over to the intervention table.

12 THE CHAIR:

Go ahead.

13 Crown-Indigenous Relations and Northern Affairs

14 Questions Government of Nunavut, Community Government

15 Services

16 MS. FORTE:

Thank you. So it's Sarah

17 Forte speaking. I have just two questions, which is

18 more clarifications I'm requesting.

19 The first one is in regards to the water volume

20 being requested. There was quite clear communication,

21 but then just recently there was a submission with

22 projected water-use volumes up to 2047, and these

23 numbers are also on page 14 of the presentation. And

24 so I'd just like to confirm whether the quantity of

25 water being requested for this water licence is the

26 value projected for the 2040, which is 2016 --

1 216,528 cubic metres.

2 THE CHAIR: Thank you.

3 Applicant, go ahead.

4 MR. ROY: Thank you. Thank you,

5 Mr. Chairman. Thank you, Sarah. This is a question
6 you asked in the technical meeting as well as here.

7 This question I'll be sharing with Tony, who is our --
8 who is our -- you know, the senior technical advisor to
9 me. I just go in part, and then he'll be giving a
10 detailed explanation.

11 This -- as you see, there are different items:
12 per capita, litre per capita per day, and also there is
13 the bleed quantity. So this is a consumption plus
14 bleed water. If we can combine together, that is the
15 total volume we need to extract from the Char Lake, and
16 that is the total volume we are anticipating with our
17 2024 water licence.

18 So having said so, this is -- Tony will be -- to
19 explain this, and I was requesting Tony Whalen to go in
20 details on this expectancy.

21 Tony.

22 MR. WHALEN: Sure. Thank you, Bhabesh.

23 Can everybody hear me okay?

24 MR. ROY: Yeah, I'm hearing okay.

25 MR. WHALEN: Okay.

26 Yeah. So I believe the question is, you know --

1 the volume that we're requesting up to 2040, it is
2 indeed the 216,528 cubic metres, which has been
3 calculated, as Bhabesh indicated, on a number of -- a
4 number of pieces of information, you know, one being
5 the population, and there's a projected population
6 growth over the -- over the 20 years, so that's
7 included in the calculation. And then the per capita
8 consumption, it's also shown increasing over the course
9 of the -- the 20 years, as well; as well, the community
10 consumption based on that per capita and the
11 population.

12 So the other part -- essentially, everything in
13 here increases over time, and that's kind of a
14 worst-case scenario, just so -- we want to make sure
15 that, you know, the request is sufficient to handle
16 any -- any demand. So this is all speculation in terms
17 of the population increase, per capita consumption
18 increases, you know, increases in water at the airport,
19 and also an increase in bleed water. So -- so it all
20 leads to an increase in the water use. So this 216,528
21 is, in fact, based on all of these projections as a
22 worst-case scenario for the amount of water that will
23 be consumed and used up to 2040.

24 So does that -- does that answer the question at
25 hand?

26 And thank you, Mr. Chair.

1 MS. FORTE: Yes, that answers my question.

2 Thank you.

3 My next question has to do with some information
4 found on page -- or Slide 16 regarding the installation
5 of the flow meter -- or a flow meter at the -- either
6 the pump station or the water treatment plant. The --
7 on the slide, it says that this -- it was to be
8 arranged -- the delivery to be arranged for
9 October 2020 with a goal to collect at least one week
10 of flow data prior to the hearing.

11 From your comments, Eric, I understand that
12 perhaps this didn't occur, and so I would be looking
13 for confirmation of that. And, also -- and if it
14 hasn't occurred, an estimated time schedule at which it
15 might occur.

16 MR. BELL: Thank you for the question.

17 Eric Bell here.

18 I can confirm that it has not yet been installed.
19 We are in the works of getting a contractor to install
20 it. As far as the timeline, I know that it's going to
21 be within the next three or four weeks.

22 Tony Whalen, I'll let you speak up if you think
23 that that is an incorrect statement.

24 And as for the duration and the commitment of the
25 flow measurement data, Bhabesh, perhaps you could speak
26 to what the commitment is that we -- we have on that.

1 MR. ROY: Yeah. Thank you.

2 THE CHAIR: Can you state your name --
3 state your name for the record.

4 MR. ROY: Yeah. Bhabesh Roy. Thank
5 you, Chair.

6 Flow meter, actually, we are talking about for a
7 long -- since last technical meeting. Here is the
8 source to the -- of this flow meter. Flow meter should
9 be in the existing pump station. So while we are doing
10 the design, we found that this pump station built so
11 long ago, there is no meter today on the market
12 available to fit into the existing pump station.

13 So Eric Bell did the design, and he came up with
14 the conclusion that we can remove the location at --
15 not in the pump station but in the water
16 treatment plant prior to water coming inside the water
17 plant, so that way -- it's the same building, same
18 quantity, no division -- we can get a device. The
19 device will be lined. Contract call given to someone
20 to install it. As you know, the COVID-19 situation
21 there is too many constraints.

22 I am asking Tony -- Tony is supervising the
23 construction work. He is the manager. He will give
24 you more update, more clearer information, when exactly
25 the flow meter will start working.

26 Tony.

1 MR. WHALEN: Sure. Thank you.

2 Thank you, Bhabesh. Again, it's Tony Whalen here.

3 Yeah. Currently we have acquired the meter
4 itself, and I believe it is in Edmonton at the moment.
5 And as Bhabesh did mention, there are some delays,
6 because of COVID, in getting things shipped. I mean,
7 even at the best of times, it's -- it's challenging to
8 get things shipped to Resolute, and the COVID pandemic
9 has made that even more difficult. So we're -- we're
10 getting it closer to Resolute. Hoping we will have it
11 in Resolute in the next week to two weeks, and then we
12 will be coordinating the installation.

13 Currently, the contractor is working in the
14 Char Lake pump house. The -- the electrical and
15 mechanical components are -- are being installed there,
16 and those are the people that are actually going to do
17 the installation of the flow meter. So Eric suggested,
18 you know, we're three to four weeks out; that is
19 probably realistic. I'm hoping we can do better than
20 that, but that's -- that's what we should kind of plan
21 for.

22 The installation itself is relatively quick. It
23 should be done in less than, you know, a half a day.
24 This is just a matter of drawing water off of the tank
25 there while the -- you know, the pipe is cut and the --
26 the flow meter is installed in there. And Eric was

1 correct; it will be installed at the Signal Hill water
2 treatment plant because there just is not sufficient
3 space at the old Char Lake pump house to install that
4 meter there. Hopefully that answers the question.

5 Thank you, Mr. Chairman.

6 THE CHAIR: Thank you.

7 Any more questions? Okay. Thank you.

8 Oh, okay. Godwin.

9 MR. OKONKWO: Thank you, Mr. Chair. My name
10 is Godwin, manager of water resources, Crown-Indigenous
11 Relations and Northern Affairs Canada.

12 I have one question, and this is back to the first
13 question Sarah was asking about quantity of water
14 asked. But my question is -- I did hear that the
15 estimation or projection accounts for time when
16 everybody wants to use water, so I'm looking at it, and
17 I'm looking at the population of Resolute, of the town,
18 the community. But then one of the slides where you
19 presented the town population at 290, you indicated
20 that during the summer, due to military presence for
21 training, the population of the town increases to 800.

22 So I was wondering -- so that's probably not seen
23 as the real population, that increase. But if it
24 happens every summer, I'm just wondering if the
25 projections for the water required, if -- when you say
26 that it accounts for everybody's need, if it includes

1 the need of the -- I don't know if you call it --
2 temporary increase in population?

3 MR. BELL: Eric Bell here with EXP.

4 I'm going to attempt a bit of an answer at this,
5 and then, Tony Whalen, if you could chime in afterwards
6 to let me know your -- your thought on this to support
7 my information. The --

8 THE CHAIR: Just hold on.

9 Staff. Stephanie.

10 MS. AUTUT: Thank you, Mr. Chair.

11 Stephanie Autut, Nunavut Water Board.

12 I'm going to weigh in. For the third time, we're
13 going to have to ask you to slow down so the
14 interpreters and the stenographer can stay on track.
15 Thank you.

16 MR. BELL: Thank you very much. I will
17 do my best.

18 When there is the influx of population, that is
19 primarily out at the airport sites, and the airport
20 sites are all on the truck-fill situation. The
21 truck-fill situation definitely increases the overall
22 amount of water that's used there, but when we talk
23 about some of the peak water consumption numbers, that
24 is the peak outflow from the Signal Hill water
25 treatment plant. That's not really accounted for with
26 regards to the instantaneous peak that we need when

1 we're sizing pumps and looking at contact time and
2 things like that. That the overall consumption of
3 water -- you're right -- is increased, but that is from
4 the -- the truck-fill perspective.

5 And I'm also under the impression -- and this is
6 where I want to draw from Tony's expertise on this --
7 is that there is sort of a reduced number for the
8 military when it comes to the average consumption days,
9 and on a truck-filled system, there is a lower daily
10 average of customer -- customer usage.

11 Tony, I'll let you speak to that.

12 MR. WHALEN: Sure. Thank you, Eric. Tony
13 Whalen here again.

14 So, I mean, I think the question comes down to
15 have we accounted for military personnel and their use
16 of water in our calculations for consumption. The
17 answer to that is yes. However, because it is based on
18 truck fills, that number has been, sort of, equalized
19 over time. But you'll see in the -- the calculation of
20 annual water extraction from Char Lake that there is an
21 airport consumption number which is fairly significant.
22 In fact, you can see it's, you know, more than half of
23 the community consumption as well. So that is
24 accounted for overall in the -- in the calculation of
25 consumption. So, yeah, I think -- hopefully that --
26 that answers your question.

1 Thank you, Mr Chair.

2 THE CHAIR: Thank you.

3 MR. ROY: Mr. Chair, I just want to
4 disclose something. The -- any -- any agency asks a
5 question to the Applicant, that is me, and don't talk
6 to any individual. So questions asked to me, and we'll
7 make the answer from -- for the question using any of
8 our technical advisors or the embassy or -- so, again,
9 I repeat, Applicant -- and no one should directly ask
10 question to non-applicant. It should be to Applicant
11 and Applicant to -- to the Water Board.

12 Hello? Hello?

13 THE CHAIR: Yeah, I can hear you. So,
14 yeah, just -- I'm just given some direction here. So
15 okay. We'll take your -- take your word.

16 MR. ROY: Thank you.

17 THE CHAIR: Okay. Next intervener I'd
18 like to call upon is Environment and Climate Change
19 Canada.

20 Anna, are you -- can you hear? Have you -- go
21 ahead.

22 MS. GRAHAM: Yes. This is Anna Graham,
23 Environment and Climate Change. I believe our water
24 quality expert, Meagan Tobin, would like to ask a
25 question.

26 Environment and Climate Change Canada Questions

1 Government of Nunavut, Community Government Services

2 MS. TOBIN: Hi. Yes. Thank you,

3 Mr. Chair. This is Meagan Tobin with Environment and
4 Climate Change Canada. I just have one question.

5 So in the presentation, as well as in the
6 environmental management plan, it was described the
7 settlement and erosion-control practices that will be
8 implemented to prevent increases in turbidity in
9 Char Lake that is associated with the construction and
10 the decommissioning of the pump houses. However, there
11 was no description of any turbidity monitoring to be
12 undertaken in Char Lake in order to ensure that these
13 mitigations are working as intended and that there
14 aren't unexpected impacts to water quality.

15 So my question is, will the environmental
16 management plan be updated to include turbidity
17 monitoring to monitor for increases in turbidity that
18 may occur during construction in the water body?

19 Thank you, Mr. Chair.

20 THE CHAIR: Thank you.

21 Applicant, do you -- respond to the question.

22 MR. ROY: There is a little error of the
23 presentation we should mention about the turbidity
24 monitoring. This question I'll be sharing with Tony.
25 Tony will give the explanation how to install in the
26 Char Lake, how we can protect. But the turbidity

1 monitoring, yes, we did. As I mentioned before, that
2 we have the ATCO onboard who is operating the system,
3 and our asset management division is the --
4 administering the contract.

5 So turbidity has been tested on regular basis
6 during the construction and with the close contact with
7 the Department of Health. So we don't see any kind of
8 adverse turbidity developing during construction.
9 Because if we did that first, then public health will
10 declare the water turbidity, and it will not happen
11 because turbidity under control.

12 Tony, you want to explain a little bit.

13 MR. WHALEN: Sure. Thank you, Bhabesh.

14 Yes. So, I mean, part of the environmental
15 management plan included silt fencing adjacent to
16 Char Lake in the area that we're doing any work on
17 land. In addition to that, we did also install
18 turbidity curtains around any area that we were working
19 in, you know, directly in Char Lake with regard to
20 placing gravel so that we can install the intake lines
21 next year.

22 So the turbidity curtains were actually installed,
23 and we did measure -- we had the turbidity measured by
24 ATCO during that time, and in comparison to previous
25 turbidity numbers, there was -- there was no increase
26 evident with the work that was done.

1 Also, the plan was submitted to the Department of
2 Health to review and provide comments prior to doing
3 the -- the work in Char Lake. So I think, overall,
4 we -- like I mentioned, we did not see an increase in
5 turbidity in the raw water in Char Lake during the
6 construction activities. And we will continue those
7 mitigation programs in 2021 when we recommence work in
8 Char Lake, so the turbidity curtains will be
9 reinstalled, and then the silt fencing is still there
10 and will remain there until the end of next year's
11 construction season. So both of those measures will
12 ensure that we reduce any kind of impact of turbidity
13 formation in the raw water for Char Lake.

14 Thank you, Mr. Chair.

15 THE CHAIR: Thank you.

16 Any more question from ECCC?

17 MS. TOBIN: I think --

18 MS. GRAHAM: We have no --

19 MS. TOBIN: Oh, sorry. Thank you,
20 Mr. Chair. It's Meagan Tobin with Environment and
21 Climate Change Canada. I just have one follow-up.

22 So I -- I do understand the mitigations that are
23 being applied. I just wanted to ensure that the
24 continuous testing of water quality and the turbidity,
25 you know, outside of those mitigations is being applied
26 to ensure that the mitigations are working as intended.

1 And, I guess, just my other question is whether
2 it's intended that the environmental management plan is
3 going to be updated to -- to outline the turbidity
4 monitoring that is being undertaken.

5 Thank you, Mr. Chair.

6 THE CHAIR: Thank you.

7 Applicant. Applicant, do you have any response to
8 question?

9 MR. ROY: Can you hear me? You hearing
10 me now?

11 THE CHAIR: Stephanie, go ahead.

12 Okay. Go ahead.

13 MR. ROY: Yeah.

14 THE CHAIR: Go ahead.

15 MR. ROY: Okay. Mr. Chair, I think that
16 we already explained the process in place to monitor
17 the turbidity this year, and most of the system is
18 already onboard to continue monitoring in 2021.

19 So you are asking to update the environmental
20 management plan? Yes. Once we complete the exercise,
21 we will update the environmental management plan to
22 resubmit.

23 Thank you, Mr. Chair.

24 THE CHAIR: Thank you.

25 Any more questions from ECCC?

26 MS. TOBIN: Thank you, Mr. Chair. Meagan

1 Tobin with Environment and Climate Change Canada. I
2 have no further questions.

3 THE CHAIR: Thank you.

4 Now I'd like to ask the -- the -- the Board --
5 Nunavut Water Board staff. Do you have any questions
6 to the applicant?

7 MS. AUTUT: Thank you, Mr. Chair.
8 Stephanie Autut, Nunavut Water Board.

9 Mr. Chair, we do have a few questions for the
10 Applicant, so I'm going to ask that the technical staff
11 address those questions at this time. Thank you.

12 THE CHAIR: Thank you.

13 Go ahead, Nunavut Staff.

14 Nunavut Water Board Staff Questions Environment and
15 Climate Change Canada

16 MR. KUFLEVSKIY: Thank you, Mr. Chair. This is
17 Sergey Kuflevskiy, the technical advisor of the Water
18 Board. I have a few questions for the Applicant.

19 On Slide 14, where you showed the volumes of water
20 projected, the volumes of water keep growing, but, from
21 our understanding, the bleeding water that is currently
22 used to dilute the sewage was supposed to drop once the
23 water treatment -- wastewater treatment plant is
24 constructed. So if everybody goes back to Slide 14,
25 you see that the percentages, the contributions from
26 the bleed water, keep going up even past the

1 construction of the wastewater treatment plant.

2 Could you please clarify why this is happening.

3 Because, from our understanding, this was the main --
4 the main reason why you wanted to -- one of the reasons
5 why you wanted to build the wastewater treatment plant,
6 to have the decrease in water intake to basically
7 prevent this water from being wasted on bleed in the
8 sewage.

9 Thank you, Mr. Chair.

10 THE CHAIR: Thank you.

11 Applicant.

12 MR. ROY: Thank you, Mr. Chair.

13 I think the water treatment -- wastewater
14 treatment plant is to -- proposed to bleed -- do you
15 see -- the -- the wastewater coming from the community.
16 So it is -- the bleed water is also part of the mixing
17 of the sewage, and the mix is coming through the
18 wastewater treatment plant. So wastewater treatment
19 plant -- I don't think we use the quantity of bleed
20 water because that process is before the treatment
21 process. I leave it to our consultant to explain
22 better.

23 Daryl and Tony, can one of you go ahead to
24 explain, please.

25 THE CHAIR: Thank you.

26 MR. WHALEN: Okay. Yeah. Thank you,

1 Bhabesh.

2 And, Daryl, you can correct me if I'm -- I'm
3 wrong.

4 But, yeah, I -- I'm not sure where it came out
5 that, you know, bleed water would be produced once the
6 wastewater treatment plant was constructed and
7 commissioned. In fact, yeah, that -- that's not the
8 impact that will happen by installing the wastewater
9 treatment plant. The -- the bleed water is used to
10 keep -- to keep things from freezing within the pipes,
11 so you need that water flowing constantly. And, yeah,
12 in this case, that -- that still has to happen even
13 after the wastewater treatment plant is installed.

14 So, yeah, I think that's -- that would be my
15 explanation for that. Hopefully that answers the
16 question.

17 Thank you, Mr. Chair.

18 MR. KUFLEVSKIY: Thank you. Thank you,
19 Mr. Chair. Thank you, Tony.

20 But if you look at this table, the increase is --
21 that would be disproportional. Like, if you look at
22 the percentages, you go from 35 percent to 40 percent,
23 so it's not your regular, like, 3 percent increase in
24 consumption. So how can you explain that?

25 MR. ROY: So, Tony, I think we -- you
26 want to explain, or you want Daryl to do?

1 THE CHAIR: State your name before you
2 speak for the record, please.

3 MR. ROY: Hi. Yes, Mr. Chair. This is
4 Bhabesh.

5 So I'm just requesting Tony or Daryl to go into
6 more details because the -- Sergey's question is water
7 treatment plant, but we are talking about bleeding
8 quantity. It's not increasing or decreasing, nothing
9 to do with the water treatment plant. So I think Tony
10 already explained, but the bleeding part is before the
11 treatment process. So you take these -- the water
12 treatment plant at -- or not the water treatment plant,
13 the bleeding quantity will increase according the
14 increasing of the population.

15 I don't think it adds any kind of the
16 relationship. In terms of volume, yes. But it --
17 building a wastewater treatment plant, it's nowhere it
18 can reduce the volume of the bleeding quantity. That's
19 my understanding. Let me -- will explain much better.

20 Tony.

21 MR. KUFLEVSKIY: Thank you, Bhabesh. Before
22 Tony -- this is Sergey Kuflevskiy. Before Tony answers
23 the question, I just wanted to clarify what exactly I
24 was asking about.

25 If you look at that table, for the year 2020,
26 you -- you have a 35 percent contribution from a --

1 contribution from -- for the bleed water. And if you
2 go to the year 2030, it increases by 3 percent to
3 38 percent. When you go to the next 10-year period, it
4 increases only by 1 percent. So why is such a
5 difference? Why does the water increase by 3 percent
6 in the first 10 years and only by 1 percent in the next
7 10 years? So is there something that we are missing
8 here, or this is going to be a part of the design?

9 Thank you.

10 THE CHAIR: Thank you.

11 Go ahead, Applicant.

12 MR. ROY: Okay. Thank you. Thank you,
13 Mr. Chair.

14 I think the explanation will come from the
15 consultant because the Char Lake -- I understand that
16 the part 20 to 30 is the 3 percent increase, and then
17 30 to 40 and 47, increase is not that significant; it's
18 going lower. So I think the -- Tony and Daryl could
19 explain it better.

20 So who will take over the call, Tony or Daryl?

21 MR. WHALEN: I can -- I can take that,
22 Bhabesh.

23 MR. ROY: Thank you.

24 MR. WHALEN: Tony Whalen speaking here.

25 Yeah. So, I -- I mean, I can look into this a
26 little further, but the -- the bleed water percentage

1 is the total amount of bleed water as a percentage of
2 the total water extracted. There may just be a -- a
3 rounding error in the -- the percentage there. But
4 you can see that the bleed water from 2020 to 2030
5 increases by approximately, you know, 40,000 litres a
6 day, and then from 2030 to 2040, it's, again, another
7 40,000 litres per day. So the actual amount of bleed
8 water per day, that increase over those ten-year
9 periods, is essentially the same.

10 So then you would have to look to the total water
11 extracted, and that's where that percentage comes from,
12 and that's why you see a bit of a difference in the
13 percentages there over -- over time.

14 So my explanation would be that the actual bleed
15 water itself, the -- there's a proportional increase in
16 that over time, but the percentage, the numbers are
17 slightly different because there are a number of
18 variables that are used to calculate that -- that
19 percentage in that case because it's based on
20 consumption -- total consumption. Hopefully that
21 explains it.

22 Thank you, Mr. Chair.

23 THE CHAIR: Thank you.

24 Water Board Staff.

25 MR. KUFLEVSKIY: This is Sergey Kuflevskiy.

26 Thank you, Tony. It is -- it -- thank you for

1 this explanation, but it is still quite confusing.
2 Like, you have the same pipe basically going in and out
3 of the town. The diameter -- like, dimensions of the
4 pipe did not change, so the volume of the water
5 contained in this pipe should theoretically stay the
6 same, but the volume of the water basically is
7 increasing.

8 So the bleed water -- like, how -- how does the --
9 what does the bleed water have to do with the intake
10 from the source? The bleed water is basically used to
11 keep the pipes warm and, to a certain extent, to dilute
12 the sewage. So can you please comment on the reason
13 why the actual volumes of the bleed water are growing.

14 Thank you.

15 THE CHAIR: Thank you.

16 Applicant.

17 MR. ROY: Thank you, Mr. Chair. I think
18 I can go back to Tony again to explain it more better
19 in detail.

20 Thank you, Tony.

21 MR. WHALEN: Yes. Thank you, Bhabesh.

22 Yeah. I -- I need to kind of take a look at my --
23 I'm just trying to call up my spreadsheet. So,
24 essentially, there was a design report prepared back in
25 2012, and it had some of these numbers in it, and then
26 I basically went in and updated it based on the fact

1 that, you know, we are not installing anything in 2012;
2 in fact, we're doing it in 2020.

3 So if you would allow me to just take a look at
4 some of these numbers to get you some of the
5 information that you're requesting, I -- I could
6 provide that to you later on during the hearing, if
7 that would be acceptable. I'd just like to take a look
8 at the numbers rather than just speculating off -- off
9 the cuff here. Does that sound okay?

10 Thank you, Mr. Chair.

11 THE CHAIR: Thank you.

12 Staff.

13 MR. KUFLEVSKIY: Thank you, Tony. This is
14 Sergey. Absolutely. Like, the -- the question can be
15 deferred, and you can answer it later on. It is
16 just -- in the Water Board's opinion, it's a very
17 critical question. Because if you remember, back in
18 2012, the lines were not exactly perfect, so there was
19 a lot of seepage and a lot of water loss through the
20 lines. But then the lines were repaired. So was this
21 fact accounted in the new design, or you're still
22 accounting for the -- for the water to be lost? But
23 you can absolutely confirm this later on during the
24 hearing, and we can move to the next question.

25 So my -- again, this is Sergey Kuflevskiy. My
26 next question would be about the wastewater treatment

1 plant itself. On your Slide 30, you're mentioning that
2 the biological/mechanical treatment is going to be
3 used. For the biological portion of the treatment, I
4 presume you would need to have it done indoors because
5 it is pretty difficult to -- to have any bacterial
6 growth at the temperatures of minus 60, minus 70. So
7 you are you planning to have a building specifically
8 dedicated for this biological treatment portion, and
9 how large of a building are we talking about?

10 Thank you.

11 THE CHAIR: Thank you.

12 Applicant, go ahead.

13 MR. ROY: Thank you, Mr. Chair.

14 So, Sergey, as you know, the -- we did not
15 complete the detailed design of the wastewater
16 treatment plant. It's -- a preliminary concept design
17 was submitted. However, your question is -- could be
18 answered clearly.

19 Daryl, you want to take over?

20 MR. BURKE: Yes. Thanks, Bhabesh. Daryl
21 Burke with EXP.

22 So to answer the -- the first portion of your
23 question there, Sergey, yes, absolutely, the entire
24 mechanical and biological portion of the treatment
25 system -- wastewater treatment system would be
26 contained within -- within a building, and the building

1 would be temperature controlled. So we would see a --
2 I would expect temperatures of a minimum of 15 degrees
3 Celsius in that space, which would be more than
4 adequate for the type of treatment technology that's
5 being proposed here. This treatment technology has
6 been used outdoors in southern locations within Canada,
7 so -- where temperatures do drop below freezing, below
8 zero degrees C, and it still is an effective treatment
9 technology, so -- however, in Resolute Bay, in the
10 building at temperatures of 15 degrees Celsius, there
11 would be no issues maintaining biological treatment.

12 To answer the second part of your question, I just
13 can't seem to put my hands on it right now, but there
14 is a conceptual drawing that's been done that shows the
15 building size, and I just can't seem to put my hands on
16 that drawing at the moment. If you would just let
17 me -- I can get back to you on that one. I know there
18 is a -- kind of a conceptional building plan that's
19 been developed, and I will find that and get that sized
20 for you.

21 MR. KUFLEVSKIY: Thank you, Tony. Yeah, you
22 can absolutely provide the answer later on during the
23 hearing. And I can maybe move to the next question.

24 So the next question would be about the
25 decommissioning plan for the pump house and the
26 Signal Hill water treatment plant. As it was mentioned

1 on Slide 16, this decommissioning plan was submitted to
2 the Water Board. When I went through this plan, all I
3 saw was the actual buildings of the pump house and the
4 water treatment plant with the infrastructure within
5 the buildings, but there was no coverage or there was
6 no mention of the old intake lines or what is going to
7 be -- how the old intake lines are going to be
8 remediated. This is a very critical point. And the
9 question is whether the proponent is planning to update
10 the decommissioning plan to account for these items?

11 Thank you.

12 THE CHAIR: Thank you.

13 Applicant, go ahead.

14 MR. ROY: Thank you, Mr. Chair.

15 I think in the presentation one of the slides
16 shows that the -- the intake line from the Char Lake to
17 the existing pump station and the existing pump station
18 to the water plant, so this is the intake. So this
19 intake has to be decommissioned. Also, the outfall
20 from macerator unit to the sea -- that outfall pipe,
21 that also the -- part of the decommissioning.

22 So three components of the pipe system, the intake
23 from the Char Lake to the pump station, pump station to
24 the water treatment plant, and also the macerator
25 building to the outfall to the sea -- so three sections
26 of the pipe has to be decommissioned. A lot will be in

1 pump station, macerator building, blue building.

2 So those are the pumps that has to be
3 decommissioned.

4 MR. KUFLEVSKIY: Thank you, Bhabesh. This
5 answers my Question Number 3.

6 And now I can move to Question Number 4. Question
7 Number 4 is about the wastewater treatment plant
8 design. So, basically, the new wastewater treatment
9 plant is going to be receiving sewage from both the
10 hamlet and the airport. Will you count the
11 influent characteristics from these -- both places when
12 designing the report?

13 Thank you.

14 THE CHAIR: Thank you.

15 Applicant, go ahead.

16 MR. ROY: Thank you, Mr. Chair.

17 I think the -- I did a presentation saying that
18 there's a limit of the wastewater coming from the truck
19 system and also coming from the -- to the system after
20 bleeding. So while the two systems with two different
21 quality mix together, and then the treatment process
22 will start.

23 Again, the -- I think this question was raised in
24 the last technical meeting as well, so I'm requesting
25 Daryl to explain it in detail.

26 Daryl, please.

1 MR. BURKE: Yeah. Thanks, Bhabesh. Daryl
2 Burke here again, EXP.

3 Yes. We've accounted for both of the sites, both
4 the airport site and the townsite, and -- and we've
5 accounted for those in terms of both flow as well as
6 concentration of contaminants of BOD and TSS. That
7 being said, the existing treatment system is sized
8 that -- such that it can handle BOD concentration up to
9 110 milligrams per litre and the total suspended solids
10 of up to 125 milligrams per litre.

11 So it -- that would be much more concentrated than
12 what we would expect to see on a typical basis here due
13 to the bleed water flow and the dilution effect that
14 you get from that in your wastewater stream. However,
15 we -- we did want to make sure that system was sized
16 such that if there are future efforts to reduce the
17 bleed water that we don't put ourselves in a situation
18 where the concentration is -- is higher than the system
19 can handle.

20 We've also followed up with the manufacturers of
21 the proposed treatment technology and confirmed that it
22 can handle both the hydraulic capacity, which is a
23 concern because of that bleed water flow, but it can
24 also handle the influent concentrations that I just
25 mentioned. So anything up to those concentrations
26 would be acceptable, and we anticipate that we'll be

1 well within those design parameters here in the hamlet,
2 especially given the bleed water flow.

3 I hope that answers your question.

4 MR. KUFLEVSKIY: Thank you, Daryl. This is
5 Sergey Kuflevskiy from the Water Board. This answers
6 my question partly.

7 So are you going to provide the actual chemical
8 parameters, the characteristics, something for us to
9 visualize what parameters we can expect? Because I
10 don't think the full characteristics has been provided
11 to date. It would be very nice for the Water Board to
12 see a visual, like a table, with all the parameters and
13 the expected characteristics. Thank you.

14 MR. BURKE: Okay. Yeah. Daryl -- Daryl
15 Burke here again.

16 In -- I don't know, Sergey, if you've seen, we did
17 a memo, technical memo, prepared by EXP. It was in
18 March of -- of 2020, and that was basically an update
19 to the previous design report that had been done in
20 2012. And we did provide the recommended -- there is a
21 table in there with recommended influent wastewater
22 characteristics for design.

23 As I mentioned, though, those are the -- the
24 recommended -- I guess, the recommended design
25 characteristics, not necessarily the estimated
26 concentrations of what you would maybe expect to see in

1 the hamlet knowing that our design concentrations that
2 we've recommended are on the conservative side to allow
3 for future reductions in bleed water flow.

4 I'm not sure that we have -- well, I -- we have
5 done estimates of the wastewater characteristics that
6 we would expect to see with the bleed water flow
7 accounted for. I don't have those numbers in front of
8 me right at the moment, but they're well less than what
9 the influent design parameters are.

10 MR. KUFLEVSKIY: Thank you, Daryl. This is
11 Sergey.

12 If I remember correctly, that memo from March 2020
13 only accounted for the sewage coming from the hamlet,
14 and it did not account for the sewage portion coming
15 from the airport. So it wasn't a combined -- the
16 parameters were not from the combined sewage. Can you
17 confirm that, please. Thank you.

18 THE CHAIR: Thank you.

19 MR. BURKE: So, yeah. Daryl Burke here
20 again.

21 I'm just -- actually, I'm -- I'm looking through
22 that memo as -- as we're speaking right now, Sergey,
23 and I -- I do believe that we did account for both the
24 townsite and the airport site in those values. What I
25 would like to do, however, is -- the report that I have
26 in front of me is just a summary of, obviously, the

1 design calculations that have been done at that point.
2 Since you've asked the question, though, I would like
3 to take the opportunity to go back through the design
4 calculations and confirm that. I -- I believe that it
5 has accounted for both sites at this time, but I will
6 go back through those calculations and double-check
7 that for you.

8 MR. KUFLEVSKIY: Yeah. Thank you, Daryl.
9 Yeah. It would be greatly appreciated.

10 Now, Question Number 5: On Slide 27, you provided
11 fecal coliform parameters, basically, fecal coliform
12 data, and from my understanding, this data is for the
13 pre-wastewater treatment construction. Did you -- or
14 do you have any estimates for the post-water --
15 wastewater treatment plant construction for parameters
16 or not yet?

17 Thank you.

18 THE CHAIR: Thank you.

19 Applicant.

20 MR. ROY: Mr. Chair, I think the --
21 we -- we was -- we were requested by ECCC to develop
22 the fecal coliform parameters based on the existing
23 effluent quality. So that we did. A memo was sent to
24 the Water Board.

25 But to answer to Sergey's question, I don't think
26 we prepare any kind of technical memo on the fecal

1 coliform for the -- for new wastewater treatment plant,
2 and I'm not sure that we can provide this until the
3 detail design is finalized.

4 So, Daryl, you want to add anything?

5 MR. BURKE: Yeah.

6 MR. ROY: Daryl?

7 MR. BURKE: Daryl Burke here, EXP.

8 I -- I do agree with you, Bhabesh. I think the
9 intent was to try to help define a limit. If I -- I
10 understand correctly what we were supposed to have
11 provided was to help define a -- you know, a discharge
12 limit for fecal coliforms as opposed to necessarily
13 trying to define what the influent concentration was
14 expected to be. I know we did do some of that.

15 Tony, I might ask you just to maybe jump in there
16 if you feel I'm saying something incorrectly here,
17 but --

18 MR. WHALEN: Yeah, I can. Tony Whalen
19 speaking.

20 Yeah. So we -- we essentially prepared a
21 technical memo to develop fecal coliform limits to be
22 used prior to construction of the wastewater treatment
23 plant. So, yeah, we did not look at establishing any
24 sort of limits on fecal coliform once the treatment
25 plant is in place. So, yeah, that's -- you were
26 correct, Daryl. That's -- and that's pretty much all I

1 can say at this point. We -- we haven't developed any
2 of those numbers as of yet until we finalize the design
3 of the wastewater treatment plant and effluent
4 characteristics.

5 Thank you, Mr. Chair.

6 THE CHAIR: Thank you.

7 Go ahead, Staff.

8 MR. KUFLEVSKIY: Thank you, Tony. Thank you,
9 Daryl. Thank you, Bhabesh. This answers my questions.
10 And if you can provide that information that you
11 promised to provide earlier, that would be great. But
12 this answers all of my questions. Thank you.

13 THE CHAIR: Thank you. Okay. Thank you,
14 Staff.

15 Now, I'd like to ask the Panel members, do you
16 have -- yeah, we do have a question regarding ...
17 Nunavut Water Board Questions the Government of
18 Nunavut, Community Government Services

19 MR. SOWDLOOAPIK: Thank you, Mr. Chairman.

20 My name is Sakaisie Sowdlooapik. I'm with the
21 Water Board. Okay. Again, my name is Sakaisie. I'm
22 with the Water Board. Thank you for all the
23 presentations throughout the morning and this
24 afternoon.

25 In many of the presentations today, I, myself,
26 being very interested about a place called

1 "Char Lake" -- by the way, I'm fisherman back home.
2 Surrounding the Char Lake there seems to be many plans
3 for the future for up to 2047, from 2020, and I'd like
4 to know if this is very large lake, first of all, or if
5 there -- secondly, Mr. Chairman, if there is some
6 species in that lake, such as fish or other ecosystem
7 in the lake. And, thirdly, I am very interested from
8 the community members if there is traditional knowledge
9 [OTHER LANGUAGE SPOKEN] surrounding that lake.

10 Thank you, Mr. Chairman.

11 THE CHAIR: Thank you, Panel Member.

12 Applicant.

13 MR. ROY: Thank you. Thank you,

14 Mr. Chair.

15 You're asking -- one of the member asking for --
16 is there any other lake? My answer is yes.
17 Technically there are two lakes. One is called the
18 "airport lake", and another is called "Char Lake". The
19 airport lake many years ago was abandoned. The
20 airport -- we had a pump station and the airport lake,
21 which was used that supply water in the airport area.
22 That pump station is even done. The pipes --
23 everything is there, but we are not using it. And same
24 city, next to the -- the runway, the water quality was
25 considered contaminated, so we don't use that lake
26 anymore.

1 So we have only the one lake, which is Char Lake.
2 Now, you are asking for the fish habitat and the
3 capacity. We are using a fish screen. Fish might be
4 there. We don't have any kind of fish habitat study on
5 the lake, but there is a fish screen at the end of the
6 intake, and that intake is -- this contained --
7 considering where is the fish, considering there is a
8 fish, and fish cannot go inside the pipe. That's why
9 DFO, they have a special regulation to use the fish
10 screen at the end of the intake. So we have the screen
11 protecting. No fish can come inside the pipe.

12 Regarding the capacity -- so this is a hard
13 question -- we have a hydrology test study and are --
14 are -- done two years ago, so we know the
15 sustainability of the lake, what is the maximum
16 capacity of the lake. And we -- we did that study,
17 and, based on that, we know that -- how long the -- our
18 present system can run. In one of the presentation, we
19 indicated that 2040 -- after, the present bleeding
20 system will be challenging because we should not go to
21 extract more water, what is needed in 2040, because the
22 lake has not an enough capacity to feed the entire
23 consumption volume if the bleeding water's spent.

24 So in order to -- in answer to your question, our
25 water permit we requested for 2040, and we are
26 comfortable, and we have sufficient water in the lake

1 to supply water to our demand.

2 Tony, you want to add something? This is your --
3 another technical memo.

4 MR. WHALEN: Tony Whalen speaking.

5 No, Bhabesh. I think -- I believe you covered
6 everything in there. Yeah. I think you addressed
7 everything in there.

8 Thank you.

9 MR. ROY: Thank you, Tony. Thank you.

10 THE CHAIR: Thank you.

11 Staff, go ahead.

12 MS. AUTUT: Thank you, Mr. Chair.

13 Stephanie Autut, Nunavut Water Board.

14 Thank you, Sakaisie, for the question. Tonight is
15 also the community session where we're hoping to have
16 residents from the community attend to hear similar
17 presentations, so it would be -- it would be acceptable
18 to, again, tonight ask that question directly to the
19 community members and generate some discussion around
20 your traditional knowledge question.

21 THE CHAIR: Okay. Thank you. I think we
22 are done with the Application [sic] -- questioning the
23 Application with their presentation at the moment.

24 So before we are moving on to interveners, I'd
25 like to get a break. 15-minute break.

26 (ADJOURNMENT)

1 THE CHAIR: So now we -- we turn to a
2 presentation by interveners. I remind interveners that
3 before they begin their presentation our legal counsel
4 need you to swear or affirm and verify the materials
5 you will be presenting and marketing as exhibit.

6 Teresa, please proceed with the procedural
7 matters.

8 MS. MEADOWS: Thank you, Mr. Chair. Teresa
9 Meadows, legal counsel for the Nunavut Water Board.

10 So it's my understanding that the next presenters
11 will be Crown-Indigenous Relations and Northern
12 Affairs, so if I can get you to come up to the
13 interveners' table, please. If I can get the witnesses
14 to state and spell your name for the record, please.

15 MR. OKONKWO: Thanks, Teresa. So my name is
16 Godwin Okonkwo, so G-O-D-W-I-N O-K-O-N-K-W-O.

17 MS. FORTE: My name is Sarah Forte,
18 S-A-R-A-H F-O-R-T-E.

19 MS. MEADOWS: Thank you. Teresa Meadows,
20 legal counsel for the Nunavut Water Board.

21 Do the witnesses wish to be sworn or affirmed?

22 MR. OKONKWO: We can be affirmed.

23 GODWIN OKONKWO, SARAH FORTE, Affirmed

24 MS. MEADOWS: Teresa Meadows, legal counsel
25 for the Nunavut Water Board.

26 Mr. Chair, I have two hard copy presentation

1 materials that I will be marking as the next two
2 exhibits in this public hearing, being a copy of the
3 presentation that Crown-Indigenous Relations and
4 Northern Affairs is about to present in English and
5 Inuktitut in one version, and then I also have the
6 summary of Crown-Indigenous Relations and Northern
7 Affairs Canada's review of the water licence
8 application, and I propose to file those as the next
9 two exhibits in this public hearing. And those are my
10 procedural matters, Mr. Chair.

11 EXHIBIT 7 - Hamlet of Resolute Bay utilidor
12 renewal application for Water Licence

13 3AM-RUT--- (English/Inuktitut)

14 EXHIBIT 8 - Summary of Crown-Indigenous and
15 Northern Affairs Canada review of Water
16 Licence Application 3AM-RUT---

17 (English/French/Inuktitut)

18 THE CHAIR: Thank you, Teresa.

19 So Crown-Indigenous Relations and Northern
20 Affairs, go ahead with your presentation.
21 Presentation by Crown-Indigenous Relations and Northern
22 Affairs Canada

23 MR. OKONKWO: Thank you, Mr. Chair.

24 So good day, everyone. My name is Godwin Okonkwo.
25 I am the manager of watering resources from
26 Crown-Indigenous Relations and Northern Affairs Canada.

1 I would like to thank the Nunavut Water Board for this
2 opportunity to make a presentation and for the
3 intervention regarding the Government of Nunavut,
4 Community and Government Services' application to renew
5 and amend its 3BM-RUT1520 water licence as a Type "A"
6 water licence.

7 I am joined today by Sarah Forte, the water
8 management specialist. She's the lead on this file.
9 So if you have any questions, please send them to her.
10 Just kidding.

11 On behalf of Crown-Indigenous Relations and
12 Northern Affairs Canada, I would like to acknowledge
13 the Nunavut Water Board's work in facilitating this
14 licence application review process and the Government
15 of Nunavut, Community and Government Services for their
16 efforts to respond to our questions and concerns.

17 So as we do this presentation, I'd just like to
18 state that I will do parts of the presentation, and
19 Sarah Forte will do other parts of the presentation.
20 Throughout this presentation, I will refer to
21 Crown-Indigenous Relations and Northern Affairs Canada
22 as "the department", and the acronym "CIRNAC" is used
23 on the slides, and I will refer to the Government of
24 Nunavut, Department of Government -- Community and
25 Government Services as "the Applicant".

26 So I will start with a brief overview of

1 Crown-Indigenous Relations and Northern Affairs
2 Canada's responsibilities with respect to the licence
3 application. I will also list contributions that have
4 been made by the department during this process. The
5 topics of the technical review follow the list of
6 issues identified by the Board in their prehearing
7 conference decision. In the course of this process,
8 the department raised nine technical comments, which
9 have been assigned to different issues for discussions.
10 The issues identified have been resolved through
11 discussions at the technical meeting and updated
12 materials submitted by the Applicant.

13 And so the issue areas are, Number 1, scope and
14 term of licence, compliance, water supply, wastewater
15 treatment, management plans and reports, monitoring,
16 closure and reclamation planning.

17 So the department has a broad mandate for
18 comanagement of freshwater resources and the management
19 of Crown land in Nunavut under the Act, Regulations,
20 and the Nunavut Agreement listed on the slides. The
21 department administers and enforces regulatory
22 authorizations that pertain to Nunavut's Crown land and
23 freshwater resources. Now, the department participates
24 in water licence processes administered by the Nunavut
25 Water Board, along with other interested parties
26 providing technical advice and expertise for the

1 Board's consideration. It's important to note, also,
2 that the department also issues land-use permits and
3 lessees for Crown land.

4 To date, the department has made full
5 contributions in the course of the Government of
6 Nunavut, Community and Government Services water
7 licence application review. At the beginning of this
8 application process, the department did a preliminary
9 completeness review, and a written memorandum was
10 provided on March 26, 2020.

11 Following the completeness review, the department
12 conducted a technical review of the application. The
13 comments and recommendations were provided for the
14 Board's -- the Nunavut Water Board's consideration in a
15 written memorandum on June 12th, 2020.

16 The department participated in a technical meeting
17 and prehearing conference on July 14th, 2020.

18 The department also provided a final written
19 submission to the Nunavut Water Board on
20 September 24th, 2020.

21 So on the first issue, which is on the scope and
22 term of the licence, the department agrees with the
23 changes to the scope of the licence described in the
24 prehearing conference decision report list of issues.
25 It covers new infrastructure elements to be added to
26 the licence and retains those which have not yet been

1 decommissioned.

2 During the technical meeting, there were
3 discussions on the possibility of the Applicant
4 requesting a licence term longer than ten years. On
5 August 4th, 2020, the Applicant submitted an updated
6 renewal application requesting a 20-year licence term.
7 The department supports this request. We understand
8 that during this 20 years there will likely be
9 amendments, including the potential incorporation of
10 facilities currently licensed under 3BM-RES2025, which
11 covers the solid waste facilities.

12 At this point, I would like to call on Sarah to
13 carry on with some more part -- technical parts of the
14 presentation.

15 Thank you, Mr. Chair.

16 THE CHAIR: Thank you.

17 MS. FORTE: So the recently expired
18 licence for the Resolute Bay utilidor, which was
19 3BM-RUT1520, had several conditions which were not
20 realized during the term of the licence. The
21 department is of the opinion that they are being
22 addressed during this renewal application process. The
23 conditions can be grouped into four topics.
24 Monitoring -- the first is monitoring water quantity at
25 the intake and the outfall, and this is to be addressed
26 by installing flow meters. Our understanding is that

1 there's already one that has been installed at the
2 macerator building, and, just earlier, we were
3 discussing the installation of the one at the pump
4 house. And there's been a commitment to that, so we're
5 satisfied, along with a timeline.

6 Another topic is the annual authorized water use.
7 The previous licence authorized the use of
8 120,000 cubic metres a year, which was not enough to
9 meet community needs, and with this application, an
10 increased amount has been requested, and that's a
11 positive step.

12 The third topic was a site-specific study for the
13 determination of the fecal coliform limit, which was
14 submitted on September 2nd of this year, and we'd like
15 to flag an error in referencing in our final written
16 submission. We had referred to this as "Licence
17 Condition Part C, Item 4" when, in fact, it is "Part D,
18 Item 4". So that was a mistake that might make reading
19 our final submission a little bit more complicated.

20 And the fourth condition that hadn't been realized
21 was updated operation and maintenance manuals. One for
22 the -- the utilidor has been provided in the course of
23 this application, and a timeline, based on the
24 commissioning of new infrastructure, was agreed to for
25 outstanding manuals, and the -- like, the ones for the
26 pump house and water treatment plant.

1 So the third topic in the list of issues was the
2 water supply, and the hamlet's water source is
3 Char Lake, and a pump house on this lakeshore is used
4 to draw water, which is piped to Signal Hill where
5 there's a water treatment plant and storage tank.
6 Water's distributed through the utilidor system built
7 in 1978 and upgraded in the last five years. Water
8 delivery to the airport sector is through truck
9 services.

10 The department had three technical comments
11 related to water supply. The first was the quantity of
12 water requested, and I earlier asked for clarification,
13 and -- and -- and we're satisfied now the -- on the
14 quantity of water being requested and understand it to
15 be unchanged at 216,528 cubic metres per year.

16 Work on upgrading the pump house and water intake
17 started last year, continued this year, and we
18 understand will be complete next year. The department
19 had three recommendations regarding this work: The
20 first was asking for an environmental management plan
21 addressing concerns about potential environmental
22 impacts, including the flushing of total suspended
23 solids and hydrocarbon contaminated soils into
24 Char Lake during the work. It was provided on
25 August 12th and satisfied our concerns, although we
26 understand that Environment and Climate Change Canada

1 have outstanding concerns and would like to see it
2 updated, and we see -- we support their request.

3 We also asked for a decommissioning and
4 remediation plan for the old pump house. In their
5 June 29th response, the Applicant committed to
6 providing a plan 60 days prior to starting
7 decommissioning work; however, on September 25th, the
8 applicant provided a decommissioning plan for both the
9 pump house and the water treatment plant. This was
10 submitted after we had shared our final written
11 comments with the Board, so we haven't had a chance to
12 give our technical review on this, and we'd like to
13 flag that this plan does not cover some of the elements
14 that are necessary for a reclamation plan, including
15 what condition the site would be left in and, as Sergey
16 mentioned earlier, the -- the intake and -- and how all
17 of the old building and its foundation might be
18 removed -- or left there.

19 And our third comment regarding the construction
20 had to do with ensuring the integrity of the water
21 intake pipe insulation during construction, and the
22 applicant committed to considering constructions [sic]
23 designs to ensure integrity.

24 And, finally, the last point on this slide has to
25 do with leaks in the laterals of the utilidor. So
26 as -- as discussed earlier, the utilidor system was

1 replaced in 2016, which is relatively recently, and --
2 and leaks aren't a big issue; however, during a meeting
3 in the community in -- in December of last year,
4 leaks -- individuals reported leaks from laterals
5 connecting to homes and buildings, and the occupants
6 did not know how to get -- who to contact to get the
7 leaks fixed. The laterals are not the responsibility
8 of the contractor servicing the utilidor, and in the
9 course of the technical meeting, the Applicant
10 clarified the different organizations that community
11 members could contact to raise a concern or ask for
12 help. And at the technical meeting, Steve Piercey from
13 the Hamlet indicated he would make a public service
14 announcement to share the information with the
15 community.

16 Okay. All right. On to wastewater treatment:
17 Currently the wastewater collected by the utilidor
18 passes through a macerator to remove solids before
19 being discharged into the ocean. Construction of a
20 neuro-wastewater treatment plant is planned for 2024.
21 The new plant would have the capacity to treat sewage
22 from town, as well as sewage generated in the airport
23 sector, which is currently sent to a sewage lagoon
24 covered by Water Licence 3BM-YRB1621.

25 The department had comments regarding the plans
26 for the new wastewater treatment plant, which is at the

1 predesign stage. Treatment targets for the plant were
2 discussed at the technical meeting. The Applicant
3 committed to submitting a detailed design brief and
4 plans for the plant at least 60 days prior to
5 construction, which would satisfy our concerns. The
6 department recommends that the Nunavut Water Board
7 consider including this as a condition in the new
8 licence.

9 And then I'll pass it back on to Godwin.

10 MR. OKONKWO: Thanks, Sarah. So this is
11 Godwin again, Crown-Indigenous Relations and Northern
12 Affairs Canada.

13 So our fifth comment was on the management plan
14 and reports. Management plans and operations and
15 maintenance manuals describe concepts and strategies --
16 how concepts and strategies will be implemented. The
17 review allows us to understand what actions will be
18 taken on the ground to make sure things work as planned
19 to protect water.

20 The department had three technical comments
21 related to plans and manuals. Number 1: Operation and
22 maintenance manuals for the infrastructure were missing
23 from the application, in part, because all system
24 components were or are undergoing upgrades. The
25 department recommended plans be provided and is
26 satisfied with the timelines discussed.

1 For the water treatment plant, the Applicant
2 committed to providing an operation and maintenance
3 manual for the wastewater treatment plant and pump
4 house after commissioning. The department recommends
5 that the Nunavut Water Board consider including this as
6 a condition in a new water licence specifying a
7 timeline.

8 The Applicant had also committed to providing a
9 manual for the utilidor once the upgrades were
10 completed, including the 500-metre outfall line into
11 the ocean. The Applicant already provided this manual
12 on September 25th, 2020, which is really encouraging to
13 see. The department's comment on the submitted manual
14 is that it is a significant improvement over previously
15 submitted material because it details how to operate
16 and maintain the utilidor system. However, we note
17 that the cover page does not reflect the date of the
18 latest update. We're expecting this manual would be
19 updated again after the outfall line to the ocean is
20 commissioned, unless operation information is included
21 in another manual.

22 Also, a risk has been identified in the macerator
23 building, and the department's concerns were satisfied
24 by the submission of Resolute Bay sewage macerator
25 facility operations and maintenance procedures on
26 August 4, 2020. A further memo on the topic was

1 provided by the Applicant on September 25th, 2020.

2 Another plan, the spill contingency plan, included
3 with the application material had certain sections
4 which did not seem to be adapted for Resolute Bay. The
5 Applicant addressed this in an updated plan submitted
6 on June 29, 2020. The plan was resubmitted on
7 September 25th, 2020, with a different cover page.

8 Another plan is the quality assurance and quality
9 control plan. So some deficiencies were noted in the
10 quality assurance and quality control plan that was
11 submitted with the application. These were corrected
12 to the department's satisfaction in an updated version
13 submitted on June 29th, 2020. This same plan was
14 resubmitted on October 19th with greatly improved
15 formatting and some positive additions, like proper
16 appendices.

17 Okay. So our sixth comment was on monitoring.
18 The recently expired licence, the current licence,
19 requires monthly samples at the Station RUT-2, the
20 sewage outfall to the ocean. Several years of data are
21 available and indicate the quality is not very
22 variable, and it is possible to identify outliers with
23 the current data. Quarterly sampling might be
24 sufficient to flag any sufficient change and would
25 facilitate easier compliance with licensed terms. The
26 Applicant agrees to this change, so CIRNAC is

1 recommending that the Board considers modifying
2 sampling requirements at RUT-2 until a water treatment
3 plant is built.

4 Another comment that we had was on closure and
5 reclamation planning. So the infrastructures being
6 decommissioned will need to be reclaimed, including the
7 macerator building and the blue building beside it, the
8 old pump station, the old intake line, and the old
9 outfall line. The applicant has committed to providing
10 these plans should the requirement be in the renewed
11 water licence. The department recommends that the
12 Nunavut Water Board include provision of these
13 reclamation plans as a condition in the new water
14 licence.

15 About four slides ago we mentioned that the
16 Applicant submitted a decommissioning plan for the
17 Char Lake pump house and Signal Hill water treatment
18 plant, which is an amazing first step; however, we
19 mentioned that they had deficiencies with the
20 reclamation -- the decommissioning plan. And, as
21 stated by Sarah, the plan should have at least
22 something put in it to identify what the -- how the
23 Applicant hopes to leave the site after
24 decommissioning. So reclamation, we would hope, is --
25 you're taking the environment back to what it was
26 before and not just removing stuff from it.

1 CIRNAC supports the Government of Nunavut,
2 Community Government Services' renewal application and
3 recommends that it be accepted with due considerations
4 given to our comments. Qujannamiik.

5 THE CHAIR: Thank you. Okay. Thank you
6 for your presentation.

7 Does the GN-CGS have any questions to the
8 intervenors?

9 Stephanie, go ahead.

10 MS. AUTUT: Thank you, Mr. Chair.
11 Stephanie Autut, Nunavut Water Board.

12 Bhabesh, the Chair is directing a question to you,
13 whether or not you have questions for CIRNAC at this
14 time. We believe you may still be muted. If you could
15 unmute your phone, please. Thank you.

16 MR. ROY: Yeah. Mr. Chair, I don't have
17 any question, but if you allow me, I just do a
18 clarification. Hello?

19 THE CHAIR: Hello. Teresa -- Teresa have
20 to speak.

21 MS. MEADOWS: Thank you, Mr. Chair. Teresa
22 Meadows, legal counsel for the Nunavut Water Board.

23 So I believe that -- correct me if I'm wrong,
24 Mr. Roy, but that you wanted to make a clarification or
25 a -- of -- of either something that Crown-Indigenous
26 Relations and Northern Affairs Canada said, or is it a

1 clarification with respect to what was previously said
2 by the Applicant?

3 MR. ROY: No. Thank you, Teresa and
4 Mr. Chair.

5 My clarification to the presentation of CIRNAC, so
6 if you allow me -- I don't have a question, but I just
7 make a clarification so that the audience -- it's easy
8 to understand how the system would be working inclusive
9 until the new system onboard.

10 MS. MEADOWS: Thank you, Mr. Chair. Teresa
11 Meadows, legal counsel for the Nunavut Water Board.

12 Thank you for that clarification. Mr. Chair has
13 indicated that you can proceed.

14 Comment by the Government of Nunavut, Community
15 Government Services

16 MR. ROY: Thank you, Mr. Chair.

17 Thank you for the presentation and acceptance of
18 the documents submitted and the -- your analysis of
19 different issues and so on. Thank you, CIRNAC.

20 So my clarification is the -- we are running
21 the -- the pump station, and we are going to build and
22 commissioning a new pump station within the parallel
23 connection. So we cannot go for decommissioning until
24 we see the new pump station is functioning to the
25 satisfaction. So once we see a new pump -- the new
26 pump station is functioning good, and then we are going

1 to decommissioning of the intake line of the old pump
2 station.

3 So, again, the clarification is the same way at
4 the outfall -- the macerator and the outfall line are
5 different from the new wastewater treatment plant and
6 the outfall line. So while the new wastewater
7 treatment plant is built, the same way, we will test
8 the new plant; we see how it works. And we have to
9 make sure the new water -- wastewater treatment plant
10 is working to the satisfaction, and then we'll
11 disconnect the line, and we decommission the macerator
12 building, blue building, and the outfall line. And the
13 same way, once we are accepting the sewage from the --
14 the airport sewage lagoon, then -- to the wastewater
15 treatment plant and it is functioning to the
16 satisfaction, that building -- we'll be considering to
17 start decommissioning of the airport sewage lagoon.

18 So this is the -- the transition and the
19 replacement, new facility by the -- old facility by the
20 new facility. So this is the course of action we have
21 to continuing because system cannot be stopped for one
22 second. System has to go. So this is why we are
23 running the system in a way -- we are not going to
24 decommission the old facility just like this until the
25 new facility will be functioning to the satisfaction.

26 Thank you, Mr. Chair.

1 THE CHAIR: Okay. Thank you. Thank you,
2 [sic] Roy. Okay. That was -- that wasn't really a
3 question, so -- clarification. So thank you.

4 And I'd like to ask the -- Environment and Climate
5 Change, do you have any questions or comments to the
6 intervention from CIRNAC?

7 MS. GRAHAM: This is Anna Graham,
8 Environment and Climate Change Canada. We have no
9 questions at this time.

10 THE CHAIR: Thank you.

11 Does the Nunavut Water Board staff have any
12 questions or comments?

13 MS. AUTUT: Thank you, Mr. Chair.
14 Stephanie Autut, Nunavut Water Board.

15 The staff have no questions at this time.
16 Thank you.

17 THE CHAIR: Thank you.

18 Does the Panel Members have any questions or
19 comments? Okay. I get that there's none.

20 Thank you, CIRNAC, for your presentation.

21 So continue on with the intervention. Now I'd
22 like to call upon Environment and Climate Change Canada
23 to have a -- to present your presentation. So legal
24 counsel will take over for your swear-in.

25 MS. MEADOWS: Thank you, Mr. Chair. Teresa
26 Meadows, legal counsel for the Nunavut Water Board.

1 If I can have the witnesses state and spell their
2 name for the record, please.

3 MS. GRAHAM: Anna Graham, Environment and
4 Climate Change Canada. A-N-N-A G-R-A-H-A-M.

5 MS. TOBIN: And Meagan Tobin, M-E-A-G-A-N
6 T-O-B-I-N.

7 MS. MEADOWS: Thank you. Teresa Meadows,
8 legal counsel for the Nunavut Water Board.

9 If I can have the witnesses affirm. When I
10 complete the statement, if you can say "I affirm" and
11 give your name for the record, that would be
12 appreciated.

13 ANNA GRAHAM, MEAGAN TOBIN, Affirmed

14 MS. MEADOWS: Thank you. Teresa Meadows,
15 legal counsel for the Nunavut Water Board.

16 Mr. Chair, I have two exhibits to file in respect
17 of the evidence about to be given by Environment and
18 Climate Change Canada, and that consists of their
19 presentation materials in English and in Inuktitut, and
20 I will file those as the next two exhibits in the
21 public hearing. And those are my procedural matters,
22 Mr. Chair.

23 EXHIBIT 9 - PowerPoint presentation from
24 Environment and Climate Change Canada to the
25 Nunavut Water Board respecting the
26 Resolute Bay Type "A" Water Licence Renewal

1 and Amendment (English)
2 EXHIBIT 10 - PowerPoint presentation from
3 Environment and Climate Change Canada to the
4 Nunavut Water Board respecting the
5 Resolute Bay Type "A" Water Licence Renewal
6 and Amendment (Inuktitut)

7 THE CHAIR: Thank you, Teresa.

8 So Environment and Climate Change Canada, you may
9 go ahead with your presentation.

10 Presentation by Environment and Climate Change Canada

11 MS. GRAHAM: Thank you, Mr. Chair.

12 Good afternoon, everyone. My name is Anna Graham.
13 I am an environmental assessment coordinator with
14 Environment and Climate Change Canada. And with me,
15 who just spoke as well, is our water quality analyst,
16 Meagan Tobin.

17 I would like to thank the Nunavut Water Board for
18 this opportunity to make an intervention for this water
19 licence, as well as to Crown-Indigenous Relations
20 Northern Affairs Canada, the Government of Nunavut,
21 Community and Government Services, and the Hamlet of
22 Resolute Bay.

23 I will start by presenting the department's
24 mandate and briefly touch on the Act and Regulations
25 that are relevant to Environment and Climate Change
26 Canada and which guide a review of the current

1 application. Following that, Meagan will outline the
2 comments and recommendations provided in our final
3 submission regarding the application for a Type "A"
4 water licence.

5 Environment and Climate Change Canada's mandate is
6 to preserve and enhance the quality of the natural
7 environment, including water, air, and soil quality.

8 Wait one moment.

9 Our mandate is also to conserve Canada's renewable
10 resources, including migratory birds; conserve and
11 protect Canada's water resources; forecast daily
12 weather conditions, so meteorology; enforce those
13 regulations --

14 THE CHAIR: Just hold on a second.

15 We have to negotiate here at the moment.

16 Staff.

17 MS. AUTUT: Thank you, Mr. Chair.

18 Stephanie Autut, Nunavut Water Board.

19 Mr. Chair, we're experiencing some technical
20 difficulty with getting the presentation up on the
21 screen, so if we could take a short five-, ten-minute
22 break to -- to resolve that matter. I'd encourage the
23 Panel and -- and members of the audience to help
24 themselves to a coffee or a -- or a juice box or
25 something, but we'll be back in a few minutes with --
26 with the presentation. Thank you.

1 THE CHAIR: Okay. Yeah, we'll -- we'll do
2 that. Thank you.

3 (ADJOURNMENT)

4 THE CHAIR: Okay. Environment and Climate
5 Change Canada, you may go ahead now with your
6 presentation.

7 MS. GRAHAM: Thank you, Mr. Chair. Anna
8 Graham, Environment and Climate Change Canada.

9 I will continue where I left off before the break.
10 I was speaking to Environment and Climate Change
11 Canada's mandate.

12 Our mandate is to preserve and enhance the quality
13 of the natural environment, including water, air, and
14 soil quality; to conserve Canada's renewable resources,
15 including migratory birds; to conserve and protect
16 Canada's water resources; to forecast daily weather
17 conditions; to enforce those regulations; and to
18 coordinate environmental policies and programs for the
19 federal government. This mandate is governed by
20 several Acts and Regulations, including the Department
21 of the Environment Act, the Canadian Environmental
22 Protection Act, the Pollution Prevention Provisions of
23 the Fisheries Act, the Migratory Birds Convention Act,
24 and the Species-At-Risk Act.

25 I will now pass this presentation over to my
26 colleague, Meagan, for the discussion of our technical

1 comments.

2 MS. TOBIN: Thank you. So I will now
3 speak to the comments that Environment and Climate
4 Change Canada provided in our final submission.

5 So the first comment related to the new wastewater
6 treatment plant, specifically Environment and Climate
7 Change Canada, have requested additional details
8 relating to treatment targets for the new treatment
9 plant. As well, we were also looking for details on
10 future toxicity testing, validation, and effluent data.

11 In response, the applicant has provided a memo
12 indicating that the plant will be designed to be
13 capable of meeting the limits of the federal southern
14 Wastewater Systems Effluent Regulations and has made a
15 commitment for toxicity testing and submission of
16 effluent data. ECCC considers these comments to be
17 resolved.

18 Next slide, please.

19 As part of the submission for renewal, the
20 Applicant referenced fecal coliform studies that were
21 not initially provided for review, and therefore ECCC
22 recommended that this information be made available to
23 reviewers. The Applicant has provided this analysis,
24 and Environment and Climate Change Canada has no
25 further comments; therefore, this comment is considered
26 to be resolved.

1 In relation to management plans, Environment and
2 Climate Change Canada made recommendations regarding
3 the quality assurance and quality control program to
4 include trip blanks in the program. We also identified
5 several errors in the quality assurance and quality
6 control plan, as well as the spill contingency plan.
7 In response, the Applicant has provided updated plans
8 incorporating our recommendations and addressing all of
9 the errors. Environment and Climate Change Canada
10 considers these comments to be resolved.

11 In response to the technical meeting, the
12 Applicant provided an updated environmental management
13 plan for the Char Lake pump house and Signal Hill water
14 treatment plant construction. This plan includes
15 implementing mitigation measures for erosion and
16 sedimentation; however, Environment and Climate Change
17 Canada noted that no associated water quality
18 monitoring in Char Lake had been proposed and therefore
19 recommended that turbidity monitoring be completed
20 during in-water works.

21 Earlier in this hearing, clarification was
22 provided by the Applicant on their turbidity monitoring
23 associated with in-water construction, and, therefore,
24 Environment and Climate Change Canada considers this
25 comment to be resolved, pending this turbidity
26 monitoring being described in the environmental

1 management plan.

2 I want to thank you for the opportunity to
3 participate in this process, and we will now take any
4 questions.

5 Thank you, Mr. Chair.

6 THE CHAIR: Okay. Thank you.

7 So questioning interveners to -- start with
8 Applicants, CGS, if you have questions or comment.

9 MR. ROY: Thank you, Mr. Chair. No, I
10 don't have any question or comments. Thank you very
11 much.

12 THE CHAIR: Thank you.

13 Crown-Indigenous, do you have any questions?

14 MR. OKONKWO: Thank you, Mr. Chair. This is
15 Godwin, Crown-Indigenous Relations and Northern
16 Affairs. We have no questions for ECCC.

17 THE CHAIR: Thank you.

18 Water Board Staff, any questions?

19 MS. AUTUT: Thank you, Mr. Chair.
20 Stephanie Autut, Nunavut Water Board. We have no
21 questions at this time, Mr. Chair.

22 THE CHAIR: Thank you.

23 Panel Members, any questions? Okay. There's
24 none. Thank you.

25 Thank you, ECCC, for your presentation.

26 MS. GRAHAM: Thank you, Mr. Chair.

1 THE CHAIR: Okay. We may take a recess
2 for -- for now or -- because we have to come back here
3 at 7:00 tonight for a community session.

4 Okay. You take the floor, Teresa.

5 MS. MEADOWS: Thank you, Mr. Chair. Teresa
6 Meadows, legal counsel to the Nunavut Water Board.

7 So, Mr. Chair, there is an evening session
8 starting at 7 tonight for the community, so a community
9 information session in accordance with that agenda.
10 But I note that we have gotten through the majority of
11 the public hearing agenda today, and so following the
12 community session tonight, if there is still time, we
13 may close off the public hearing with final statements
14 of the -- of the Applicant and the interveners.

15 And, also, we would like to close with the
16 deferred responses from the -- from the Applicant being
17 read into the record tonight. So if the Applicant can
18 be prepared for that, we would very much appreciate it.
19 It would mean that we were able to close our record and
20 be able to begin decision-making for the file.

21 So with that, Mr. Chair, those are just sort of my
22 advanced warning that we will be expecting responses to
23 deferred questions at the end of the community session
24 tonight.

25 Thank you, Mr. Chair.

26 THE CHAIR: Go ahead, Stephanie.

1 MS. AUTUT: Thank you, Mr. Chair.

2 Stephanie Autut, Water Board.

3 Mr. Chair, if I could just remind the parties that
4 when we return to the venue tonight we will be asking
5 that the questionnaire -- the health questionnaire and
6 the temperature checks be conducted once again. So if
7 parties could arrive a few minutes early to allow for
8 that, we can begin our session closer to 7:00 as a
9 reality, so I'd appreciate the consideration in that
10 timing.

11 Thank you, Mr. Chair.

12 THE CHAIR: Thank you.

13 So we take the recess now and then come back here,
14 and if you have time, like the -- the staff -- legal
15 counsel mentioned, we'll proceed with it. Thank you.
16 Thank you all. See you again.

17

18 PROCEEDINGS ADJOURNED UNTIL 7:00 PM

19

20 (PROCEEDINGS RECOMMENCED AT 7:15 PM)

21 Community Session

22 Opening Remarks (Community Session)

23 THE CHAIR: Good evening. Everyone,

24 welcome to the community session for the Nunavut

25 Water Board public hearing for the application filed

26 the Nunavut -- Community -- Government of Nunavut,

1 Community Government -- Community and Government
2 Service Department. Where's my eye glasses? This one.
3 Okay. I better put these on first. That better one.
4 Okay. I can see better now.

5 I will refer to them "GN-CGS" for short -- to
6 renew and amend their expired Type "B" Water Licence
7 No. 3BM-RUT12 -- 1520 with a Type "A" Water Licence
8 No. 3AM-RUT---

9 My name is Lootie Toomasie, and I'm -- I'm the
10 Chair of Nunavut Water Board and the hearing Chair for
11 this public -- public hearing. This public hearing is
12 being conducted by the Nunavut Water Board to consider
13 an application by GN-CGS asking the Nunavut Water Board
14 to issue a renewed and amended water licence for a term
15 of 20 years to authorize activities associated with
16 continued service, use of the water, and disposal of
17 sewage through the utilidor system at the hamlet of
18 Resolute Bay.

19 I would like to note that some parties are joining
20 the public hearing via Zoom conference call, so I would
21 like to ask those participants who are calling in to
22 mute their microphone to avoid any unnecessary noises.

23 I would also like to remind everyone to please --
24 to please turn off your cell -- cell phones or put them
25 on silent before we begin.

26 Before we proceed with tonight's session, let us

1 begin with a prayer. Let's stand and pray. Let's
2 pray.

3 Opening Prayer (Community Session)

4 THE CHAIR: For those of you who were not
5 here this morning when we started the public hearing, I
6 have a few briefing [sic] housekeeping and introductory
7 remarks, and then I will turn the microphone over to
8 the executive director and the staff of the Nunavut
9 Water Board, the Applicants, and then to interveners.

10 Before I do, I would like to remind everyone that
11 we are currently in the middle of the global pandemic,
12 so we'll be discussing safety measures a lot. As
13 everyone can appreciate, due to the public health risks
14 associated with the COVID-19 pandemic, our proceeding
15 may look different than usual as we have had to modify
16 our normal plans to keep us all safe and in compliance
17 with local public health requirement.

18 Tonight, to provide our health and safety
19 briefing, we will have Teresa, legal counsel for the
20 Nunavut Water Board, do the briefing on -- on -- on
21 this protocol.

22 Teresa.

23 MS. MEADOWS: Thank you, Mr. Chair. Teresa
24 Meadows, legal counsel for the Nunavut Water Board.

25 So, first and foremost, thank you everyone for
26 coming out. As you can see, when you look around the

1 gym, we have some participants that are either on Zoom
2 or on the telephone because they are from outside the
3 territory, and with the travel restrictions into
4 Nunavut, it is safest for them to be participating in
5 their -- in their own homes and not travelling, coming
6 into the territory.

7 And second thing you would notice is when you came
8 in we gave you a questionnaire, a health-screening
9 questionnaire, so that anybody who is experiencing
10 symptoms is asked not to come in so that we can prevent
11 the spread of COVID-19 or -- or the flu even. So we
12 appreciate you filling out those forms.

13 We also ask you to sign in, and the reason for
14 that is it's a requirement of the Government of Nunavut
15 public health office to make sure that we can contact
16 trace in the event that anybody did become ill after
17 these meetings.

18 You will also notice that there are 'X's on the
19 floor underneath all the chairs. That is so the chairs
20 stay physically distanced, apart from each other, and
21 that is so that we can, again, maintain a safe distance
22 from each other.

23 You'll also notice we have little arrows on the
24 floor. So when you came in over at that entrance, we
25 ask that you move in one direction so that we're not
26 bumping into each other or too close together.

1 You'll notice that the snack table has a number of
2 snacks on it that are all individually wrapped, so
3 please feel free to help yourself to snacks that are
4 there. And there's also hand sanitizer on that table,
5 if you want to use some hand sanitizer before you eat
6 anything or before you touch anything that's on the
7 table.

8 Some of us are also wearing masks. There are
9 people in the group that came in from southern Canada.
10 They are isolating here, and so they will have their
11 masks on when we are close together in close proximity,
12 less than 6 feet apart. We are wearing masks so that
13 we keep ourselves and each other safe. If at any time
14 you would like to wear a mask inside -- it's not
15 mandatory; you don't have to, but if you want to, there
16 are masks and there are gloves at the table that we can
17 provide you with.

18 So, Mr. Chair, as much as we have a lot of things
19 to keep us apart, we're very glad that you came
20 together today and that you're here to join us in these
21 proceedings as we entertain a very important
22 application for the community water supply. So,
23 thank you, Mr. Chair. Those are, sort of, the rundown
24 on some of the changes to our process.

25 THE CHAIR: Thank you, Teresa.

26 Also, please note that there's interpretation

1 available throughout the hearing, and earpieces can be
2 obtained from the table located just by the door as you
3 came in. Channel 1's for English, and Channel 2 for
4 Inuktitut.

5 I would also like to ask everyone to sign in and
6 leave your contact information on the sheet located at
7 the table by the entrance. Additionally, there are
8 COVID-19 screening questionnaire forms available.
9 Please fill them out. This is requirement imposed by
10 the Department of Health for contact-tracing purposes,
11 so we could -- so we would appreciate your help in
12 making sure this information is provided.

13 There will be snack and refreshment, as the legal
14 counsel mentioned, at the -- at the table. Please help
15 yourself. Please remember to wash your hand and use
16 sanitizer by [sic] touching the snack. Also, the snack
17 will be individually packed, so please take -- try to
18 take only item you are going to consume.

19 There's -- there -- agenda for the hearing and
20 this community session available at the table at the
21 entrance. Please take one and follow along.

22 Roll Call

23 THE CHAIR: Before -- before we proceed to
24 the presentation on -- on the agenda, I would like to
25 introduce the Board members and staff who are joining
26 us today -- tonight. I will -- I will be chairing this

1 Panel, and with me today -- tonight, as members of the
2 decision-making Panel responsible for this file, are
3 Board members: Ross -- you aren't on my right -- left.
4 Ross is on -- Ross Mrazek is on my -- on my -- on my
5 left, and Sakiasie Sowdlooapik is on my right.

6 Several staff members who have contributed the --
7 to the Nunavut -- NWB's administration and technical
8 review of this renewal application are present along
9 with the legal counsel to the NWB, and I will introduce
10 the individuals attending today -- tonight. When I say
11 your name, please wave so that people will know who --
12 where you -- who you are: Stephanie Autut, executive
13 director; Karén Kharatyan, director of technical
14 services; Sergey Kuflevskiy, technical advisor; Robin
15 Ikkutisluk, licensed administrator at the front
16 entrance; Teresa Meadows from Meadow's Law, legal
17 counsel to the Board.

18 In addition, we have two at -- interpretation
19 throughout the hearing: Tapitia -- Tapitia -- sorry --
20 Qitsualik, who is originally from Gjoa Haven, and we
21 supposed to have Martha Idlout also, but she's not
22 here, so did not -- she had a family issue, kids --
23 related to her kids.

24 For audio support, we have with us Ryan Dempster
25 from the PIDO. So if you have difficulty with your
26 headsets, Ryan will be able to assist you.

26 After each presentation, we will invite anyone who

1 wishes to ask questions or provide the Panel with their
2 comments to step up to the microphone and speak on the
3 record. If you are an Elder, you can speak at any time
4 throughout these proceedings. We just ask that you
5 raise your hand to be recognized by the chairman and
6 wait to speak until one of our staff members can get a
7 microphone for you so that we can ensure your comments
8 are included on the record.

9 For everyone here tonight, I encourage you all to
10 ask questions or share your comments with the Board by
11 stepping up to the mic. You can direct your questions
12 to the staff of the Nunavut Water Board, the Applicant,
13 or the interveners, Crown-Indigenous Relations and
14 Northern -- Crown-Indigenous Relations and Northern
15 Affairs, and Environment and Climate Change Canada.

16 As Mr. Chair said at the start of the public
17 hearing this morning, it is very important to the
18 Nunavut Water Board that we have an accurate record of
19 the information, the questions, and comments that we
20 hear during this public hearing, so we ask that to
21 assist our interpreters and the court reporter, please
22 wait until you have a microphone before you speak, that
23 you state your name and speak directly, clearly, and
24 slowly into the microphone. Please be mindful of the
25 interpreters as you go and avoid the use of
26 abbreviations if you can. We appreciate your

1 participation and assistance in making sure we are all
2 heard and understood in this hearing and that this
3 hearing is conducted in a productive and respectful
4 manner. I will now turn the microphone over to the
5 Board's technical staff to walk you through how this
6 amendment and renewal application has progressed to
7 this point.

8 Sergey, if you could commence your presentation,
9 please.

10 So we're just having a brief moment of technical
11 difficulty getting the presentation onto the screen,
12 Mr. Chair, so we will -- just bear with us for a couple
13 of minutes. Thank you.

14 (ADJOURNMENT)

15 MS. AUTUT: Okay. Sergey, go ahead,
16 please.

17 Presentation by the Nunavut Water Board Staff
18 (Community Session)

19 MR. KUFLEVSKIY: Good evening, everybody. My
20 name is Sergey Kuflevskiy from the Water Board,
21 technical advisor from the Water Board, and I will give
22 you a brief overview on the procedural history for this
23 application and the brief introduction into the Water
24 Board's licensing process.

25 Next slide, please.

26 This is the list of topics that I will be covering

1 tonight. I'll start with the general information
2 about -- on the Nunavut Water Board, the types of
3 authorizations and licenses that the Water Board
4 issues. Then I will continue with the Type "A" water
5 licence that we are here to discuss tonight. I will
6 summarize the procedural history of the file and the
7 comments submitted by the interveners and the
8 Applicant, and then I will present -- I will present a
9 brief summary on what's going to happen with the file
10 following today's -- tonight's meeting.

11 Next. Okay. So --

12 THE CHAIR: Sergey, you're too close to
13 the microphone.

14 MR. KUFLEVSKIY: Yeah. Okay.

15 Just as background -- background information, the
16 Nunavut Water Board is an institution of public
17 government that was established under Article 13 of the
18 Nunavut Agreement, and Nunavut Board -- Water Board's
19 responsibilities are basically to ensure that the
20 water -- the Nunavut water is safe and that nothing
21 dangerous goes into the water.

22 The main objectives of the Nunavut Water Board are
23 the provide for the conservation and utilization of
24 waters in Nunavut, except in a national park, in a
25 manner that will provide the optimal benefit from those
26 waters for Nunavut's residents in particular and

1 Canadians in general.

2 The types of authorizations that the Nunavut
3 Water Board can issue can vary. We have three
4 different types of authorizations, actually, and it
5 depends on how much water is going to be used for the
6 project. If the project will consume less than
7 50 cubic metres of water per day, then the proponents
8 will be advised to generally apply for an authorization
9 without a licence. If the water quantities requested
10 are between 50 cubic metres and 299 cubic metres per
11 day, then this will generally qualify as a Type "B"
12 water licence. And the quantities of water over
13 300 cubic metres per day will require a Type "A" water
14 licence process.

15 This week's public hearing is for a Type "A" water
16 licence, and this is based on the criteria set out in
17 Schedule 2 and 3 of the Regulations. This is -- on
18 this slide, you will see a brief overview of the
19 licensing process for -- for a Type "A" file. First,
20 the Water Board receives an application from an
21 Applicant, then the application is reviewed by the
22 Water Board staff, and if any documentation is
23 outstanding, this information will be requested from
24 the Applicant, and once everything is provided, the
25 application is going to be distributed for a 30-day
26 review for completeness check. This is the initial

1 step when the parties will be involved -- parties and
2 the public will be involved to ensure that the
3 application is complete and can be proceeded to a
4 technical review stage.

5 So once the Water Board receives the confirmation
6 from the parties or the public, if public decides to
7 submit any comments -- so if the confirmation suggests
8 that the package is complete and can be distributed
9 for -- for a full technical review, the Water Board
10 will distribute the package for a 30-day technical
11 review. And this is the stage where the parties and
12 the public will conduct a more detailed technical
13 investigation and provide their comments and questions
14 for the file under review.

15 So once all the questions are sorted out, one --
16 once all -- all the comments are addressed, the file
17 goes to the next step, which is the technical meeting
18 and the prehearing conference. At the technical
19 meeting, the parties meet either in person or by
20 teleconference, and this generally depends on -- on a
21 lot of circumstances. Like, for this specific file, we
22 had a teleconference technical meeting because of the
23 restrictions imposed by the Department of Health and
24 associated with the COVID-19 pandemic.

25 So once this stage is over, technical meeting and
26 prehearing conference, the Water Board will issue a

1 prehearing conference decision that -- which will be
2 distributed to -- to the interveners and to the public.
3 So all this information is available and can be found
4 on our website.

5 Following this step, the Water Board issues a
6 notice of public hearing, and this generally happens
7 60 days prior to the public hearing. During this time,
8 the parties exchange the written interventions, which
9 means that parties will provide their final comments,
10 and the proponent will try to respond to these
11 comments, and the main point of this stage is to ensure
12 that the file is ready and has almost no outstanding
13 issues so that all issue -- most issues are resolved so
14 that the file can definitely go to the public hearing
15 stage.

16 And this brings us to the actual public hearing
17 stage, which is the current stage. It's circled on
18 the -- on the slide. So now what happens after that --
19 like, following the public hearing, the Water Board
20 will issue a decision to approve or disapprove the
21 application, and this decision will be -- the draft of
22 this decision will be forwarded to the Minister of
23 Crown-Indigenous Relations and Northern Affairs Canada
24 who will further decide whether this project should go
25 forward or not.

26 So now I will talk a little bit about the

1 application that we are currently reviewing. So the
2 scope of this application is as follows: The
3 Government of Nunavut, Community and Government
4 Services, or "GN-CGS" for short, requested to allow for
5 the continued use of water and disposal of sewage at
6 the -- through the utilidor system in the hamlet of
7 Resolute Bay. The term of the licence was initially
8 ten years. So the initial requested term was 10 years,
9 but then the licensee has adjusted this term -- this
10 request to 20 years, so we're looking at the potential
11 20-year licence for -- which will govern the utilidor
12 system in the hamlet of Resolute Bay.

13 The water volumes requested -- the -- the water
14 use requested is as follows: The two parameters are of
15 a particular interest. The first one is that the water
16 is withdrawn from the Char Lake. I'm sure everybody
17 knows where it is. And the second aspect is the volume
18 of water, which is 216,528 cubic metres per year. So,
19 additionally, GN-CGS requested for an approval to
20 continue management of the utilidor system, which is
21 operated by -- by ATCO, and future construction of the
22 wastewater management plant -- wastewater treatment
23 plant.

24 Now to get to the procedural history of the file.
25 I'll just highlight the important milestones for the
26 file. We'll start with the date when the application

1 was submitted, which is at the end of January,
2 January 22nd. So then the application was reviewed
3 between January 23rd and February 28th and distributed
4 for an initial completeness check assessment on
5 February 28th.

6 Following this stage, the comments were received
7 from Crown-Indigenous Relations and Northern Affairs
8 Canada, as well as Environment and Climate Change
9 Canada. Between March 27th and April 22nd, the
10 Applicant addressed the comments that were provided by
11 the parties. On March 29th, 2020, the Type "B"
12 licence, the current licence that governs the water use
13 in this community, expired. On April 29th, the
14 Water Board distributed the package for a full
15 technical review, and the deadline for a full technical
16 review was June 12th.

17 So following this -- following this stage, the
18 Water Board scheduled a technical meeting and a
19 prehearing conference for July 14th and July 15th of
20 this year, so it's pretty much six months after the
21 application was submitted. Both technical meeting and
22 the prehearing conference were completed in a single
23 day, July 14th, and the prehearing conference report
24 was issued on July 27th.

25 Following this stage, the Applicant had almost two
26 months to respond to the commitments that were listed

1 in the prehearing conference decision report and sort
2 out any outstanding issues. On October 8th, the
3 Water Board issued the draft agenda for the public
4 hearing, and on the same day, the Water Board received
5 a preliminary presentation for -- from the GN-CGS for
6 the public hearing.

7 On October 14th and 15th, the Water Board received
8 public hearing presentations from Crown-Indigenous
9 Relations and Northern Affairs Canada, as well as a
10 presentation from Environment and Climate Change
11 Canada. On October 20th, the Nunavut Water Board
12 distributed the final agenda to the distribution list,
13 and on October 21st, the Applicant submitted a final
14 presentation to the Water Board.

15 Now I'll explain how the interveners were involved
16 in the licensing process in the application process for
17 this file. The Applicant, Crown-Indigenous Relations
18 and Northern Affairs Canada, and Environmental and
19 Climate Change Canada have all contributed to the
20 review process for the application. This means that
21 these parties participated in a formal and informal
22 discussions aimed at resolving relevant issues, as well
23 as provided the Board and the proponent with valuable
24 technical information, questions, or concerns on
25 relevant issues.

26 The public was also invited to participate in the

1 application process. As I mentioned before, all of our
2 correspondence goes to the distribution list, which
3 includes all local organizations as well as the
4 interveners and an Applicant. So the public also had a
5 chance to submit their comments or concerns. No
6 submissions have been received from the public to date.

7 If you have any questions or advices regarding
8 this file, you are more than welcome to approach myself
9 or Robin at the registration desk, and we can try to
10 answer your questions and take notes of your advices or
11 comments. Additionally, this information is available
12 on the Nunavut Water Board website. Again, if you want
13 to see this information or look at some files, Robin
14 can provide you with this access. She can -- she can
15 show you where the documents are located, and she'll
16 also try to answer your questions.

17 Now I'll briefly explain what the next steps for
18 the file are going to be. The public hearing this week
19 is chaired by the Board Panel and is led by the -- by
20 the Board's Chair. The Panel is -- usually consists of
21 three Board members. As you can see, we have three
22 members sitting at the -- at the table at the front.
23 And the -- this Panel's entitled "Resolute Bay Panel"
24 or "P21". The Panel is here to consider all the
25 questions from the interveners and all the
26 recommendations from the interveners, as well as the

1 recommendations and concerns presented by the parties.

2 Following this, the Panel will have 30 to 45 days
3 to issue a decision, and, of course, the public will be
4 informed about this decision once the decision is
5 issued.

6 This is all for my presentation. Thank you very
7 much. So we will have another presentation following
8 this, the presentation by the Applicant, and the
9 Applicant will provide more details on the project and
10 on what is going on with the licence application and
11 what is going on in the community, how your
12 infrastructure is going to change, when the
13 construction is going to be completed, and basically
14 what to expect in the future. So just wait a little
15 bit, and you'll -- you'll hear another presentation
16 from the Applicant. Thank you.

17 MS. AUTUT: Thank you, Sergey.

18 So as Sergey just mentioned, this -- this
19 presentation that's just been received is -- is just
20 related to the Water Board's processing of the
21 application. So are there from the public or any of
22 the parties regarding the Board's processing of the
23 application before them?

24 Okay. Seeing that there are no questions just
25 yet, we'll move on to the Applicant. We ask that you
26 make a brief presentation about the amendment

1 application that's being discussed here at this
2 hearing.

3 So, Bhabesh, I assume that you'll be taking the
4 lead on the presentation? Okay. So, Bhabesh, we are
5 unable to hear you. Once again, you continue to be
6 muted. If you could give us some indication of what
7 your plan is, whether you will be presenting or if you
8 want one of your representatives here in the room to
9 present. Okay. Bhabesh, apparently you have hung up.
10 Can you please try to call back in.

11 MR. ROY: Yeah, I've called back. I'm
12 online.

13 MS. AUTUT: Very good. Can you please
14 proceed with your presentation. Thank you.

15 Presentation by Government of Nunavut, Community
16 Government Services (Community Session)

17 MR. ROY: Okay. Thank you.

18 Good evening, everyone. I am Bhabesh Roy. I'm
19 going to present the Type "A" water licence application
20 on the Resolute Bay utilidor system. In this
21 presentation, I have a big team working with me. I am
22 the licensee, and I am also the main contact of the
23 licence and the leader of this application. I'm
24 assisted by Janise Idlout, municipal technical officer
25 working in my office, and also I am supported by the
26 Municipality of Resolute Bay, Steve Piercey, chief

1 administrative officer. I'm supported by a group of
2 seniors [sic] technical advisor from EXP, the -- Eric
3 Bell, who is already in the conference room, and online
4 is Tony Whalen and Daryl Burke. All three of them from
5 EXP are highly involved in each and every component of
6 the Resolute Bay utilidor system.

7 I'm going -- going back to a little history of --
8 of Resolute Bay and the current situation. When this
9 community -- this settlement was formed 1970. It was
10 designed in a way to accommodate 1,500 people. Today,
11 in 2020, the population of the town is 290, but this
12 290 is a basic population. As you know, Resolute Bay
13 is a training ground of Canadian military, so
14 summertime, the military do come -- used to come there
15 and get their training. That increased the population
16 up to roughly 800.

17 So the resident of Resolute, you know that this
18 town divided into two component. One is the main town,
19 and another part is the airport area. The main town is
20 supplied by pipe water system, and the water and sea
21 are all utilidor -- what we call "utilidor system".

22 7 kilometre away, the airport -- there is the
23 airport area. That area, almost 18 households -- I
24 mean the 18 buildings, Government and others. Those
25 areas have by truck system. This is a little tiny
26 town. We have three water licence. The utilidor

1 itself a water licence. It belonged to the Government
2 of Nunavut while I'm the licensee. The second licence
3 is solid waste management, the landfill site. It
4 belonged to the Hamlet. And third licence, the airport
5 sewage lagoon, who is inherited from Transport Canada
6 long time ago, and this licence belonged to, also,
7 Government of Nunavut. It belonged the Department of
8 Economic Development and Transportation.

9 In my presentation, the status of the licence
10 present and the future -- the present licence is called
11 "3BM-RUT1012". The licensee is Community Government
12 Services of the Government of Nunavut. The type of the
13 licence is called "Type "B"". Date of issue is
14 March 30, 2015. Date of expiry is March 29, 2020.
15 This was a previous licence. The annual water
16 extraction, 126,020 cubic metre.

17 Now, as you see the previous presentation, seeing
18 Water Board have a new regulation and from the
19 extraction in this 300 cubic metre per day, the type of
20 the licence will be Type "A". So we are following in
21 that category. So our new licence will be a Type "A"
22 licence, and there is not -- a number is not given yet.
23 When licence is issued, the licence number will be
24 3AM-RUT, and there will be a number. The licensee will
25 remain the same, Community Government Service of
26 Government of Nunavut. It will be Type "A" licence.

1 This licence is requested for 20-years term, and the
2 permit of the licence is 216,520 cubic metres. If you
3 can express in litre, it should be two -- two thousand
4 one hundred and sixteen million [sic] litres. There's
5 a huge amount of water we need to extract from -- from
6 Char Lake.

7 I have my colleague, Janise Idlout. I want Janise
8 to take over from here until the sketch, three -- three
9 slides. Historical water extraction, you start from
10 there, and then Eric will continue, and I'll be doing
11 the last slide.

12 Janise.

13 MS. IDLOUT: Thank you, Bhabesh. Janise
14 Idlout here. Trucking to -- I don't know. No, no, no.
15 No, I can't. Yeah.

16 MR. ROY: (INDISCERNIBLE)

17 MS. IDLOUT: Eric. I ...

18 MR. BELL: Janise has asked me to take
19 over for a little bit, so I shall.

20 MR. ROY: Okay. Okay. Yeah, sure.

21 Go --

22 MR. BELL: On this particular --

23 MR. ROY: Go ahead.

24 MR. BELL: On this particular slide,
25 there is some historical flow data pertaining to the
26 utilidor system as well as the trucking to the airport

1 system and then the totalized flow. You can see that
2 on some of the years it is as low as 114,000 litres,
3 and on other years, the number that has reported has
4 been 400,000 litres -- or cubic litres. That is why
5 the permit to request has been -- from the original
6 licence of 126,000 cubic metres has been increased, so
7 that we can meet the demand of the current and future
8 needs.

9 MS. IDLOUT: Janise here.

10 Components of the future utilidor system.

11 MR. ROY: Yeah.

12 MS. IDLOUT: Status: The main buried water
13 and sewer lines, main utilidor system upgraded in 2014.
14 Vaults were upgraded in 2014. Fire hydrants upgraded
15 in 2014. An intake from the Char Lake to the new pump
16 station under construction 2020/2021. Fish screen will
17 be provided at the end of the intake, 2020/2021. A new
18 pump station at Signal Hill under construction
19 2020/2021. The standard flow meter will be installed
20 at the new pump station, 2020/2021. Intakes from the
21 new pump station to Signal Hill water treatment plant
22 is constructed. A storage tank at Signal Hill is
23 constructed.

24 Rehabilitation of the existing water treatment
25 plant under construction in 2020/2021. New wastewater
26 treatment plant, future construction anticipated in

1 2024. A new outfall from water -- wastewater treatment
2 plant to the sea, future construction anticipated in
3 2024. A collection point to -- a collection point at
4 wastewater treatment plant to receive truck sewage,
5 future construction anticipated in 2024. The old pump
6 station macerator unit, outfall line, and old water
7 [sic] treatment plant building, future
8 discommissioning [sic] anticipated in 2014 -- 2024.
9 I'm sorry.

10 Components of the utilidor system: 40 [sic]
11 kilometres of buried water in sewer lines; 23 fire
12 hydrants; 36 access vault; a pump station at Char Lake;
13 a 500-metre three-water storage tank at --

14 MR. ROY: Metre cube.

15 MS. IDLOUT: -- Signal Hill.

16 MR. ROY: Metre cube.

17 MS. IDLOUT: Water treatment plant at
18 Signal Hill; macerator unit with no flow meter; a
19 150 -- millimetre?

20 MR. BELL: Millimetre, yeah.

21 MS. IDLOUT: -- millimetre 6 diameter water
22 intake line from the Char Lake to the pump station;
23 150 millimetre 6 diameter water intake line from the
24 pump station to Signal Hill water treatment plant; a
25 200 millimetre -- millimetre 8 diameter outfall line
26 from macerator unit to sea. The original utilidor

1 system was built in 1978 and upgraded in 2014.

2 MR. ROY: Okay. Okay. Thank you very
3 much. Before we hand over to Eric, I just make one
4 correction.

5 Item Number 7, the flow meter in the macerator
6 unit, it has been installed. So, yes, there is a flow
7 meter in macerator unit.

8 Okay. Eric, please continue from here.

9 MR. BELL: Thank you very much, Bhabesh
10 and Janise.

11 On this slide, there are two things that are being
12 represented, the way the intake and treatment plant and
13 utilidor is currently and how it will look in the
14 future. Currently, water comes from Char Lake through
15 the existing Char Lake pump house to Signal Hill water
16 treatment plant. And as Janise mentioned earlier,
17 there's a 500-cubic metre storage tank. The water is
18 then sent through the municipality of Resolute Bay in a
19 utilidor system, and upon the generation of wastewater,
20 under the light green line, it goes through a macerator
21 unit and then to the final outfall in the ocean. And
22 the compliance point of measurement is at the
23 shoreline.

24 In the future, water will come in from Char Lake
25 through the new pump house and the new intake line
26 through the treatment plant to be stored in the same

1 500-cubic metre tank down through the utilidor system
2 in the municipality, and then the exit of it into the
3 wastewater will be going into the proposed new
4 wastewater treatment plant where the compliance point
5 for that will be at the discharge of the plant.

6 Currently, trucks are filled with freshwater at
7 the Signal Hill plant for the airport. That won't
8 change. And in the future, wastewater trucks will be
9 dumped at the new wastewater treatment plant.

10 The -- the quantity of water that has been
11 requested has been estimated over the duration of this
12 proposed construction project from 2020 to 2047. The
13 community consumption in litres per day is estimated at
14 65,000 in 2020 all the way up to 90,000 in twenty
15 seventy -- or 47. This is because of additional use
16 and the growth of population.

17 Airport consumption also increases based on users,
18 and the -- the bleed water that is used to keep the
19 sewer system from becoming frozen also increases
20 gradually over that time. In summary of this slide,
21 the current estimated consumption is 160 cubic metres
22 per day -- or per year, I should say. And in 2040, it
23 is 216,000 cubic metres annually with the ultimate of
24 2047 being 236,000.

25 The total extracted water accounts for use within
26 the community, the airport, and the bleed water into

1 the sewer system. Annual consumption for 2020 has been
2 calculated at 160,000 cubic metres and up to twenty --
3 236,000 cubic metres in 2047. Char Lake replenishment
4 capacity is sufficient up until 2040 to supply water
5 for the community based on these very conservative
6 estimates. It is recommended that additional
7 technologies be investigated, such as recirculation of
8 heat-trace systems to replace the bleed water system to
9 prevent water from freezing since Char Lake cannot
10 supply this extreme demand past 2040. A water permit
11 of 216 cubic metres is requested for the new Type "A"
12 water licence that will expire in 2040.

13 The current state of Char Lake pump house and
14 construction: A significant amount of work has been
15 done during this construction year of 2020 at the
16 Char Lake site. That includes installation of silt
17 fencing around the worksite; excavation for the new
18 pump house; concrete pours for the foundation; the new
19 pump house building has been constructed; boilers and
20 glycol pumps and pipes have been installed; gravel and
21 bedding material has been placed in Char Lake with a
22 turbidity curtain to prevent particulate matter from
23 entering the raw water supply. And these new intakes
24 will be then placed in 2021 construction season.

25 The Signal Hill water treatment plant upgrade has
26 been recommended that the water treatment process

1 includes multiple filtration steps and disinfection
2 with calcium hypochlorite or chlorine. The filtration
3 will provide for the suitable protection of
4 microorganism removal and small amounts of TSS that may
5 be picked up by the Char Lake intakes. The chlorine
6 addition will protect against viruses and
7 microorganisms from the water source and provide
8 protection for any cross-contamination that may occur
9 in the collection system and distribution.

10 The first stage of the filters will be duplex
11 backwashable media filters. And the media filter
12 types -- this type of media filter will remove down to
13 a 7-micron size, which is suitable for large turbidity
14 and giardia cysts.

15 The second set of filters will be pleated filters
16 or cartridge filters which will filter down to 1 micron
17 in size which is suitable for further removal of
18 smaller particles, as well as cryptosporidium.

19 The disinfection method to be employed will be
20 calcium hypochlorite or chlorine, and it will be
21 delivered to the hamlet and prepared -- in dry format
22 and prepared in a 24-hour period in a mix tank.

23 The upgrade to the water treatment plant on
24 Signal Hill examines the requirements as outlined by
25 the Canadian Drinking Water Guidelines. This includes
26 the upgrade of disinfection equipment and filtration

1 equipment. The capital costs, as well as the
2 operational needs, over 30 years operational life, were
3 considered during equipment selection. The upgraded
4 water treatment plant will be in the same building but
5 in -- will incorporate the new filtration equipment,
6 new disinfection equipment, new circulating pumps, a
7 washroom facility, a storage area, as well as a
8 laboratory area and a maintenance area.

9 The unused reservoir tank has already been
10 removed, and the building will be expanded in an
11 easterly direction. A significant amount of work has
12 been completed in this year's construction season, and
13 that includes site grading; concrete demolition;
14 building addition, including concrete walls, roof, and
15 cladding; and any old equipment and obsolete equipment
16 has been removed.

17 As part of this ongoing construction project, a
18 spill contingency plan has been put in place. The
19 spill contingency plan is used to address the proper
20 response to any anticipated spills that may occur
21 during regular operation and in the hamlet facilities,
22 including the wastewater treatment disposal, the water
23 supply treatment, and solid waste disposal. The spill
24 contingency plan presents potential contaminants and
25 spill scenarios, existing preventative measures, and
26 response organization.

1 The spill containment action plan includes
2 potential impacts from and procedures for containing
3 chemical spills, such as the sodium hypochlorite used
4 to treat the water, and petroleum spills, such as
5 diesel, used to power equipment. This plan also
6 provides information in case of a spill and spill kit
7 locations and spill reporting procedures, such as the
8 form seen. It also includes the standard spill kit
9 requirements.

10 At the wastewater treatment plant, a number of
11 technical issues and concerns regarding the current and
12 future wastewater treatment have been raised by
13 stakeholders during this project. As such, we have
14 prepared and submitted a technical memo addressing the
15 recommended fecal coliform limits and operation and
16 maintenance plan for the existing macerator equipment
17 and building, a technical memo addressing ammonia for
18 the new wastewater treatment plant, and a memo that
19 reviews both the 2012 and the 2020 wastewater treatment
20 plant designs.

21 The calculated fecal coliform values were
22 determined based on 18 points from 2016 to 2020 and
23 calculated using linear regression. And it should be
24 noted that for flows of greater than 600 litres per
25 person per day and a TSS of 80 milligrams per litre,
26 the fecal coliforms were determined to be 157,000 CFUs

1 per hundred mills. For flows between 150 litres per
2 person per day and 600 litres per person per day, the
3 calculated fecal coliform value were determined to be
4 183,000.

5 There were a number of key design factors that
6 remain very similar or unchanged between the original
7 design of 2012 and the proposed evaluation of 2020.
8 The most significant difference was the process
9 technology with the intent to better balance the
10 treatment performance with the requirements for the
11 economics and operational challenges. We feel the
12 result is a more cost-competitive system but is still
13 compatible -- or capable of providing high-quality
14 effluent.

15 MR. ROY: Okay. Thank you, Eric. Let
16 me take over the last slide.

17 The last side is -- the rule of thumb of any
18 wastewater treatment plant is we have to treat the
19 wastewater and through to the receiving body. In this
20 case, the receiving body is the sea. And rule of thumb
21 is -- the water is going to the sea -- the quality must
22 be better than sea water quality or at least equal to
23 the seawater quality. So this process, we have to do
24 the sampling. As Eric explained, there is a compliance
25 point after the wastewater treatment plant. Today, at
26 the outfall level -- so we have to take a sample in

1 summer every month, send it to water laboratory, and do
2 the necessary testing.

3 Now, this particular slide, the future wastewater
4 treatment plant -- there are some criteria given to us
5 by ECCC. They are asking -- we have to -- from design
6 and build the wastewater treatment plant so that
7 effluent quality should satisfy -- we call it "CBOD",
8 the carbonaceous biochemical oxygen demand, should be
9 less than 25 milligram per litre. Total suspended
10 solids should be less than 25 milligram per litre.
11 Average concentration of total residual chlorine should
12 be less than 0.02 milligram per litre. Maximum
13 concentration of unionized ammonia should be less than
14 1.2 milligram per litre and be non-accurately lethal
15 effluent.

16 So these are the parameters given to us.
17 Accordingly, we have to design and build the future
18 wastewater treatment plant so that we can bring water
19 quality up to this level. It should be better than
20 this, but at least satisfying this criteria before the
21 effluent we are flowing to the sea.

22 So this is the last slide of our presentation, so
23 we are ready to get your answers -- sorry, questions to
24 answer.

25 MS. AUTUT: Thank you, Bhabesh, and your
26 team members for the presentation.

1 At this point, we'll take questions from the
2 floor. If anybody has questions for the Applicant,
3 Government of Nunavut, please raise your hand, and
4 we'll ensure that a microphone gets to you. Okay.
5 Seeing that we -- are there any questions to the
6 Applicant at this time from any other party?

7 THE CHAIR: The Panel members have a
8 question related to -- Tapitia, I guess, we want to ask
9 how delegate the -- Sakiasie about the question.

10 MR. SOWDLOOAPIK: Okay. Finally got it.

11 THE CHAIR: You gotta go, I guess.

12 Nunavut Water Board Questions the Community (Community
13 Session)

14 MR. SOWDLOOAPIK: I'm getting old.

15 Thank you. Good evening, presenters this evening.
16 My name is Sakiasie. I'm with the Water -- Water
17 Board. I'm from Pangnirtung.

18 This morning I asked about the lake, Char Lake,
19 and once I got the documentations last night, I've been
20 fairly concerned about it. This morning I asked about
21 Char Lake, which I like the name very much because I'm
22 a fisherman. I'm -- I want to know if there -- from
23 the community, if there is any activity for fishing in
24 the lake and also if there is any ecosystems in the
25 lakes being conducted as studies in the last few years.

26 So these are my questions, and if anybody can

1 answer them, I would very much appreciate it.

2 Qujannamiik.

3 MS. AUTUT: Thank you, Sakiasie.

4 So Sakiasie's question is for the community
5 members. Is anyone interested in addressing that
6 question at this time?

7 Okay. We'll get you a microphone, and then just
8 state your name; okay?

9 TABITHA MULLIN: Char Lake. Yes. Long as I've
10 been here, I know there's fish there. Very little
11 fishing is done there for the fact that we know it's
12 our drinking water. We know it's clean. I don't
13 really recall of that lake being studied, but the fish
14 were done by the help with a local lady, Debbie Ikaluk,
15 and her son was a researcher. And we sort of heard
16 that the fish are healthy. They were coming back, so
17 it sounded good. Perhaps get a copy of that report.
18 He comes up here every -- every summer. I remember --
19 I don't remember his name, though. Sorry.

20 But that's all I know about the studies with
21 the -- with the Char Lake being done. And normally
22 they come in through Polar Shelf, with the support of
23 Polar Shelf. They do these lakes around here, upon
24 Ellesmere Island too. So he's got a good name behind
25 him in search of -- research for the fish and lakes.

26 MS. AUTUT: Okay. Thank you.

1 Can I -- one more question for the audience. Can
2 we -- can we just get your name for the record. That's
3 okay.

4 TABITHA MULLIN: I got so nervous. It's
5 Tabitha Mullin.

6 MS. AUTUT: Thank you, Tabitha.

7 Sakiasie, does that answer your question, or do
8 you have a follow-up?

9 MS. SOWDLOOAPIK: Mr. Chairman and the Panel,
10 technical staff, and Tabitha, Qujannamiik. Yes, that
11 answers my question. Qujannamiik.

12 MS. AUTUT: Great. Thank you.

13 Are there any other questions on the floor or from
14 any party for the Applicant? We'll get -- we'll get
15 the young gentleman there a microphone. If you could
16 state your name, please, on the record.

17 The Community Questions the Government of Nunavut,
18 Government Community Services (Community Session)

19 JOADAMEE IQALUK: Jaodamee Iqaluk.

20 In recent years, our road going to the airport
21 used to overflow and get washed out. It doesn't do
22 that anymore. Is that due to the difference in
23 consumption, or -- because every -- every time our
24 water used to -- river used to flow, it used to wash
25 out our road every year. I wonder if that's due to
26 different consumptions or leaks underground. Because

1 40 feet is pretty deep, 'eh? Some areas are really
2 deep, and I'm pretty sure it's due to leakage. It's --
3 it was normal for that road to be washed out but not
4 anymore. Thank you.

5 MS. AUTUT: Okay. Joadamee, thank you for
6 that question. I'm going to hand that question over to
7 Bhabesh as the Applicant.

8 Bhabesh, if you could respond to that question,
9 please.

10 MR. ROY: Yes. Thank you, Teresa [sic].

11 Yeah. Thank you, audience, for a very interesting
12 question. The road to the airport -- the answer to
13 your question is I have been watching this facility --
14 it's now 16 years. I don't foresee any kind of leak
15 from the lake passing through the road to -- to the
16 sea. Again, though, the lake is other lake, and there
17 is no liners. The overflow above the road is due to
18 the maintenance issue. Sometimes coin -- the road is
19 not properly maintained. There is a hydrant. If this
20 hydrant is blocked, then the rainfall water or the snow
21 melt water overflowing the road. So either the
22 drainage is blocked, or there is no drainage at this
23 site for some reason.

24 So your concern I will be dealing with the Hamlet,
25 and they'll be looking after this issue. Thank you.

26 MS. AUTUT: Thank you, Bhabesh.

1 Joadamee, did that answer your question?

2 JOADAMEE IQALUK: Not really.

3 MS. AUTUT: Not really. Okay.

4 Bhabesh, the question has not been answered to the
5 satisfaction of the floor. Did you wish to add to
6 the -- add to your answer?

7 MR. ROY: As I said -- yes, please. I'd
8 be -- my -- I'll just clarify to the question. The
9 gentleman is thinking the water may be uprooted from
10 the -- from the Char Lake and running over the road
11 to -- going to the sea. It might not be the case
12 because the -- that lake -- lake water cannot run
13 over -- cannot be percolated because in wintertime it
14 is totally frozen, and permafrost in Resolute Bay is
15 too deep. So wintertime we cannot even think about.

16 Summertime, the water is the surface runoff.
17 There is --

18 JOADAMEE IQALUK: No, no, no.

19 MR. ROY: -- the snow melt.

20 So if you slowly drive around from the town to the
21 airport, you will see there is this hydrant, and --

22 JOADAMEE IQALUK: No, I know --

23 MR. ROY: -- many times there are so
24 many small, small culverts. Many times I saw the
25 culverts are blocked, so water overflows. Sometimes
26 the drainage is blocked with the garbage, with the

1 paper, so the water cannot pass through. Then it
2 overflow.

3 So I cannot give you any kind of scientific answer
4 when I have to do the water testing from in and out or
5 doing some kind of test to see if the water is
6 percolating, but, from my experience, I assure you that
7 this water is not coming from the Char Lake.

8 MS. AUTUT: Okay. Thank you for that.

9 Any further follow-up questions?

10 JOADAMEE IQALUK: Yeah. That's not exactly what
11 I was saying. Is -- it is normal for water to be
12 overflowing in the river. I'm asking, is the
13 consumption different because the lake is deeper,
14 emptying out? Like, you know, the more water we use
15 the deeper it gets; right -- or the more shallow it
16 gets, I should say. And every year when the snow
17 starts melting and flowing into the lake, it just stays
18 in the lake now; it doesn't go through the river
19 anymore.

20 So I'm asking, is that from a different
21 consumption of the lake being emptied during the
22 winter?

23 MR. ROY: Eric, do you want to comment
24 on it?

25 MS. AUTUT: Thank you for the question,
26 Joadamee.

1 Bhabesh?

2 MR. ROY: Yes. I'm asking Eric and Tony
3 to add some points.

4 MR. BELL: Thank you very much, Bhabesh.

5 From what you're describing, I understand that the
6 spring runoff hasn't been as excessive as it has been
7 historically. And if it isn't flowing over the road as
8 much as it has in past years, your question is, over
9 the course of the winter, did we deplete the lake to
10 the point where perhaps it needed extra to fill up.

11 At this particular point, I can't answer that
12 question, but I can make a few suggestions that, more
13 than likely, the -- the lack of overflow from the lake
14 could potentially be due to changes in how the snow is
15 falling and how the snow has been ploughed. I only say
16 that because in my brief period here in Resolute,
17 I've -- I've noticed a big change in the last eight
18 years about how extensive the snow removal has been.
19 So I could offer that.

20 The other thing would be if anything has changed
21 with regards to how much melt would be going into the
22 lake, and I don't think anything's changed there.

23 So your question is very interesting, and I think
24 if it were to warrant anything, it would be to talk to
25 someone who is an expert in hydrology or looking at
26 that immediate lake and how the water moves around that

1 lake.

2 I -- I wish I could provide a better answer for
3 you. It's a -- it's a very interesting question,
4 and -- but at this stage, I don't really have a solid
5 answer for you.

6 Tony, is there anything you think we should add to
7 that?

8 MR. WHALEN: Thanks, Eric.

9 Yeah, I -- I'm not sure I can add to that. The
10 only thing I wondered is that when the utilidor was
11 upgraded in 2015, it is possible that additional
12 culverts were put in place that would prevent the road
13 from washing out like it did historically. But I -- I
14 wasn't involved in any of that project back then, so I
15 can't know for certain. But it's a possibility that
16 there was additional culverts installed to -- to move
17 that water under the roads as opposed to washing them
18 out.

19 Thank you, Mr. Chair.

20 MS. AUTUT: Okay. Thank you to the
21 Applicant.

22 Joadamee, next question.

23 JOADAMEE IQALUK: Yeah. I -- yeah. I used to
24 run this utilidor system, and all these units, they
25 used to have little quarter-inch lines, quarter-inch.
26 Why are they 1 inch now? Like, that -- that's a big

1 jump from a size of a hose. I mean, a quarter inch to
2 1 inch, that's three quarters difference; that's three
3 times the mark of consumptions too. So, you know,
4 there's a lot being wasted there too because we used to
5 have little quarter-inch lines in the units, but now
6 they're 1 inch.

7 MS. AUTUT: Okay. Thank you, Joadamee.
8 Applicant. Bhabesh?

9 MR. ROY: I think -- thank you for this
10 question. I think he's talking about the lateral line.
11 The -- the lateral line is not the -- part of the
12 utilidor system. It has been built according --

13 JOADAMEE IQALUK: (INDISCERNIBLE)
14 (SIMULTANEOUS CROSSTALK)

15 MR. ROY: -- to the housing, private or
16 not, they -- their own connection. It has nothing to
17 do with the utilidor system.

18 JOADAMEE IQALUK: Actually, it does. Because
19 the bleed line used to be a quarter of an inch; now
20 it's 1 inch, so that is three times the amount of water
21 going through the drain system.

22 MR. ROY: Okay. So I think --

23 JOADAMEE IQALUK: I know for a fact because I
24 was helping maintain that.

25 MS. AUTUT: Okay. Just point --

26 MR. ROY: Yeah. Eric or --

1 MS. AUTUT: Point of order. Bhabesh?

2 MR. ROY: -- Tony to answer this
3 question.

4 MS. AUTUT: Okay. So great questions. I
5 just need to ask that we not talk over each other. Let
6 each other respond to the questions on the floor.

7 So, Bhabesh, if you could respond, please.

8 MR. ROY: Yes. I'm asking the technical
9 support from Tony and Eric.

10 MS. AUTUT: Eric.

11 MR. BELL: Okay. Thank you, Bhabesh.

12 If we're talking about the bleed lines
13 specifically, okay, that are a full 1 inch in diameter,
14 that is -- you're quite right; that is a large amount
15 of flow. There must be incorporated into the original
16 design some sort of throttling that would be on those
17 1-inch lines, whether it's a valve or a pinch in the
18 pipe or -- it should be an adjustable needle valve, is
19 what I would assume it would be, and that should make
20 the flow rate adjustable from either a high rate to a
21 low rate on those 1-inch lines.

22 I think the justification for going to a larger
23 line is that the -- it would have a little bit more
24 heat in it, and it wouldn't potentially freeze off so
25 quickly if there was an accident where the -- the water
26 stopped flowing through it, and the permafrost could

1 really take hold. I believe that's the design, why
2 they went with the larger one. But, of course, having
3 to be able to throttle it with a smaller valve is
4 likely what the -- what the impact is on that big line
5 and how they address that.

6 MS. AUTUT: Okay. Thank you, Eric.

7 Joadamee, any further questions?

8 JOADAMEE IQALUK: Yeah. So what you're saying
9 is that the circulation pump is no use?

10 MS. AUTUT: Eric.

11 MR. BELL: No, I'm not saying the
12 circulation pump is no use. It's very useful. Because
13 if we don't have that small amount of pressure, then
14 we'll never get any water back up the hill.

15 JOADAMEE IQALUK: Okay.

16 MS. AUTUT: Thank you.

17 To the floor, any further questions?

18 Tabitha.

19 TABITHA MULLIN: Thank you. Do I say my name
20 again? No? Tabitha Mullin here.

21 Just looking at this historical water extraction
22 volume. In 2015, we had a big jump of water
23 consumption, but in the quantity of water requested,
24 it's a very gradual increase by ten-year increments and
25 just wondering if we should get that much -- I think
26 that was the year when the military was here for their

1 big exercise, and so we had a lot -- a lot of military
2 personnel and all the others.

3 If that has been put into -- to any thought, if
4 Resolute should do another exercise of some similar
5 thing in the future? Thank you.

6 MS. AUTUT: Thank you, Tabitha.

7 I'll pose that question to Bhabesh. If you would
8 like to address that, please.

9 MR. ROY: Yes. Your concerns might be
10 partially right, not totally right. You see the water
11 extraction volume 2015 and 2016. 2015 is the highest
12 in the last -- last five years, and then next highest
13 is 2016. So prior to upgrading to the utilidor system,
14 there was a massive leak here and there. All the walls
15 are flooding almost everywhere, every -- each and every
16 section of the town.

17 So there is a leakage. The water is coming.
18 Water is leaking through to the road and running to the
19 sea. There is a waste of water. So there is the
20 leak water, the -- leak through the pipes, leak through
21 the sewer line, water line, et cetera, et cetera. So
22 that's why we had to pump out the excessive amount of
23 water to satisfy the demand and, you know, considering
24 the loss.

25 Now, 2016, also, the figure is very high because
26 once we repaired the leak, we need to do the test of

1 the pipe. We call it -- in engineering science, it is
2 called "hydraulic test", to see if there is any leak in
3 a pipe anywhere, any joint, or anywhere. So that's why
4 we have to fill the pipe and keep the pipe for -- you
5 know, hours, just totally water inside. So the very
6 reason we have to take the excessive amount of water
7 from Char Lake.

8 So these are the two reason. One for the leak
9 purposes. We need sufficient water to do the hydraulic
10 test, 2016. And 2015, as I say, there is a huge, huge
11 amount of leak. In the history of utilidor system,
12 this year there was a maximum water loss.

13 Now, in addition, probably -- I can't remember --
14 there might be a significant amount of military
15 presence who is actually -- it's not in my record. You
16 might be correct. Thank you.

17 MS. AUTUT: Thank you, Bhabesh.

18 Tabitha, does that answer your question?

19 TABITHA MULLIN: Tabitha Mullin.

20 Yes, you're right. I forgot about that water leak
21 big time. We had trouble keeping it off the roads and
22 stuff like that. Sorry for -- I -- no, not sorry. I'm
23 thankful for his answer. Thank you.

24 MS. AUTUT: Thank you, Tabitha.

25 Any further questions? If not, I'll propose a
26 ten-minute break for folks to get a snack, a coffee,

1 and -- and a health break, and then we'll come back,
2 and we'll expect a presentation from CIRNA. Thank you.

3 (ADJOURNMENT)

4 MS. AUTUT: Okay. Thank you. So moving
5 on, we've got a presentation from Crown-Indigenous
6 Relations and Northern Affairs, so I'll hand the mic
7 over to Sarah and Godwin.
8 Presentation By Crown-Indigenous Relations and Northern
9 Affairs (Community Session)

10 MR. OKONKWO: Thank you, Stephanie. (OTHER
11 LANGUAGE SPOKEN)

12 So I'm Godwin Okonkwo, manager water resources,
13 Crown-Indigenous Relations and Northern Affairs Canada,
14 and I'm joined here by Sarah Forte. She's a water
15 management specialist for the office, and she's the
16 lead -- the expert lead on this file.

17 I'd like to thank the Nunavut Water Board for the
18 opportunity to make a presentation regarding the
19 Government of Nunavut, Community and Government
20 Services application to renew and amend this
21 3BM-RUT1520 water licence as a Type "A" licence.

22 On behalf of Crown-Indigenous Relations and
23 Northern Affairs Canada, I'd like to thank the Hamlet
24 of Resolute Bay for welcoming us to their beautiful
25 community. I would also like to thank -- to
26 acknowledge the Nunavut Water Board for their work in

1 facilitating this licence application review process
2 and the Government of Nunavut, Community and Government
3 Services efforts to respond to our questions and
4 concerns.

5 So throughout this presentation, I will refer to
6 Crown-Indigenous Relations and Northern Affairs Canada
7 as "the department", and I will refer to Government of
8 Nunavut, Department of Community and Government
9 Services as "the applicant".

10 So the -- so I -- I will just go ahead to list
11 a -- as where the department has made contributions in
12 this water licence amendment and renewal process. So
13 some of the key areas that we have provided comments on
14 include, Number 1, the scope and term of the licence;
15 Number 2, compliance; Number 3, water supply; Number 4,
16 wastewater treatment; Number 5, management plans and
17 reports; Number 6, monitoring; and Number 7, closure
18 and reclamation planning.

19 So the department has a broad mandate for
20 comanagement of water -- freshwater resources and the
21 management of Crown land in Nunavut under the Acts and
22 Regulations listed on the slide, as well as the Nunavut
23 Agreement. The department administers and enforces
24 regulatory authorizations that pertain to Nunavut Crown
25 land and freshwater resources. So the department
26 participates in water licence processes administered by

1 the Nunavut Water Board, along with other interested
2 parties, usually by providing technical advice and
3 expertise for the Board's consideration in their
4 decision.

5 So the -- the contributions that the department
6 has made in this process -- thank you to the
7 Water Board. When he did his presentation, I think he
8 mentioned all the dates, so I'll just say from -- from
9 March -- so the department has made submissions,
10 comments, and recommendations from March 26th to
11 September 24th, and the department has participated in
12 technical meetings, the prehearing conference, and
13 we're participating now in this public hearing.

14 So I'll start with the first comment we had; it
15 was in the scope and term of the licence. So on
16 August 4, 2020, the Applicant submitted their -- an
17 updated renewal of the application requesting a 20-year
18 licence term, and the department supports these
19 requests. We understand that during this 20 years
20 there will likely be amendments, including potential
21 incorporation of facilities currently under -- licensed
22 under 3BM-RES2025, which covers the solid waste
23 facilities.

24 So at this point, I will call on Sarah to do some
25 of the rest of the technical presentations.

26 MS. FORTE: Thank you, Godwin.

1 So this next slide is about compliance. The
2 recently expired licence for the Resolute Bay utilidor
3 had several conditions which were not met during the
4 term of the licence, and they can be divided into four
5 topics: first, monitoring water quantity at the intake
6 and the outfall; the second is the annual authorized
7 water use; the third was a study to determine fecal
8 coliform limit for the effluent from the macerator
9 building; and the fourth was updated operation and
10 maintenance manuals.

11 So in all these topics we've had discussions, and
12 we've -- the department is of the opinion they are
13 being addressed during this renewal application.

14 Next slide.

15 Next topic we touched on was water supply. So as
16 mentioned just earlier this evening, this hamlet's
17 water source is Char Lake, and Eric showed a cartoon
18 with a -- different system components and showed how
19 they worked together. The department had three
20 technical comments that have all been resolved. The
21 first was about the quantity of water requested. We
22 wanted to make sure that the -- there was enough water
23 for the hamlet 's needs and also that the lake -- not
24 too much water was being taken out of the lake that it
25 wouldn't get filled up again every year.

26 We also had comments about plans for the pump

1 house that is currently being built -- or up --
2 upgraded, and we also spoke about leaks in the laterals
3 of the utilidor. And all these questions, we've --
4 we've sorted through them, and our concerns are
5 addressed.

6 We also spoke about wastewater treatment. So,
7 currently, wastewater collected by the utilidor passes
8 through a macerator to remove the solids before being
9 discharged in the ocean, and as discussed earlier this
10 evening, a new wastewater treatment plant is in the
11 predesign stage for construction in 2024. And because
12 the Applicant has committed to providing plans for the
13 wastewater treatment plant before they construct it,
14 the department is satisfied with this commitment.

15 Do you want to -- okay. I'll keep going.

16 All right. So management plans and operation and
17 maintenance manuals describe how concepts and
18 strategies will be implemented, and reviewing them
19 allows us to understand what actions will be taken by
20 people on the ground to make sure things work as
21 planned to protect the water. And the department had
22 comments on three -- the three bullets listed here,
23 some operation and maintenance manuals. There's the
24 spill contingency plan and quality assurance and
25 quality control plan, and deficiencies noted in these
26 manuals have been corrected, or, alternatively, some

1 manuals have not yet been provided because the
2 infrastructure is still undergoing upgrades, but we
3 know when the new manuals will be provided based on the
4 timing of commissioning.

5 Next one.

6 Okay. We also had one comment regarding
7 monitoring. The water licence has instructions on
8 where to take water quality samples and how often. One
9 of the places is the sewage outfall to the ocean, and
10 the -- the currently expired licence requires a sample
11 every month, which is difficult to do. And because we
12 have five years of data, we can see what we can expect,
13 and it doesn't change very much, and so we are
14 suggesting that maybe sampling a bit less frequently
15 would be -- give us the same information, and we ask
16 the Board to consider this.

17 Next one.

18 And this was the last topic which -- for which we
19 had comments, the closure and reclamation planning, so
20 that's basically how we clean things up when -- when we
21 no longer use a building. So, for example, they are
22 building a new pump station. Well, what will we do
23 with the old pump station? You need a plan of how you
24 will clean that up. And the Applicant has provided
25 to -- committed to providing these plans as -- when
26 they -- they -- the new facility is built, then -- and

1 commissioned and they know it's working well, then they
2 will provide a plan to clean up the old building, which
3 is good.

4 Pardon me? Okay.

5 So, in conclusion, we'd like to say that the
6 department supports the Government of Nunavut's renewal
7 application and recommends that it be accepted with due
8 consideration given to our comments.

9 And next slide.

10 And we'd be happy to answer questions.

11 MS. AUTUT: Thank you, Sarah and Godwin,
12 for your presentation.

13 So we'll put it to the floor. Does anyone have
14 questions for CIRNAC and the -- the responsibility they
15 have to this file?

16 Joadamee.

17 The Community Questions Crown-Indigenous and Northern
18 Affairs Canada (Community Session)

19 JOADAMEE IQALUK: This is about the consumption
20 of water; right? Were you guys aware -- aware that our
21 lake was maxed out a couple of times?

22 MS. AUTUT: Thank you for that question.

23 CIRNA?

24 MS. FORTE: I -- I don't think I
25 understand what you mean by "maxed out".

26 JOADAMEE IQALUK: The water was pumped right

1 maxed. We were on the last few -- few feet in the tank
2 in the recent couple years, and our -- literally it was
3 drained right out to the pump. I'm wondering if you
4 guys were ever aware of that?

5 MS. AUTUT: Okay. CIRNAC.

6 MS. FORTE: So it was the lake that was or
7 the tank?

8 JOADAMEE IQALUK: The lake was pumped to the
9 max, drained to the max, 40 feet. That's pretty deep.
10 And we are on last 10 feet of water in our tank until
11 the -- until the snow melted and drained into the lake.
12 That -- that spring runoff really saved us. So it is
13 natural for our lake to run off over through the road
14 because we were pumped to the max, 40 feet.

15 MS. AUTUT: Okay. Thank you for that
16 question. Can I just ask that all parties state their
17 name when they're responding to the questions for the
18 benefit of the court reporter.

19 So, Sarah, I'll hand the mic back to you if you
20 wish to respond.

21 MS. FORTE: So Sarah speaking here.

22 Thanks for that comment. No, I wasn't aware that
23 the lake was pumped out to the max.

24 MS. AUTUT: Thank you, Sarah.

25 Did the Applicant wish to respond to that at this
26 point? Bhabesh?

1 MR. ROY: I don't think that the lake is
2 pumped out to the max. I don't think so. Because it
3 has a catchment area, and every end of the wintertime,
4 the snow melted out, and the water is coming down to
5 the lake. So it's not maximum pumping out. But,
6 eventually, as population going up and, as you'll see,
7 our chart of the demand, we need to extract more amount
8 of water for 50 years.

9 MS. AUTUT: Okay. Thank you.

10 Any further questions from the floor?

11 JOADAMEE IQALUK: Yes. Joadamee Iqaluk here
12 again.

13 It was pumped out to the max because I seen an
14 actual hose going through the ice, another added line
15 to go to the water to go past the pipe. I don't know
16 if anybody's ever aware that our lake does get pumped
17 out to the max, but nobody wants to believe. I see it.
18 I see the -- I see the water hoses going through the
19 ice during that time of the year.

20 MS. AUTUT: Okay. Thank you, Joadamee,
21 for that comment. That is noted on the record, okay,
22 for the Board's consideration of the transcript.

23 Any other questions? If not, thank you, CIRNA,
24 for your presentation.

25 We will now move on to Environment and Climate
26 Change Canada, who is on the -- on the screen. If we

1 can get their presentation up.

2 Anna, it's my understanding you'll be sharing your
3 presentation.

4 MS. GRAHAM: Yes. This is Anna Graham,
5 Environment and Climate Change. I will just be a
6 moment here. Can my screen be seen?

7 MS. AUTUT: We can see your name, and
8 that's it.

9 MS. GRAHAM: Okay. There we go. Can you
10 see it now?

11 MS. AUTUT: Yes. Please proceed.
12 Presentation by Environment and Climate Change Canada
13 (Community Session)

14 MS. GRAHAM: Okay. Thank you.

15 Good evening, everyone, and thank you for this
16 opportunity to present. My name is Anna Graham, and I
17 am an environmental assessment coordinator with
18 Environment and Climate Change Canada. Also on Zoom
19 here with me today is our water quality analyst, Meagan
20 Tobin.

21 I will start by just reviewing what our
22 presentation will cover, including the general role of
23 Environment and Climate Change Canada or the -- also
24 the department's mandate, and I will touch on the Acts
25 and legislation that are relevant to Environment and
26 Climate Change Canada and the Acts that have guided our

1 review of this application. Meagan will take over
2 after I go through the mandate and Acts and will -- she
3 will outline the comments and recommendations that we
4 provided regarding the Type "A" water licence
5 application.

6 The mandate of Environment and Climate Change
7 Canada is to preserve and enhance the quality of the
8 natural environment, including water, air, soil
9 quality, and to conserve Canada's renewable resources,
10 including migratory birds, to protect Canada's water
11 resources; to forecast daily weather conditions; to
12 enforce regulations; and to coordinate environmental
13 policies and programs for the federal government.

14 Environment and Climate Change Canada has been
15 involved in the water licence application as a reviewer
16 and commenter. Throughout the process, we have
17 provided comments on different aspects of the technical
18 application details. Our involvement in this
19 application is in accordance with the mandate of
20 Environment and Climate Change Canada.

21 The mandate is formed and governed by various
22 Acts, including those listed here: The Department of
23 the Environment Act, Canadian Environmental Protection
24 Act, the pollution prevention parts of the Fisheries
25 Act, and the Migratory Birds Convention Act, and the
26 Species-At-Risk Act.

1 I will now pass the presentation over to Meagan to
2 summarize our technical comments.

3 MS. TOBIN: Thank you.

4 So I will speak to the comments that were provided
5 in our final submission. The first of which relates to
6 the new water -- wastewater treatment plant. So
7 Environment Canada have requested additional details
8 related to treatment targets for the new water --
9 wastewater treatment plant, as well as monitoring.

10 In response, the Applicant has indicated that the
11 new plant will be designed to be capable of meeting the
12 limits of the Federal Southern Wastewater Effluent
13 Regulations and has made commitments for toxicity
14 testing as well as submission of effluent data, and so
15 Environment and Climate Change Canada considers these
16 comments to be resolved.

17 So related to fecal coliforms: As part of the
18 submission for renewal, the Applicant referenced a
19 fecal coliform study that was not initially provided
20 for review, and, therefore, Environment and Climate
21 Change Canada recommended that this information be
22 provided to all reviewers. The Applicant has provided
23 this analysis, and Environment and Climate Change
24 Canada has no further comments on this document as
25 compliance limits for fecal coliforms is primarily
26 related to human health and therefore falls outside of

1 the mandate of our department.

2 We also have comments related to management plans,
3 specifically the quality assurance and quality control
4 program, as well as the spill contingency plan. In
5 response, the Applicant has updated these plans in
6 accordance with our recommendations and addressed
7 several errors that were identified, so Environment and
8 Climate Change Canada also considers these comments to
9 be resolved.

10 Finally, as an outcome of ongoing discussions, the
11 Applicant provided an environmental management plan for
12 the construction of the Char Lake pump house and the
13 Signal Hill water treatment plant. This plan includes
14 measures to prevent erosion and sedimentation. The
15 Environment and Climate Change Canada did note that
16 there was no description of water quality monitoring
17 and therefore recommended additional information on any
18 proposed monitoring.

19 Earlier in the hearing today, clarification was
20 provided by the Applicant on the turbidity monitoring
21 associated with the in-water construction, and,
22 therefore, Environment and Climate Change Canada
23 considers this comment to be resolved pending turbidity
24 monitoring being described in an update to the
25 environmental management plan.

26 That is all of the comments that we had in our

1 final submission, so I thank you for the opportunity to
2 participate, and I will now take any questions.

3 MS. AUTUT: Thank you, Meagan and Anna,
4 for the presentation.

5 Are there any questions from the floor related to
6 the Environment Canada [sic] Climate Change
7 presentation? Okay. Any questions from any other
8 party or the Board?

9 If not, I understand the staff have one request
10 for clarification, Sergey?

11 Nunavut Water Board Staff Questions Environment and
12 Climate Change Canada (Community Session)

13 MR. KUFLEVSKIY: Thank you, Stephanie. This is
14 Sergey from the Water Board.

15 I just wanted to ask for a clarification from the
16 Environment and Climate Change Canada with respect to
17 the fecal coliform study that was done and submitted to
18 the Water Board.

19 From our understanding, this was submitted as a
20 follow-up to the expired licence. This was a condition
21 in the expired Type "B" licence. That's why this
22 information was requested and provided, and it is only
23 applicable to the sewage that is currently being
24 disposed from the utilidor system.

25 So now the question is, once the wastewater
26 treatment plant is finished, when it's ready and

1 operational, from our understanding, the fecal
2 coliforms are, like, definitely -- they can be -- they
3 can present a risk to human health, but there's no
4 specific regulations in the -- no specific -- specific
5 wastewater treatment regulations for municipalities.
6 And the question is -- under existing regulations. So
7 the question is how would it -- Environment and Climate
8 Change Canada -- what would be the view of the
9 Environment and Climate Change Canada on this aspect?

10 Thank you.

11 MS. TOBIN: Thank you for the question. I
12 will respond, and I'll also allow Meagan to correct me
13 or add on if -- if I miss anything.

14 My understanding is that this -- because this is a
15 human health concern, Environment and Climate Change
16 Canada would defer to the expertise that could be
17 provided by a different department.

18 Meagan, would you like to confirm that.

19 MS. TOBIN: Hi. Meagan Tobin, Environment
20 and Climate Change Canada.

21 So Anna is correct. As you mentioned, Sergey,
22 the -- there's no federal regulation related to
23 wastewater that outlines fecal coliform limits, and as
24 fecal coliform concentrations are primarily related to
25 human health, we would -- as Anna said, we would defer
26 to the expertise of departments that have a mandate

1 for -- for human health.

2 MR. KUFLEVSKIY: Thank you, Meagan. Thank you,
3 Anna. This answers my question.

4 MS. AUTUT: Thank you, all.

5 Any other questions for Environment and Climate
6 Change Canada? If not, thank you, ladies, for your
7 presentation.

8 At this time, Mr. Chair, I'd like to return the
9 mic to you to close off the community session portion
10 of this public hearing.

11 Closing Remarks (Community Session)

12 THE CHAIR: Thank you, Stephanie, and
13 everyone who attends tonight's community session here
14 in Resolute Bay. Your questions and comments about
15 GN-CGS renewal and amendment application were
16 appreciated by me and also my Panel members, Ross
17 Mrazek and Sakiasie Sowdlooapik.

18 On behalf of the Nunavut Water Board, I would also
19 like to thank the Applicant and interveners for their
20 presentation and answers to questions from the members
21 of the public here tonight.

22 Special thanks to all the community members of
23 Resolute Bay for sharing their real stories and
24 information with the Panel and the participants and
25 contributing to a productive and respectful community
26 session.

1 The community session is now adjourned. Let's
2 stand, say -- say a prayer, closing prayer.

3 Closing Prayer (Community Session)

4 THE CHAIR: We'll take a five-minute
5 break, and then we'll continue with our -- today's
6 actual public hearing agenda.

7 Community Session Concluded

8 (ADJOURNMENT)

9 Discussion

10 THE CHAIR: Okay. We will start --
11 reconvene from today's -- with today's agenda. Before
12 we go to agenda, I'd like to have legal counsel take
13 the housekeeping.

14 MS. MEADOWS: Thank you, Mr. Chair. Teresa
15 Meadows, legal counsel for the Nunavut Water Board.

16 Mr. Chair, I have a couple of procedural matters,
17 and then there are deferred questions from this
18 afternoon that are going to be responded to by the
19 Government of Nunavut, Community and Government
20 Services.

21 So the first housekeeping matter, Mr. Chair, is
22 that we received the community presentation that was
23 provided by the Government of Nunavut, Community and
24 Government Services in electronic form only, so we have
25 marked that as the -- as the next exhibit in the public
26 hearing.

1 And, in addition -- I forgot to mention before the
2 Nunavut Water Board presented that I had also marked
3 their presentation as an exhibit as well, so those two
4 exhibits have been marked in the proceedings for the
5 public hearing.

6 EXHIBIT 11 - Nunavut Water Board community
7 session presentation regarding a new Type "A"
8 Water Licence 3AM-RUT--- Hamlet of
9 Resolute Bay utilidor system (English/Inuktitut)
10 EXHIBIT 12 - GN-CGS community session
11 PowerPoint presentation for the Type "A"
12 Water Licence application of the Resolute Bay
13 utilidor system (English)

14 MS. MEADOWS: And, Mr. Chair, it's my
15 understanding that the technical staff have been
16 provided with some of the responses that will be
17 presented by the Government of Nunavut, Community and
18 Government Services in electronic form, and we'll mark
19 those two as the next exhibits following the
20 presentation of the response to deferred questions by
21 the Government of Nunavut, Community and Government
22 Services.

23 So thank you, Mr. Chair. Those are all my
24 procedural matters.

25 EXHIBIT 13 - Electronic copy of the
26 Resolute bleed water clarification memo

1 dated October 27, 2020 (English)
2 EXHIBIT 14 - Electronic copy of email from
3 Daryl Burke sent October 27, 2020, at 5:29 PM
4 to Roy, Bhabesh, Subject: RE: Outstanding
5 Issues for RB WLs (English)

6 THE CHAIR: Thank you.

7 Now, we turn to our opportunity for each of the
8 parties to provide us with brief closing remarks --
9 okay. Before we're doing that? Okay. Go ahead.

10 MS. MEADOWS: Thank you, Mr. Chair. Teresa
11 Meadows, legal counsel for the Nunavut Water Board.

12 Mr. Chair, I believe the Community and Government
13 Services, Bhabesh, would like to follow up with respect
14 to those answers to Sergey's three questions that were
15 still outstanding first. Thank you, Mr. Chair.

16 THE CHAIR: Okay. Yeah. I completely
17 forgot it right away, immediately. I think I'm still
18 rushing to get this done. Anyway, continue.

19 So we need the answers, CGS. Bhabesh, you are --
20 you still online?

21 MS. AUTUT: Thank you, Mr. Chair.
22 Stephanie Autut, Nunavut Water Board.

23 Bhabesh, the floor is yours, please, to respond to
24 the deferred questions from earlier today.

25 MR. ROY: Actually, my -- I was on mute.
26 I did not hear the question. Can you please -- can I

1 request to repeat the question again for me.

2 MR. KUFLEVSKIY: Hi, Bhabesh. This is Sergey
3 from the Water Board. Mr. Chair and Stephanie
4 basically asked you to follow up on the deferred
5 questions that the Water Board asked you during the --
6 earlier during the hearing today. And from my
7 understanding, you would like Eric to respond to these
8 three questions that were asked before and that you
9 provided an electronic answer to us already.

10 Is this correct?

11 MR. ROY: Yes. Thank you, Sergey. Yes.
12 I am requesting Eric to go over those questions
13 answered by Tony and Daryl -- Daryl Burke.

14 Eric, please.

15 Response to Deferred Questions by Government of
16 Nunavut, Community and Government Services

17 MR. BELL: Thank you very much, Mr. Roy.

18 There was a question that was asked about the
19 reported concentrations for the wastewater influent
20 characteristics for design and whether or not this
21 included both the town and the airport sites.

22 So the response is as follows: Based on the
23 current data that we have, we believe the
24 concentrations for design reported in the EXP technical
25 memo dated March 20th, 2020, to be reflective of the
26 combined wastewater from both the town and the airport

1 sites. The recommended values of BOD and TSS were
2 110 milligrams and 125 milligrams respectively.

3 These concentrations were recommended based on the
4 current flow data we have available. With the
5 installation of the new flow meter, we anticipate that
6 we will have access to better flow data which may
7 change both our future wastewater flows and
8 concentration values for design. This would be
9 revisited and recalculated prior to preceding --
10 proceeding to the detailed design after better flow
11 data is established. As a point of comparison, the
12 highest values we have seen in 2019 sample data on the
13 raw wastewater for BOD and TSS were 18 and
14 35 milligrams respectively.

15 Okay. There was another question asked about the
16 proposed size of the wastewater treatment plant
17 facility. Our response is: A conceptional building
18 size of 36 metres by 30 metres has been proposed.
19 Based on current conceptual treatment process sizing,
20 this would house all mechanical and biological
21 treatment equipment, as well as other support spaces
22 such as labs, office, washroom, and maintenance area.

23 Okay. There was a third question that related to
24 the amount of bleed water that was being utilized in
25 the utilidor and how we forecasted that moving forward.
26 It was a question as to the total percentage of water

1 extracted compared -- when comparing 2020 to 2030 to
2 2040.

3 The reason for the different percentages is a
4 simple rounding error. This table that has been
5 included has two decimal places added in -- this is the
6 digital response so that you can see what the actual
7 values are to more decimal places.

8 We would expect that there would be some
9 degradation of the utilidor, sagging, minor leaks,
10 et cetera, over time. As the wastewater collection
11 system gets older, it will require more and more bleed
12 water. Bleed water flow into the sewage collection
13 system network is required to offset the heat loss from
14 the piping. It was initially estimated at 1.8 litres
15 per second in 2020 and rises to 3 litres per second at
16 the end of the design period.

17 Those are our responses to the three questions.
18 Is there any other questions you'd like to talk about,
19 Sergey, or -- or is that the three?

20 MR. KUFLEVSKIY: Thank you, Eric. This
21 addresses -- this information addresses my questions.

22 Thank you, Mr. Chair.

23 THE CHAIR: Thank you.

24 Teresa.

25 MS. MEADOWS: Thank you, Mr. Chair. So that
26 concludes all of the outstanding matters and all of the

1 housekeeping matters that I had, Mr. Chair.

2 Thank you.

3 THE CHAIR: Thank you. Now get back to
4 the agenda.

5 Now, we took the opportunity for each of the
6 parties to provide us with brief closing remarks
7 starting with the interveners and ending with the
8 Applicant, closing remarks. Start with
9 Crown-Indigenous and Northern Affairs Canada.
10 Closing Remarks by Crown-Indigenous and Northern
11 Affairs Canada

12 MR. OKONKWO: Thank you, Mr. Chair. Again,
13 my name is Godwin Okonkwo, Crown-Indigenous Relations
14 and Northern Affairs Canada.

15 On behalf of Crown-Indigenous Relations and
16 Northern Affairs Canada, I would like to thank the
17 Nunavut Water Board for the opportunity to participate
18 in the renewal and amendment of the 3BM-RUT1520 water
19 licence as a Type "A" water licence. I would also like
20 to thank the hamlet of Resolute Bay for welcoming us
21 and for their participation in the community session.
22 And, finally, I would like to thank the Government of
23 Nunavut, Community and Government -- CGS, Community and
24 Government Services, for their application and their
25 efforts to respond to our concerns.

26 CIRNAC recommends that the -- the renewal

1 application be accepted with due considerations to our
2 comments and our final recommendations.

3 Thank you. Qujannamiik.

4 THE CHAIR: Thank you, CIRNAC.

5 All right. I'd like to call Environment and
6 Climate Change Canada for your closings remarks.

7 Closing Remarks by Environment and Climate Change
8 Canada

9 MS. GRAHAM: This is Anna Graham,
10 Environment and Climate Change Canada.

11 Thank you, Mr. Chair. I would like to thank the
12 Water Board for the opportunity to present today.

13 And I would also like to thank the translators and
14 the technical staff at Resolute Bay for making our
15 participation possible today and very smooth, so
16 thank you.

17 Environment and Climate Change Canada has
18 presented comments on the water licence application.
19 Our comments have -- are considered resolved, and we
20 have no further items to bring forward at this time.

21 Thank you.

22 THE CHAIR: Okay. Thank you.

23 Now I'd like to call Applicant to have your -- to
24 have your closing remarks.

25 Closing Remarks by Government of Nunavut, Community and
26 Government Services

1 MR. ROY: Thank you, Mr. Chair. This is
2 the opportunity -- we'll finally -- you are going to
3 conclude our technical meeting and public hearing
4 today. I thank you, the Water Board, and the -- the
5 Chair Members, executives, and the technical advisors,
6 also the IT personnel.

7 I must also thank the citizens of Resolute Bay,
8 the members who attended this meeting and contributed.

9 I must thank our consulting team, Eric, Tony, and
10 Daryl. They are the highest contribution to make our
11 application and today successful.

12 I must appreciate my colleague, Janise Idlout.
13 This is her first time -- appearance in this kind of
14 big -- you know, the meetings and audience.

15 So, finally, thank you very much for accepting my
16 application for 20 years' time. I'm happy, and I'm
17 looking forward getting the licence. Thank you,
18 Chairs, and thank you audience, everyone. Have a good
19 night.

20 Closing Remarks by the Chair

21 THE CHAIR: Thank you.

22 As we bring this public hearing to a -- to a
23 close, on behalf of the Board and my fellow Panel
24 members, I would like to thank all the parties and --
25 parties who contributed to making this public hearing
26 and community session a success, especially the

1 Applicants, GN-GCS, and their technical representative;
2 interveners, Crown-Indigenous Relations and Northern
3 Affairs and Environment and Climate Change Canada; NWB
4 staff and legal counsel; interpreter, Tapitia
5 Qitsualik; the reporter -- our court reporter, Sara
6 Anderson; sound condition, Ryan -- Ryan Dempster; all
7 the community members for their valued participation in
8 this hearing.

9 Thanks also the caterers and the -- and the Hamlet
10 of Resolute Bay for their outstanding hospitality and
11 patience with the Board.

12 In closing, I would like -- I want to let the
13 parties know that -- what happen next for the
14 application. The Board -- the Board will now close the
15 public hearing record. What this means, that all
16 evidence with regards to the amendments and renewal
17 application is now before the Board, and no further
18 information will be considered by the Panel before they
19 make their decision about the application.

20 Now that the record is closed, the Board will
21 remit the file to the Panel to -- to decide whether or
22 not to grant a Type "A" water licence to GN-CGS.
23 Within 30 days to 45 days after the public hearing
24 record closes, the NWB will issue its record of
25 proceeding and decision to the Minister of Northern
26 Affairs. If the Board decision is to grant the

1 application, the Board -- the Board will also attach
2 the Minister's approval, a draft of recommended
3 amendments and renewed water licence. That concludes
4 the public hearing component of the Nunavut Water
5 Board's consideration of GN-CGS water licence amendment
6 and renewed application.

7 The Board and I wish to -- wish you all a good --
8 good evening and safe return travel to -- for all the
9 visitors to Resolute Bay. Let's have a closing prayer
10 for this -- regards to this -- our public hearing.
11 Let's stand. Let's pray.

12 Closing Prayer

13 THE CHAIR: Thank you all.

14 _____

15 PROCEEDINGS CONCLUDED

16 _____

17

18

19

20

21

22

23

24

25

26

1 CERTIFICATE OF TRANSCRIPT:

2

3 I, Sara Anderson, certify that the foregoing pages
4 are a complete and accurate transcript of the
5 proceedings, taken down by me in shorthand and
6 transcribed from my shorthand notes to the best of my
7 skill and ability.

8 Dated at the City of Calgary, Province of Alberta,
9 this 12th day of November 2020.

10

11

12

13

Sara Anderson

14

Sara Anderson, CSR(A)

15

Official Court Reporter

16

17

18

19

20

21

22

23

24

25

26

<hr/> <p style="text-align: center;">0</p> <hr/> <p>0.02 58:15 153:12</p> <hr/> <p style="text-align: center;">1</p> <hr/> <p>1 16:1 30:16 43:2 50:19 58:19 78:4, 6 98:13 105:21 149:16 161:26 162:2,6,20 163:13 168:14</p> <p>1's 126:3</p> <p>1,500 32:8 141:10</p> <p>1-inch 163:17,21</p> <p>1-micron 43:7</p> <p>1.2 153:14</p> <p>1.25 58:18</p> <p>1.8 188:14</p> <p>10 9:12 21:14 50:14 78:6,7 114:2 135:8 174:10</p> <p>10-year 21:14 78:3</p> <p>100 34:25 55:11</p> <p>103,000 43:26</p> <p>11 184:6</p> <p>110 86:9 187:2</p> <p>114,000 144:2</p> <p>12 19:13,14 184:10</p> <p>120,000 101:8</p> <p>125 86:10 187:2</p> <p>126,000 144:6</p> <p>126,020 36:4 142:16</p> <p>126,200 41:6</p> <p>12th 99:15 102:25 136:16 194:9</p>	<p>13 10:3,19 131:17 184:25</p> <p>13.3.6 10:19</p> <p>13th 42:25</p> <p>14 19:25,26 60:23 74:19,24 185:2</p> <p>141,000 44:2</p> <p>14th 99:17 136:19,23 137:7</p> <p>15 19:25 58:19 83:2,10</p> <p>15-minute 24:13 94:25</p> <p>150 55:8 145:19, 23 152:1</p> <p>150-millimetre 34:23 36:20,21</p> <p>1520 122:7</p> <p>157,000 55:7 151:26</p> <p>15th 136:19 137:7</p> <p>16 33:4 63:4 84:1 157:14</p> <p>160 147:21</p> <p>160,000 44:16,24 148:2</p> <p>17 19:16</p> <p>18 55:2 141:23,24 151:22 187:13</p> <p>183,000 55:10 152:4</p> <p>1970 32:8 141:9</p> <p>1970s 32:5</p> <p>1978 36:25 102:7 146:1</p> <p>19th 107:14</p> <p>1:15 59:20,24 60:2</p> <p>1:31 60:4</p>	<hr/> <p style="text-align: center;">2</p> <hr/> <p>2 16:2 30:21 44:4 59:20 126:3 132:17 168:15</p> <p>2-log 43:13</p> <p>2.3-millimetre 42:16</p> <p>20 9:12 18:12 19:2,4 20:17 31:4 36:11 41:8,9 62:6,9 78:16 100:8 122:15 135:10 169:19 191:16</p> <p>20-year 21:15 100:6 135:11 169:17</p> <p>20-years 143:1</p> <p>200 145:25</p> <p>200-millimetre 34:24 36:23</p> <p>2012 54:24 57:16 80:25 81:1,18 87:20 151:19 152:7</p> <p>2014 40:18 41:3 144:13,14,15 145:8 146:1</p> <p>2014/'15 36:25 37:5,6</p> <p>2015 32:26 36:2 40:20,21 41:3 142:14 161:11 164:22 165:11 166:10</p> <p>2016 33:5 40:21 55:2 60:26 104:1 151:22 165:11, 13,25 166:10</p> <p>2019 40:18 187:12</p> <p>2020 10:14 18:11, 21,23,26 19:2,3,</p>	<p>4,6,9,11,13,14,16, 18,19,22,25,26 20:4,11,14,17 30:19,24 31:1 33:2 36:3 42:25 44:16,23 49:4,13 54:24 55:2 57:16 63:9 77:25 79:4 81:2 87:18 88:12 92:3 99:10,15,17, 20 100:5 106:12, 26 107:1,6,7,13 136:11 141:11 142:14 147:12,14 148:1,15 151:19, 22 152:7 169:16 185:1,3 186:25 188:1,15 194:9</p> <p>2020's 32:9</p> <p>2020/2021 144:16,17,19,20, 25</p> <p>2021 33:24 49:22 72:7 73:18 148:24</p> <p>2024 61:17 104:20 145:1,3,5, 8 171:11</p> <p>2030 9:12 78:2 79:4,6 188:1</p> <p>2040 36:12,13 44:17 45:3,8 60:26 62:1,23 79:6 93:19,21,25 147:22 148:4,10, 12 188:2</p> <p>2047 43:19,26 44:13,18,24 60:22 92:3 147:12,24 148:3</p> <p>20th 137:11 186:25</p> <p>21 20:11</p> <p>216 148:11</p> <p>216,000 44:18 147:23</p>	<p>216,520 143:2</p> <p>216,528 18:13 36:14 61:1 62:2, 20 102:15 135:18</p> <p>21st 137:13</p> <p>22 18:21 19:6,18</p> <p>227 35:1</p> <p>22nd 136:2,9</p> <p>23 18:23 35:2 36:17 145:11</p> <p>236,000 44:19,24 147:24 148:3</p> <p>23rd 136:3</p> <p>24-hour 50:24 149:22</p> <p>24th 99:20 169:11</p> <p>25 35:17 58:8,11, 13 153:9,10</p> <p>25th 103:7 106:12 107:1,7</p> <p>26 19:3,4 99:10</p> <p>26th 169:10</p> <p>27 19:6 20:4 30:19,24 89:10 185:1,3</p> <p>27th 136:9,24</p> <p>28 18:23,26</p> <p>280 42:22</p> <p>28th 136:3,5</p> <p>29 10:13,20 18:11 19:9,11,19,22 36:2 107:6 142:14</p> <p>290 32:9,14 66:19 141:11,12</p> <p>299 132:10</p> <p>29th 103:5 107:13 136:11,13</p> <p>2nd 101:14</p>
---	--	---	--	--

3	3BM-YRB1621 33:4 104:24	60-metre 33:21 600 55:4,9 151:24 152:2 65,000 147:14	abbreviation 17:5	accurately 52:19
3 30:26 76:23 78:2,5,16 85:5 132:17 168:15 188:15	4	7	abbreviations 129:26	achieved 43:13
3-log 43:12	4 22:18 31:1,5 34:21 36:16 85:6, 7 101:17,18 106:26 168:15 169:16	7 27:26 32:17,20 50:14 96:11 120:8 141:22 146:5 168:17	ability 194:7	acknowledge 97:12 167:26
30 33:2 36:2 78:16,17 82:1 139:2 142:14 150:2 187:18 192:23	40 76:22 78:17 145:10 157:1 174:9,14	7-micron 149:13 70 82:6	above-ground 48:1	acquired 35:21 65:3
30-day 132:25 133:10	40,000 79:5,7	720 42:12 48:23	absolutely 81:14, 23 82:23 83:22	acquisition 56:17
30-year 51:18	400,000 144:4	74 32:6	acceptable 81:7 86:26 94:17	acronym 97:22
300 132:13 142:19	43'01" 32:6	75 14:24 33:25	acceptance 110:17	Act 10:16,21 20:13 98:19
30th 32:26	45 139:2 192:23	7:00 120:3 121:8, 18	accepted 109:3 173:7 190:1	Act 10:16,21 20:13 98:19 114:24 116:21, 22,23,24 177:23, 24,25,26
35 76:22 77:26 187:14	47 78:17 147:15	7:15 121:20	accepting 111:13 191:15	action 17:14 54:3 111:20 151:1
36 35:2 36:17 145:12 187:18	4th 100:5	8	access 20:25 35:2 36:17 48:12 138:14 145:12 187:6	actions 105:17 171:19
360 42:14	5	8 20:14 28:8 96:14 145:25	accident 163:25	activities 9:8 48:11 52:19 53:22 72:6 122:15
38 78:3	5 31:9 89:10 168:16	80 55:6,9 151:25	accommodate 32:8 141:10	activity 154:23
3AM-RUT 36:8 142:24	50 40:24 132:7,10 175:8	800 32:14 66:21 141:16	accordance 120:9 177:19 179:6	Acts 116:20 168:21 176:24,26 177:2,22
3AM-RUT--- 9:3 10:14 18:7 96:13,16 122:8 184:8	500 34:5,7	8th 137:2	account 42:26 84:10 88:14,23	actual 79:7,14 80:13 84:3 87:7 134:16 175:14 183:6 188:6
3AM-RUT--- 9:3 10:14 18:7 96:13,16 122:8 184:8	500-cubic 146:17 147:1	9	accounted 67:25 68:15,24 81:21 86:3,5 88:7,13 89:5	adapted 107:4
3BM-RES2025 100:10 169:22	500-metre 36:18 106:10 145:13	9 113:23 90,000 147:14	accounting 81:22	add 90:4 94:2 158:5,6 160:3 161:6,9 181:13
3BM-RUT1012 32:25 35:26 142:11	58 46:2	900 42:19	accounts 44:6,21 66:15,26 147:25	added 44:8,10 99:25 175:14 188:5
3BM-RUT12 122:7	5:29 185:3	94 32:6	Accreditation 53:13	adding 55:13
3BM-RUT1250 10:13 18:6	6	99.9 43:12	accredited 53:15	addition 11:14 43:14 50:8 71:17 127:18 149:6 150:14 166:13 184:1
3BM-RUT1520 9:2 18:10 21:6,17 97:5 100:19 167:21 189:18	6 13:3 24:17 31:13 125:12 145:21,23 168:17	9:20 8:19	accuracy 17:11	
	6-inch 46:9	A	accurate 11:22 17:8 53:9 128:1 129:18 194:4	
	60 33:21 48:24 82:6 103:6 105:4 134:7	A-N-N-A 113:4 abandoned 92:19		

additional 20:7 43:14 45:4,5 47:15 51:21,23 117:7 147:15 148:6 161:11,16 178:7 179:17 additionally 15:9,23 16:10 126:7 128:6 135:19 138:11 additions 107:15 address 9:13 26:21 53:19 74:11 150:19 164:5 165:8 addressed 19:8 21:2 94:6 100:22, 25 107:5 133:16 136:10 170:13 171:5 179:6 addresses 52:22 188:21 addressing 54:20,22 102:21 118:8 151:14,17 155:5 adds 77:15 adequate 45:19 83:4 adjacent 71:15 adjourned 60:2 121:18 183:1 ADJOURNME NT 24:20 94:26 116:3 130:14 167:3 183:8 adjustable 163:18,20 adjusted 135:9 administered 98:24 168:26 administering 71:4 administers 98:21 168:23	administration 11:5 127:7 administrative 141:1 administrator 11:11 20:24 127:15 advanced 120:22 adverse 71:8 advice 98:26 169:2 advices 138:7,10 advised 31:25 132:8 advisor 11:11 31:25 61:8 74:17 127:14 130:21 141:2 advisors 69:8 191:5 Affairs 26:7,13, 18 60:10,13 66:11 95:12 96:4, 7,15,20,22,26 97:12,21 98:1 105:12 109:26 114:20 119:16 128:24 129:15 134:23 136:7 137:9,18 167:6,9, 13,23 168:6 173:18 189:9,11, 14,16 192:3,26 affirm 95:4 113:9,10 affirmed 28:25 29:26 30:3 95:21, 22,23 113:13 afternoon 59:24 91:24 114:12 183:18 afternoon's 60:6 age 44:13 agencies 28:1	agency 69:4 agenda 16:16 19:22 20:15,18 22:18 28:9 120:9, 11 126:19,24 137:3,12 183:6, 11,12 189:4 agree 90:8 agreed 101:24 agreement 10:3, 5,20 98:20 131:18 168:23 agrees 99:22 107:26 ahead 12:15 22:23 23:10,20 28:11,16 31:18 32:2 59:4 60:12 61:3 69:21 73:11, 12,14 74:13 75:23 78:11 82:12 84:13 85:15 91:7 94:11 96:20 109:9 114:9 116:5 120:26 130:15 143:23 168:10 185:9 aimed 137:22 air 115:7 116:13 177:8 airport 21:13 32:19,22 33:2,3 34:8 35:13,14 40:3 43:23 44:22 51:9 62:18 67:19 68:21 85:10 86:4 88:15,24 92:18, 19,20,21 102:8 104:22 111:14,17 141:19,22,23 142:4 143:26 147:7,17,26 156:20 157:12 158:21 186:21,26	Alberta 194:8 alive 44:11 alternative 24:7 alternatively 171:26 amazing 108:18 amend 9:1 97:5 122:6 167:20 amended 21:15 122:14 amendment 10:12,23 18:5,22 21:5 22:16 114:1, 6 130:6 139:26 168:12 182:15 189:18 193:5 amendments 22:10 100:9 169:20 192:16 193:3 ammonia 54:22 56:21 57:1,5,12 58:17 151:17 153:13 amount 13:17 41:9 44:9 49:3 52:3 62:22 67:22 79:1,7 101:10 143:5 148:14 150:11 162:20 163:14 164:13 165:22 166:6,11, 14 175:7 187:24 amounts 50:6 149:4 analysis 110:18 117:23 178:23 analyst 114:15 176:19 analytical 53:4, 13 analyzed 53:11 Anderson 11:23 15:10 128:2 192:6 194:3,14	Anna 26:25 69:20,22 112:7 113:3,13 114:12 116:7 176:2,4,16 180:3 181:21,25 182:3 190:9 announcement 104:14 annual 43:17 44:15,23 68:20 101:6 142:15 148:1 170:6 annually 18:13 36:5 147:23 answers 63:1 66:4 68:26 76:15 77:22 85:5 87:3,5 91:9,12 153:23 156:11 182:3,20 185:14,19 anticipate 86:26 187:5 anticipated 53:20 57:2 144:26 145:2,5,8 150:20 anticipating 61:16 anybody's 175:16 anymore 39:25 92:26 156:22 157:4 159:19 anything's 160:22 apparently 140:9 appearance 191:13 appendices 107:16 applicable 180:23 applicant 9:11 10:11 16:7 19:8,
--	---	---	---	--

17 22:19,22 28:10,11,15,20, 24 30:8,10 31:18 61:3 69:5,9,10,11 70:21 73:7 74:6, 10,18 75:11 78:11 80:16 82:12 84:13 85:15 89:19 92:12 97:25 98:12 100:3,5 103:5,8,22 104:9 105:2 106:1,8,11 107:1,5,26 108:9, 16,23 110:2 117:11,20,23 118:7,12,22 120:14,16,17 128:21 129:12 131:8 132:21,24 136:10,25 137:13,17 138:4 139:8,9,16,25 154:2,6 156:14 157:7 161:21 162:8 168:9 169:16 171:12 172:24 174:25 178:10,18,22 179:5,11,20 182:19 189:8 190:23 Applicants 119:8 123:9 192:1 application 8:24, 26 9:8 10:9,24 11:6,26 12:20 17:17 18:3,4,9, 18,22,24 19:1,13 20:5,20 22:16 25:17 27:13,15, 24 28:5,9 29:18 30:17,22 31:23 41:22 94:22,23 96:8,12,16 97:4, 14 98:3 99:7,8,12 100:6,22 101:9, 23 105:23 107:3, 11 109:2 115:1,3 121:25 122:13 125:22 127:8 130:6,23 132:20, 21,25 133:3 134:21 135:1,2, 26 136:2,21 137:16,20 138:1 139:10,21,23 140:1,19,23 167:20 168:1 169:17 170:13 173:7 177:1,5,15, 18,19 182:15 184:12 189:24 190:1,18 191:11, 16 192:14,17,19 193:1,6 applied 44:3 52:18 53:6 72:23, 25 apply 132:8 appreciated 13:18 89:9 113:12 182:16 approach 15:10 128:8 138:8 approval 22:6 31:2 135:19 193:2 approve 134:20 approved 13:22 58:9 approximately 34:7 79:5 April 19:6,11 136:9,13 aquatic 42:17 area 10:4,7 16:20 32:16,17,22 33:21 34:8 47:7 51:24,25 71:16, 18 92:21 141:19, 23 150:7,8 175:3 187:22	areas 98:13 141:25 157:1 168:13 arranged 63:8 arrive 121:7 arrows 124:23 Article 10:3,19 131:17 artificially 53:2 asks 69:4 aspect 135:17 181:9 aspects 177:17 assessment 19:1 27:3 114:13 136:4 176:17 asset 33:14 71:3 assigned 98:9 assist 14:1 17:2, 25 127:26 128:3 129:21 assistance 11:21 17:6 20:22 130:1 assisted 25:2 140:24 assisting 25:12 assists 46:21 47:18 association 28:2 53:12 associations 23:7 assume 140:3 163:19 assurance 52:11, 17 107:8,10 118:3,5 171:24 179:3 assurance/ quality 22:4 assure 159:6 ATCO 18:16 33:16 71:2,24 135:21	attach 193:1 attempt 67:4 attend 24:25 94:16 attendance 18:1 attended 25:6 191:8 attending 25:5, 14,16 127:10 attends 182:13 attributes 52:20 audience 35:23 59:1 110:7 115:23 156:1 157:11 191:14,18 audio 11:19 14:11 16:4 24:3,7 127:24 August 20:11 31:1 100:5 102:25 106:26 169:16 authorization 9:1 132:8 authorizations 98:22 131:3 132:2,4 168:24 authorize 9:8 10:16 122:15 authorized 101:6,7 170:6 Autut 11:8 23:21, 26 24:14 29:15 67:10,11 74:7,8 94:12,13 109:10, 11 112:13,14 115:17,18 119:19,20 121:1, 2 127:12 128:14, 17 130:15 139:17 140:13 153:25 155:3,26 156:6, 12 157:5,26 158:3 159:8,25 161:20 162:7,25	163:1,4,10 164:6, 10,16 165:6 166:17,24 167:4 173:11,22 174:5, 15,24 175:9,20 176:7,11 180:3 182:4 185:21,22 average 58:14 68:8,10 153:11 avoid 9:18 15:17 17:5 122:22 129:25 aware 42:24 173:20 174:4,22 175:16 <hr/> B <hr/> B-E-L-L 29:3 B-H-A-B-E-S-H 29:22 B-U-R-K-E 29:14 back 13:5 16:17 39:4 59:20,22 60:5 66:12 74:24 80:18,24 81:17 83:17 89:3,6 92:1 105:9 108:25 115:25 120:2 121:13 140:10,11 141:7 155:16 161:14 164:14 167:1 174:19 189:3 background 9:25 22:15 131:15 backwashable 50:12 149:11 bacterial 82:5 bad 54:15 Baffin 33:12 balance 57:18 152:9
--	---	--	---

ballasts 48:7 band 32:18 base 32:9 based 44:13 55:1 62:10,21 68:17 79:19 80:26 89:22 93:17 101:23 132:16 147:17 148:5 151:22 172:3 186:22 187:3,19 basic 141:12 basically 39:20 75:6 80:2,6,10,26 85:8 87:18 89:11 131:19 139:13 172:20 186:4 basis 12:5 35:4 45:12 53:9 71:5 86:12 Bay 8:23 9:10,24 10:18,26 11:18 25:7 30:18,23 31:3,8,12,16,23 32:4,5 33:9 34:14 43:22 56:23 57:7 83:9 96:11 100:18 106:24 107:4 113:26 114:5,22 122:18 135:7,12 138:23 140:20,26 141:6, 8,12 146:18 158:14 167:24 170:2 182:14,23 184:9,12 189:20 190:14 191:7 192:10 193:9 bear 130:12 beautiful 167:24 bedding 49:18 148:21 begin 9:21 15:19, 20 95:3 120:20 121:8 122:25 123:1	beginning 99:7 behalf 9:23 28:24 97:11 167:22 182:18 189:15 191:23 Bell 22:25 23:1 25:10 28:12 29:2, 3 30:2 31:25 32:1 41:26 42:9 49:8, 11 55:17 57:26 63:16,17 64:13 67:3,16 141:3 143:18,22,24 145:20 146:9 160:4 163:11 164:11 186:17 belonged 33:1,5, 7 142:1,4,6,7 benefit 131:25 174:18 Bhabesh 23:3,4, 22 29:17,19,22, 26 30:26 59:4 61:22 62:3 63:25 64:4 65:2,5 71:13 76:1 77:4,21 78:22 80:21 82:20 85:4 86:1 90:8 91:9 94:5 109:12 140:3,4,9, 18 143:13 146:9 153:25 157:7,8, 26 158:4 160:1,4 162:8 163:1,7,11 165:7 166:17 174:26 185:4,13, 19,23 186:2 Bhagesh 24:26 big 25:3 104:2 140:21 160:17 161:26 164:4,22 165:1 166:21 191:14 billed 35:4 bioassay 22:9	biochemical 153:8 biological 56:26 57:8 82:3,8,24 83:11 187:20 biological/ mechanical 82:2 birds 115:10 116:15,23 177:10,25 bit 14:10 49:9 67:4 71:12 79:12 101:19 134:26 139:15 143:19 163:23 172:14 blanks 53:1 118:4 bleed 39:4,6 44:8, 12,23 45:1,6 61:13,14 62:19 74:26 75:7,14,16, 19 76:5,9 78:1,26 79:1,4,7,14 80:8, 9,10,13 86:13,17, 23 87:2 88:3,6 147:18,26 148:8 162:19 163:12 184:26 187:24 188:11,12 bleeding 34:26 74:21 77:7,10,13, 18 85:20 93:19, 23 blind 53:3 blocked 55:20 157:20,22 158:25,26 blue 21:8 22:12 38:6 85:1 108:7 111:12 Board 9:5,7,24, 26 10:1,21,25 11:2,7,13 12:17 13:19 14:1,4 15:6,11 17:10,12, 14,19,20,21,23 18:3,19 24:1 27:14,15,20,23 28:6,19 29:16 30:5,11,19,24 67:11 69:11 74:4, 5,8,14,18 79:24 84:2 87:5,11 89:24 91:17,21, 22 94:13 95:9,20, 25 97:1 98:6,25 99:19 103:11 105:6 106:5 108:1,12 109:11, 22 110:11 112:11,14,26 113:8,15,25 114:4,17 115:18 119:18,20 120:6 121:2,25 122:10, 12,13 123:9,20, 24 126:25 127:3, 17 128:9,18 129:10,12,18 130:17,20,21 131:2,3,16,18,22 132:3,20,22 133:5,9,26 134:5, 19 136:14,18 137:3,4,7,11,14, 23 138:12,19,21 142:18 154:12,17 167:17,26 169:1, 7 172:16 180:8, 11,14,18 182:18 183:15 184:2,6 185:11,22 186:3, 5 189:17 190:12 191:4,23 192:11, 14,17,20,26 193:1,7 Board's 11:5 13:22,23 15:3 17:7,16 41:6 81:16 97:13 99:1, 14 128:19 130:5, 24 131:18 138:20	139:20,22 169:3 175:22 193:5 BOD 38:22 86:6, 8 187:1,13 BOD-TSS 40:8 body 70:18 152:19,20 boilers 49:17 148:19 bottles 53:11 bottom 24:9 box 115:24 break 24:13,15 59:19,21 94:25 115:22 116:9 166:26 167:1 183:5 breakdown 23:5 breaks 16:22 briefing 12:11 123:6,19,20 briefly 114:24 138:17 bring 13:6 153:18 190:20 191:22 brings 134:16 broad 98:17 168:19 broadcasts 16:1, 2 brought 16:21 build 33:23 39:22 75:5 110:21 153:6,17 building 14:23 15:1 21:8,9,26 22:12,13 33:20 35:3 38:6 39:25 48:13 49:16 51:21 52:2,8 55:18,22,25 56:6, 14 64:17 77:17 82:7,9,26 83:10,
--	---	---	---

<p>15,18 84:25 85:1 101:2 103:17 106:23 108:7 111:12,16 145:7 148:19 150:4,10, 14 151:17 170:9 172:21,22 173:2 187:17</p> <p>building- addition 52:6</p> <p>buildings 56:3 84:3,5 104:5 141:24</p> <p>built 35:9,11 36:25 37:18,24, 25 39:11 40:24 64:10 102:6 108:3 111:7 146:1 162:12 171:1 172:26</p> <p>bullets 171:22</p> <p>bumping 124:26</p> <p>buried 34:22 36:16 37:4 144:12 145:11</p> <p>Burke 25:15 29:13,26 82:20, 21 86:1,2 87:14, 15 88:19 90:5,7 141:4 185:3 186:13</p> <hr/> <p style="text-align: center;">C</p> <hr/> <p>Caduceon 53:15</p> <p>calcium 50:3,22 149:2,20</p> <p>calculate 34:1 79:18</p> <p>calculated 43:18 44:23 54:26 55:6, 7,9 62:3 148:2 151:21,23 152:3</p> <p>calculation 62:7 68:19,24</p>	<p>calculations 68:16 89:1,4,6</p> <p>Calgary 194:8</p> <p>call 9:16 14:3,7, 12,19 22:24 23:4, 12,14 24:8 25:14 26:6,22 64:19 67:1 69:18 78:20 80:23 100:12 112:22 122:20 126:22 140:10 141:21 153:7 166:1 169:24 190:5,23</p> <p>called 38:21 91:26 92:17,18 140:11 142:10,13 166:2</p> <p>calling 9:17 15:16 122:21</p> <p>Canada 10:5 26:13,22,26 57:13 66:11 69:19,26 70:4 72:21 74:1,15 83:6 96:15,22,26 97:12,21 102:26 105:12 109:26 112:8,22 113:4, 18,24 114:3,8,10, 14,20,26 116:5,8 117:4,7,24 118:2, 9,17,24 125:9 128:25 129:15 134:23 136:8,9 137:9,11,18,19 142:5 167:13,23 168:6 173:18 175:26 176:12, 18,23,26 177:7, 14,20 178:7,15, 21,24 179:8,15, 22 180:6,12,16 181:8,9,16,20 182:6 189:9,11, 14,16 190:6,8,10, 17 192:3</p>	<p>Canada's 96:7 98:2 115:5,9,11 116:11,14,16 177:9,10</p> <p>Canadian 32:12 51:14 53:12 116:21 141:13 149:25 177:23</p> <p>Canadians 132:1</p> <p>CAO 25:19 59:1</p> <p>capable 57:21 117:13 152:13 178:11</p> <p>capacity 14:23, 24 15:1 21:20,21 42:14 45:2 86:22 93:3,12,16,22 104:21 148:4</p> <p>capita 61:12 62:7,10,17</p> <p>capital 51:17 150:1</p> <p>captures 18:19</p> <p>carbonaceous 153:8</p> <p>carry 100:13</p> <p>cartoon 170:17</p> <p>cartridge 50:18 51:4 149:16</p> <p>case 40:10 46:1 54:9 76:12 79:19 151:6 152:20 158:11</p> <p>cases 35:18</p> <p>catchment 175:3</p> <p>category 142:21</p> <p>caterers 192:9</p> <p>caused 47:25</p> <p>CBOD 35:17 58:7,9 153:7</p> <p>cell 15:18 122:24</p> <p>Celsius 83:3,10</p> <p>centigrade 58:20</p>	<p>centre 32:12</p> <p>CEO 25:6</p> <p>CERTIFICATE 194:1</p> <p>certified 53:12</p> <p>certify 194:3</p> <p>cetera 28:2 165:21 188:10</p> <p>CFUS 151:26</p> <p>CGS 23:2 42:3 45:10,16 119:8 185:19 189:23</p> <p>chair 8:21 9:5,23 12:16 13:10,11 15:2,7,8 23:6,11, 16,17,21 24:11, 14 26:3,10,20 27:1,6 28:15,17, 19 30:6,14,15 31:17,21 36:7 42:6 49:7,9 59:9, 11,13,17,18,26 60:5,12 61:2 62:26 64:2,5 66:6,9 67:8,10 69:1,2,3,13,17 70:3,19,20 72:14, 15,20 73:5,6,11, 14,15,23,24,26 74:3,7,9,12,16 75:9,10,12,25 76:17,19 77:1,3 78:10,13 79:22, 23 80:15,17 81:10,11 82:11, 13 84:12,14 85:14,16 88:18 89:18,20 91:5,6, 13 92:11,14 94:10,12,21 95:1, 8,26 96:10,18,23 100:15,16 109:5, 10,12,16,19,21 110:4,10,12,16 111:26 112:1,10, 13,17,25 113:16,</p>	<p>22 114:7,11 115:14,17,19 116:1,4,7 119:5, 6,9,12,14,17,19, 21,22,26 120:1,5, 7,21,25,26 121:1, 3,11,12,23 122:10 123:4,23 125:18,23,25 126:23 128:17 129:16 130:12 131:12 138:20 154:7,11 161:19 182:8,12 183:4, 10,14,16,21 184:14,23 185:6, 10,12,15,16,21 186:3 188:22,23, 25 189:1,3,12 190:4,11,22 191:1,5,20,21 193:13</p> <p>chaired 138:19</p> <p>chairing 11:1 126:26</p> <p>chairman 9:4 22:26 24:24 25:20,26 28:13 42:10 61:5 66:5 91:19 92:5,10 129:5 156:9</p> <p>chairs 13:9 124:19 191:18</p> <p>challenges 57:20 152:11</p> <p>challenging 65:7 93:20</p> <p>chance 103:11 138:5</p> <p>change 24:3,5 26:22,26 69:18, 23,26 70:4 72:21 74:1,15 80:4 102:26 107:24,26 112:5,8,22 113:4, 18,24 114:3,8,10,</p>
---	--	---	--	---

14,25 115:5 116:5,8,10 117:4, 7,24 118:2,9,16, 24 128:24 129:15 136:8 137:10,19 139:12 147:8 160:17 172:13 175:26 176:5,12, 18,23,26 177:6, 14,20 178:15,21, 23 179:8,15,22 180:6,12,16 181:8,9,15,20 182:6 187:7 190:6,7,10,17 192:3 changed 160:20, 22 Channel 16:1,2 126:3 chapter 34:19 Char 18:14 21:20 33:17,18 34:1 36:18,21 37:6 38:10,11 39:10 41:4 42:5,18 43:17 45:2,7,11, 13,24,25 46:3,7, 8,9,14,18,24 47:21,22 48:15, 17 49:2,4,13,19 50:7 51:1 61:15 65:14 66:3 68:20 70:9,12,26 71:16, 19 72:3,5,8,13 78:15 84:16,23 92:1,2,18 93:1 102:3,24 108:17 118:13,18 135:16 143:6 144:15 145:12,22 146:14,15,24 148:3,9,13,16,21 149:5 154:18,21 155:9,21 158:10 159:7 166:7 170:17 179:12	characteristics 85:11 87:8,10,13, 22,25 88:5 91:4 186:20 chart 44:8 175:7 check 19:2 20:23 132:26 136:4 checks 121:6 chemical 54:5 87:7 151:3 chief 13:21 140:26 chime 67:5 chlorine 34:15 43:14 50:3,8,22 54:6 58:15 149:2, 5,20 153:11 circled 134:17 circulating 150:6 circulation 34:11 51:23 164:9,12 circumstances 12:19 133:21 CIRNA 19:15 167:2 173:23 175:23 CIRNAC 9:13 19:5 97:22 107:26 109:1,13 110:5,19 112:6, 20 173:14 174:5 189:26 190:4 citizens 191:7 city 92:24 194:8 cladding 52:7 150:15 clarification 102:12 109:18,24 110:1,5,7,12,20 111:3 112:3 118:21 179:19 180:10,15 184:26 clarifications 60:18	clarified 104:10 clarify 75:2 77:23 158:8 classed 35:6 clean 155:12 172:20,24 173:2 cleaned 48:2 clear 60:20 clearer 64:24 Climate 26:22,26 69:18,23,26 70:4 72:21 74:1,15 102:26 112:4,8, 22 113:4,18,24 114:3,8,10,14,25 115:5 116:4,8,10 117:3,6,24 118:2, 9,16,24 128:24 129:15 136:8 137:10,19 175:25 176:5,12,18,23, 26 177:6,14,20 178:15,20,23 179:8,15,22 180:6,12,16 181:7,9,15,20 182:5 190:6,7,10, 17 192:3 close 13:17 17:15 71:6 120:13,15, 19 124:26 125:11 131:12 182:9 191:23 192:14 closed 192:20 closer 65:10 121:8 closes 192:24 closing 182:11 183:2,3 185:8 189:6,8,10 190:7, 24,25 191:20 192:12 193:9,12 closings 190:6 closure 22:11 98:16 108:4	168:17 172:19 coffee 16:20 115:24 166:26 coin 157:18 coliform 54:21, 26 55:6,10 89:11, 22 90:1,21,24 101:13 117:20 151:15,21 152:3 170:8 178:19 180:17 181:23,24 coliforms 90:12 151:26 178:17,25 181:2 colleague 116:26 143:7 191:12 collect 63:9 collected 34:9 53:10 104:17 171:7 collection 21:11 37:26 145:3 149:9 188:10,12 comanagement 98:18 168:20 combine 61:14 combined 88:15, 16 186:26 comfortable 93:26 commence 130:8 COMMENCED 8:19 comment 17:10, 13 80:12 103:19 105:13 106:13 107:17 108:4 110:14 117:5,25 118:25 119:8 159:23 169:14 172:6 174:22 175:21 179:23 commenter 177:16	comments 17:6 19:4,8,15,18,20 27:23 63:11 72:2 98:8 99:13 102:10 103:11 104:25 105:20 109:4 112:5,12, 19 115:2 117:1,3, 16,25 118:10 119:10 129:2,7, 10,19 131:7 133:7,13,16 134:9,11 136:6, 10 138:5,11 168:13 169:10 170:20,26 171:22 172:19 173:8 177:3,17 178:2,4, 16,24 179:2,8,26 182:14 190:2,18, 19 commission 33:24 commissioned 56:16 76:7 106:20 173:1 commissioning 101:24 106:4 110:22 172:4 commitment 63:24,26 101:4 117:15 171:14 commitments 20:6 136:26 178:13 committed 103:5,22 105:3 106:2,8 108:9 171:12 172:25 common 52:23 communicated 17:17 communication 60:20 community 8:25 10:10 14:25
---	---	--	---	--

16:17 18:8 20:10, 16,18 22:17 23:14 27:22,25 31:19 32:7 33:8 36:1,9 43:23 44:22 45:4 48:3 60:14 62:9 66:18 68:23 70:1 75:15 91:18 92:8 94:15, 16,19 97:4,15,24 99:6 101:9 104:3, 10,15 109:2 110:14 114:21 120:3,8,12,23 121:21,22,24,26 122:1 123:3 125:22 126:20 128:21 130:18 135:3 136:13 139:11 140:15,16 141:9 142:11,25 147:13,26 148:5 154:12,23 155:4 156:17,18 167:9, 19,25 168:2,8 173:17,18 176:13 180:12 182:9,11, 13,22,25 183:1,3, 7,19,22,23 184:6, 10,17,21 185:12 186:16 189:21,23 190:25 191:26 192:7 company 32:21 54:19 57:9,17 compared 188:1 comparing 188:1 comparison 71:24 187:11 compatible 152:13 compiled 42:2 complete 17:8 20:19 27:17 33:23 73:20 82:15 102:18	113:10 133:3,8 194:4 completed 20:2 39:21 52:4 57:16 106:10 118:19 136:22 139:13 150:12 completely 55:20 185:16 completeness 19:2 99:9,11 132:26 136:4 compliance 12:10 21:16 22:7 38:21 40:10 58:10,21 98:14 107:25 123:16 146:22 147:4 152:24 168:15 170:1 178:25 compliance 40:14 complicated 101:19 complied 13:19 component 36:15 38:3 141:5, 18 193:4 components 36:26 65:15 84:22 105:24 144:10 145:10 170:18 concentrated 86:11 concentration 58:14,17 86:6,8, 18 90:13 153:11, 13 187:8 concentrations 86:24,25 87:26 88:1 181:24 186:19,24 187:3 concept 82:16	conceptional 83:18 187:17 concepts 105:15, 16 171:17 conceptual 83:14 187:19 concern 56:22 86:23 104:11 157:24 181:15 concerned 154:20 concerns 13:24 54:17 97:16 102:21,25 103:1 105:5 106:23 137:24 138:5 139:1 151:11 165:9 168:4 171:4 189:25 conclude 191:3 Concluded 183:7 193:15 concludes 188:26 193:3 conclusion 64:14 173:5 concrete 49:15 52:5,7 148:18 150:13,14 condition 101:17,20 103:15 105:7 106:6 108:13 180:20 192:6 conditions 45:21, 23 100:19,23 115:12 116:17 170:3 177:11 conduct 10:24 19:12 133:12 conducted 14:4 18:23 99:12 121:6 122:12 130:3 154:25	conference 9:16 19:24 20:1,4 21:3 98:7 99:17,24 122:20 133:18,26 134:1 136:19,22, 23 137:1 141:3 169:12 confirm 19:23 45:17 60:24 63:18 81:23 88:17 89:4 181:18 confirmation 45:10 63:13 133:5,7 confirmed 86:21 confirming 17:11 confusing 80:1 congestion 45:23 connect 40:6 46:10 connected 39:17, 19,22 connecting 39:13 104:5 connection 110:23 162:16 conservation 131:23 conservative 88:2 148:5 conserve 115:9, 10 116:14,15 177:9 consideration 99:1,14 121:9 169:3 173:8 175:22 193:5 considerations 109:3 190:1 considered 20:8 51:19 92:25 117:25 150:3 190:19 192:18	considers 108:1 117:16 118:10,24 178:15 179:8,23 consist 30:6 consistent 45:12 consists 34:22 35:1 113:18 138:20 constant 51:8 constantly 76:11 constraints 64:21 construct 171:13 constructed 37:7,17 49:17 56:16 74:24 76:6 144:22,23 148:19 construction 33:22 37:12,14, 21 39:11 41:20 46:24 47:7 49:2, 4,22 52:4 64:23 70:9,18 71:6,8 72:6,11 75:1 89:13,15 90:22 103:19,21 104:19 105:5 118:14,23 135:21 139:13 144:16,18,25,26 145:2,5 147:12 148:14,15,24 150:12,17 171:11 179:12,21 construction/ decommissionin g 21:10 constructions 103:22 consultant 41:13,15 75:21 78:15 consulting 191:9 consume 17:1 43:22 126:18 132:6
--	--	---	--	--

<p>consumed 62:23</p> <p>consumption 35:3 43:23,24 44:15,23,26 61:13 62:8,10,17 67:23 68:2,8,16, 21,23,25 76:24 79:20 93:23 147:13,17,21 148:1 156:23 159:13,21 164:23 173:19</p> <p>consumptions 156:26 162:3</p> <p>contact 16:8,13 35:23 68:1 71:6 104:6,11 124:15 126:6 140:22</p> <p>contact-tracing 126:10</p> <p>contacted 33:15</p> <p>contained 80:5 82:26 93:6</p> <p>containment 53:18 151:1</p> <p>contaminants 47:24 53:26 86:6 150:24</p> <p>contaminated 48:19 92:25 102:23</p> <p>contamination 48:18 53:3</p> <p>contingency 22:3 47:17 53:18, 19,25 54:3,8 107:2 118:6 150:18,19,24 171:24 179:4</p> <p>continue 41:24 55:15 59:23 72:6 73:18 112:21 116:9 131:4 135:20 140:5 143:10 146:8</p>	<p>183:5 185:18</p> <p>continued 9:9 10:16 18:14 102:17 122:16 135:5</p> <p>continues 34:19</p> <p>continuing 111:21</p> <p>continuous 72:24</p> <p>contract 25:1 64:19 71:4</p> <p>contractor 33:15 63:19 65:13 104:8</p> <p>contributed 11:5 127:6 137:19 191:8,25</p> <p>contributing 182:25</p> <p>contribution 77:26 78:1 191:10</p> <p>contributions 74:25 98:3 99:5 168:11 169:5</p> <p>control 22:4 47:5,23 52:11,18, 22 53:6 71:11 107:9,10 118:3,6 171:25 179:3</p> <p>controlled 34:12 83:1</p> <p>controlling 47:2</p> <p>Convention 116:23 177:25</p> <p>coordinate 116:18 177:12</p> <p>coordinating 65:12</p> <p>coordinator 27:3 114:13 176:17</p> <p>copy 31:13 95:26 96:2 155:17</p>	<p>184:25 185:2</p> <p>correct 24:12,22 66:1 76:2 90:26 109:23 166:16 181:12,21 186:10</p> <p>corrected 107:11 171:26</p> <p>correction 146:4</p> <p>correctly 88:12 90:10</p> <p>correspondence 19:11,16,23 20:15 30:26 138:2</p> <p>cost-competitive 57:21 152:12</p> <p>costs 51:17 150:1</p> <p>counsel 11:7,12 12:13,17 28:18 30:5 95:3,9,20,24 109:22 110:11 112:24,26 113:8, 15 120:6 121:15 123:19,24 126:14 127:9,17 183:12, 15 185:11 192:4</p> <p>count 85:10</p> <p>counting 59:7</p> <p>couple 130:12 173:21 174:2 183:16</p> <p>court 11:23,24 14:6,13 15:10 17:2 49:10 128:2, 3,8 129:21 174:18 192:5 194:15</p> <p>cover 103:13 106:17 107:7 176:22</p> <p>coverage 84:5</p> <p>covered 94:5 104:24</p> <p>covering 130:26</p>	<p>covers 99:25 100:11 169:22</p> <p>COVID 65:6,8</p> <p>COVID-19 12:7, 26 15:4 16:10 64:20 123:14 124:11 126:8 133:24</p> <p>created 10:2</p> <p>credit 43:14</p> <p>credits 43:13</p> <p>criteria 21:18 48:25 58:24 132:16 153:4,20</p> <p>critical 81:17 84:8</p> <p>cross-</p> <p>contamination 50:10 52:23 149:8</p> <p>CROSSTALK 162:14</p> <p>Crown 98:19,22 99:3 168:21,24</p> <p>Crown-</p> <p>indigenous 26:6, 12,18 60:9,13 66:10 95:11 96:3, 6,14,19,21,26 97:11,21 98:1 105:11 109:25 114:19 119:13,15 128:23 129:13,14 134:23 136:7 137:8,17 167:5,8, 13,22 168:6 173:17 189:9,10, 13,15 192:2</p> <p>cryptosporidium 43:9 50:20 149:18</p> <p>CSR(A) 194:14</p> <p>cube 36:14 145:14,16</p>	<p>cubed 34:7 44:15</p> <p>cubic 18:13 36:4 41:6 44:16,18,19 61:1 62:2 101:8 102:15 132:7,10, 13 135:18 142:16,19 143:2 144:4,6 147:21, 23 148:2,3,11</p> <p>cuff 81:9</p> <p>culverts 158:24, 25 161:12,16</p> <p>current 34:16 35:20 37:20 41:7, 15 43:18 54:17 56:20 57:12 107:18,23 114:26 134:17 136:12 141:8 144:7 147:21 148:13 151:11 186:23 187:4,19</p> <p>curtain 49:20 148:22</p> <p>curtains 71:18, 22 72:8</p> <p>customer 68:10</p> <p>cut 65:25</p> <p>cysts 149:14</p> <hr/> <p style="text-align: center;">D</p> <hr/> <p>D-A-R-Y-L 29:13</p> <p>daily 68:9 115:11 116:16 177:11</p> <p>dangerous 131:21</p> <p>Daryl 25:15 29:13,26 32:1 75:23 76:2,26 77:5 78:18,20 82:19,20 85:25, 26 86:1 87:4,14 88:10,19 89:8</p>
---	--	--	---	--

<p>90:4,6,7,26 91:9 141:4 185:3 186:13 191:10</p> <p>dash 36:8</p> <p>data 42:3 55:1,2 63:10,25 89:12 107:20,23 117:10,16 143:25 172:12 178:14 186:23 187:4,6, 11,12</p> <p>date 87:11 99:4 106:17 135:26 138:6 142:13,14</p> <p>dated 31:1 185:1 186:25 194:8</p> <p>dates 169:8</p> <p>day 16:23 20:3 35:1 43:21 44:1, 2,5,11 55:5,6,9 61:12 65:23 79:6, 7,8 96:24 132:7, 11,13 136:23 137:4 142:19 147:13,22 151:25 152:2 194:9</p> <p>day-to-day 33:16</p> <p>days 9:6 68:8 103:6 105:4 134:7 139:2 192:23</p> <p>deadline 19:2 136:15</p> <p>dealing 157:24</p> <p>deals 47:7</p> <p>Debbie 155:14</p> <p>December 33:4 104:3</p> <p>decide 134:24 192:21</p> <p>decides 133:6</p> <p>decimal 188:5,7</p> <p>decision 17:14, 16,18 20:5 98:7</p>	<p>99:24 134:1,20, 21,22 137:1 139:3,4 169:4 192:19,25,26</p> <p>decision-making 120:20 127:2</p> <p>declare 71:10</p> <p>decommission 111:11,24</p> <p>decommissioned 35:10,15 38:7 84:19,26 85:3 100:1 108:6</p> <p>decommissionin g 21:7,25 22:11 46:20 47:9,16,17, 21 70:10 83:25 84:1,10,21 103:3, 7,8 108:16,20,24 110:23 111:1,17</p> <p>decrease 75:6</p> <p>decreasing 77:8</p> <p>dedicated 46:9 82:8</p> <p>deep 157:1,2 158:15 174:9</p> <p>deeper 159:13,15</p> <p>defer 181:16,25</p> <p>deferred 81:15 120:16,23 183:17 184:20 185:24 186:4,15</p> <p>deficiencies 107:9 108:19 171:25</p> <p>define 90:9,11,13</p> <p>degradation 188:9</p> <p>degree 32:6 40:7 58:19</p> <p>degrees 83:2,8,10</p> <p>delay 14:10</p> <p>delays 65:5</p>	<p>delegate 154:9</p> <p>delegated 10:22</p> <p>delivered 50:23 149:21</p> <p>delivery 63:8 102:8</p> <p>demand 43:25 62:16 94:1 144:7 148:10 153:8 165:23 175:7</p> <p>demolition 52:6 150:13</p> <p>Dempster 11:19 24:2,22 127:24 192:6</p> <p>denying 17:11</p> <p>department 8:26 10:10 16:12 18:8 33:5 71:7 72:1 97:22,24 98:4,8, 17,21,23 99:2,4, 8,11,16,18,22 100:7,21 102:10, 18 104:25 105:6, 20,25 106:4 108:11 116:20 122:2 126:10 128:22 133:23 142:7 168:7,8,11, 19,23,25 169:5,9, 11,18 170:12,19 171:14,21 173:6 177:22 179:1 181:17</p> <p>department's 106:13,23 107:12 114:23 176:24</p> <p>departments 181:26</p> <p>depends 132:5 133:20</p> <p>deplete 160:9</p> <p>deposit 10:16</p> <p>describe 105:15 171:17</p>	<p>describes 47:12 52:17</p> <p>describing 160:5</p> <p>description 18:2 70:11 179:16</p> <p>design 37:22 41:20 42:3,11,25 48:21 49:2 56:10 57:14,16 64:10, 13 78:8 80:24 81:21 82:15,16 85:8 87:1,19,22, 24 88:1,9 89:1,3 90:3 91:2 105:3 152:5,7 153:5,17 163:16 164:1 186:20,24 187:8, 10 188:16</p> <p>designed 32:7 57:12 117:12 141:10 178:11</p> <p>designing 58:7 85:12</p> <p>designs 54:25 103:23 151:20</p> <p>desired 45:14</p> <p>desk 12:21 138:9</p> <p>detail 14:2 47:12 80:19 85:25 90:3</p> <p>detailed 61:10 82:15 105:3 133:12 187:10</p> <p>details 20:19 47:15 61:20 77:6 106:15 117:7,9 139:9 177:18 178:7</p> <p>detector 56:17</p> <p>determination 101:13</p> <p>determine 170:7</p> <p>determined 55:1 151:22,26 152:3</p> <p>determines 47:7</p>	<p>develop 89:21 90:21</p> <p>developed 52:12 83:19 91:1</p> <p>developing 71:8</p> <p>Development 33:6 142:8</p> <p>device 39:2 64:18,19</p> <p>DFO 42:15 93:9</p> <p>dial 24:8</p> <p>diameter 34:23, 24 36:20,21,23 80:3 145:21,23, 25 163:13</p> <p>Dicta 11:24 128:3</p> <p>diesel 54:6 151:5</p> <p>difference 57:17 78:5 79:12 152:8 156:22 162:2</p> <p>difficult 65:9 82:5 172:11</p> <p>difficulty 11:20 115:20 127:25 130:11</p> <p>digital 188:6</p> <p>dilute 39:4 55:25 74:22 80:11</p> <p>dilution 86:13</p> <p>dimensions 80:3</p> <p>direct 15:13 128:11 129:11</p> <p>directed 40:8 59:14</p> <p>directing 109:12</p> <p>direction 52:3 69:14 124:25 150:11</p> <p>directly 15:11 46:6 69:9 71:19 94:18 128:9 129:23</p> <p>director 11:9 17:25 123:8</p>
--	---	--	---	--

127:13 128:14 disapprove 134:20 discharge 35:7 57:1 90:11 147:5 discharged 104:19 171:9 disclose 69:4 discommissionin g 145:8 disconnect 111:11 disconnects 56:19 discuss 17:20 131:5 discussed 103:26 105:2,26 140:1 171:9 discussing 12:4 18:4 22:16 101:3 123:12 discussion 94:19 116:26 183:9 discussions 98:9, 11 100:3 137:22 170:11 179:10 disinfectant 34:15 disinfected 51:5 disinfection 50:2,21 51:15,22 149:1,19,26 150:6 dismantled 47:26 disposable 50:17 disposal 9:9 48:4 52:14,15 53:23, 24 122:16 135:5 150:22,23 dispose 10:22 disposed 48:3,8 180:24	disproportional 76:21 distance 13:3,11 124:21 distanced 124:20 distribute 133:10 distributed 18:26 19:19,22 20:17 102:6 132:25 133:8 134:2 136:3,14 137:12 distribution 34:10 38:15 39:17 50:11 137:12 138:2 149:9 distrubution 39:21 disturbing 47:25 divided 32:15 141:18 170:4 division 33:14 64:18 71:3 document 20:26 178:24 documentation 20:7,23 132:22 documentations 154:19 documents 18:25 41:21 110:18 138:15 door 12:21 15:26 56:8 126:2 double-check 89:6 draft 19:22 20:15 134:21 137:3 193:2 drain 162:21 drainage 47:3 157:22 158:26	drained 174:3,9, 11 dramatically 32:11 draw 68:6 102:4 drawing 50:26 65:24 83:14,16 drinking 37:20 51:14 149:25 155:12 drive 39:2 158:20 drop 74:22 83:7 dry 50:23 149:21 dual 43:3 due 12:6 41:6 47:21 66:20 86:12 109:3 123:13 156:22,25 157:2,17 160:14 173:7 190:1 dump 21:7 dumped 147:9 dumping 40:3 duplex 149:10 duplicates 53:3 duration 36:11 63:24 147:11 dust 47:6 Dwyer 31:1	easier 107:25 east 48:24 easterly 52:3 150:11 easy 110:7 eat 125:5 ECCC 19:5,15 35:17 40:8 58:5 72:16 73:25 89:21 117:16,21 119:16,25 153:5 economic 33:6 57:19 142:8 economics 152:11 ecosystem 92:6 ecosystems 154:24 Edmonton 65:4 effect 57:13 86:13 effective 83:8 effluent 21:18 22:9 35:16 56:21 57:1,22 58:20,22 89:23 91:3 117:10,14,16 152:14 153:7,15, 21 170:8 178:12, 14 efforts 86:16 97:16 168:3 189:25 Elder 27:13,14 129:3 elders 27:12 electrical 48:14 56:9 65:14 electrification 57:1 electronic 183:24 184:18,25 185:2 186:9	element 55:19 elements 99:25 103:13 Ellesmere 155:24 email 24:8 185:2 embark 12:19 embassy 69:8 employed 50:21 149:19 emptied 159:21 emptying 159:14 enable 53:8 encourage 115:22 129:9 encouraging 106:12 end 23:24 37:8 41:24 44:17 59:9 72:10 93:5,10 120:23 136:1 144:17 175:3 188:16 ending 36:12 189:7 enforce 115:12 116:17 177:12 enforces 98:21 168:23 engineer 25:10, 14,15 engineering 166:1 engineers 41:19 English 15:25 16:1 30:8,20 31:4,8 96:4 113:19 114:1 126:3 184:13 185:1,5 English/french/ inuktitut 96:17
--	---	---	---	---

English/ inuktitut 96:13 184:9 enhance 115:6 116:12 177:7 ensure 11:22 27:16 53:4 70:12 72:12,23,26 103:23 128:1 129:7 131:19 133:2 134:11 154:4 ensuring 103:20 enter 12:22 13:1 16:1 entering 49:21 51:5 56:13 148:23 entertain 125:21 entire 25:12 32:15 38:26 40:26 41:13 82:23 93:22 entitled 138:23 entrance 13:14 16:9 124:24 126:7,21 127:16 entry 56:8 environment 26:22,25 46:23 69:18,23,26 70:3 72:20 74:1,14 102:26 108:25 112:4,8,22 113:3, 17,24 114:3,8,10, 14,25 115:5,7 116:4,8,10,13,21 117:3,6,24 118:1, 9,16,24 128:24 129:15 136:8 137:10 175:25 176:5,12,18,23, 25 177:6,8,14,20, 23 178:7,15,20, 23 179:7,15,22	180:6,11,16 181:7,9,15,19 182:5 190:5,7,10, 17 192:3 environmental 22:2 27:3 46:19, 21,23,26 47:12, 20 53:16 70:6,15 71:14 73:2,19,21 102:20,21 114:13 116:18,21 118:12,26 137:18 176:17 177:12,23 179:11,25 equal 43:2 46:8 58:11,13,15 152:22 equalized 68:18 equipment 51:16,22,24 52:8, 25 54:7 56:9 149:26 150:1,3,5, 6,15 151:5,16 187:21 Eric 23:1 25:10 29:3 30:2 31:25 32:1 40:16 41:12, 23,24,25 57:24 58:2 63:11,17 64:13 65:17,26 67:3 68:12 141:2 143:10,17 146:3, 8 152:15,24 159:23 160:2 161:8 162:26 163:9,10 164:6, 10 170:17 186:7, 12,14 188:20 191:9 erosion 47:2 118:15 179:14 erosion-control 70:7 error 52:24 70:22 79:3 101:15 188:4	errors 52:25 118:5,9 179:7 essentially 62:12 79:9 80:24 90:20 established 131:17 187:11 establishing 90:23 estimate 43:20, 24 estimated 34:26 42:21 43:20 44:16,18 45:2 63:14 87:25 147:11,13,21 188:14 estimates 45:1 88:5 89:14 148:6 estimation 66:15 evaluation 152:7 evening 120:7 121:23 130:19 140:18 154:15 170:16 171:10 176:15 193:8 event 124:16 eventually 175:6 everybody's 66:26 evidence 28:23 113:17 192:16 evident 71:26 examines 51:13 149:24 excavation 49:15 148:17 exceed 14:26 exceptional 12:18 excessive 160:6 165:22 166:6 exchange 134:8 excited 42:10 49:12	exclusions 21:12 Excuse 49:7 executive 11:9 17:24 31:5,9,13 123:8 127:12 128:14 executives 191:5 exercise 73:20 165:1,4 exhibit 30:16,21, 26 31:5,9,13 95:5 96:11,14 113:23 114:2 183:25 184:3,6,10,25 185:2 exhibits 30:6,12 96:2,9 113:16,20 184:4,19 existing 10:12 18:5 33:22 35:26 37:19 39:12 48:19,24 53:26 54:21 64:9,12 84:17 86:7 89:22 144:24 146:15 150:25 151:16 181:6 exists 45:23 exit 13:16 24:17 57:22 147:2 EXP 25:11,14,19 41:12 42:1 46:14 54:19 55:15,17 67:3 82:21 86:2 87:17 90:7 141:2, 5 186:24 expanded 52:2 150:10 expect 11:26 83:2 86:12 87:9,26 88:6 139:14 167:2 172:12 188:8 expectancy 61:20	expected 87:13 90:14 expecting 33:23 106:18 120:22 experience 11:20 159:6 experienced 41:19 experiencing 115:19 124:9 expert 27:5 69:24 160:25 167:16 expertise 68:6 98:26 169:3 181:16,26 expire 148:12 expired 9:1 10:13 18:11 19:10 36:2 100:17 107:18 122:6 136:13 170:2 172:10 180:20,21 expiry 142:14 explain 34:18 61:19 71:12 75:21,24 76:24, 26 77:19 78:19 80:18 85:25 137:15 138:17 explained 36:7 73:16 77:10 152:24 explains 79:21 explanation 61:10 70:25 76:15 78:14 79:14 80:1 explosion 56:1 explosion-proof 56:10,19 exposed 55:19 express 143:3 expressed 58:18
--	--	---	---	---

extended 19:3 extensive 160:18 extent 80:11 exterior 56:8 extra 160:10 extract 61:15 93:21 143:5 175:7 extracted 18:14 44:21 79:2,11 147:25 188:1 extraction 34:3 40:17,18,19 41:3 43:17 68:20 142:16,19 143:9 164:21 165:11 extreme 148:10 eye 122:2	falling 160:15 falls 178:26 family 127:22 fan 55:20 fans 56:18 fashion 45:8 February 18:23, 26 136:3,5 fecal 54:20,26 55:6 89:11,22,26 90:12,21,24 101:13 117:20 151:15,21,26 152:3 170:7 178:17,19,25 180:17 181:1,23, 24 federal 116:19 117:13 177:13 178:12 181:22 feed 14:11 93:22 feedback 16:4 feel 90:16 125:3 152:11 feet 13:3 33:21 125:12 157:1 174:1,9,10,14 fellow 191:23 fencing 49:5,14 71:15 72:9 148:17 fever 12:26 field 48:4 52:19, 22 53:1,8 figure 165:25 file 19:25 21:4 25:1 26:14,19 96:8 97:8 113:16, 20 120:20 127:2 131:6,9 132:19 133:14,16,21 134:12,14 135:24,26 137:17 138:8,18 167:16	173:15 192:21 filed 10:9 121:25 files 20:23 138:13 fill 12:23 16:11 51:8 126:9 160:10 166:4 filled 147:6 170:25 filling 54:12 124:12 fills 68:18 filter 43:7 50:13, 18 149:11,12,16 filters 43:4,5,11 50:12,13,17,18 51:3,4 149:10,11, 15,16 filtration 42:26 43:3,7,13 50:2,4 51:16,22 149:1,2, 26 150:5 final 20:17 99:18 101:15,19 103:10 115:2 117:4 120:13 134:9 137:12,13 146:21 178:5 180:1 190:2 finalize 91:2 finalized 90:3 finally 17:2 47:11 103:24 154:10 179:10 189:22 191:2,15 find 83:19 finding 20:22 finish 57:25 finished 180:26 fire 35:2,21 36:17 37:5 144:14 145:11 fish 37:7 42:15 47:2 92:6 93:2,3, 4,5,7,8,9,11	144:16 155:10, 13,16,25 Fisheries 116:23 177:24 fisherman 92:1 154:22 fishing 154:23 155:11 fit 64:12 five- 115:21 five-minute 183:4 fixed 104:7 fixture 48:7 flag 101:15 103:13 107:24 flexible 15:5 flooding 165:15 floor 12:14 120:4 124:19,24 154:2 156:13 158:5 163:6 164:17 173:13 175:10 180:5 185:23 flow 33:26 34:2 37:12 40:9 42:3, 11,20 44:5 45:13, 16,19,22,25 46:1, 11,12 48:21 51:1 55:4,18,25 63:5, 10,25 64:6,8,25 65:17,26 86:5,13, 23 87:2 88:3,6 100:26 143:25 144:1,19 145:18 146:5,6 156:24 163:15,20 187:4, 5,6,10 188:12 flowing 76:11 153:21 159:17 160:7 163:26 flows 55:8 151:24 152:1 187:7 flu 124:11	fluorescent 48:6 flushed 56:8 flushing 102:22 folks 166:26 follow 16:18 98:5 126:21 185:13 186:4 follow-up 72:21 156:8 159:9 180:20 foot 24:17 forecast 115:11 116:16 177:11 forecasted 43:18 44:12,13,14 187:25 foregoing 194:3 foremost 28:22 123:25 foresee 157:14 forgetting 23:19 forgot 23:19 166:20 184:1 185:17 form 50:3,22 151:8 183:24 184:18 formal 20:11 26:8,24 27:19 137:21 format 50:23 149:21 formation 72:13 formatting 107:15 formed 141:9 177:21 forms 16:11 54:12 124:12 126:8 Forte 26:16,17 60:16,17 63:1 95:17,23 97:7,19 100:17 167:14
--	--	--	---	--

F

F-O-R-T-E

95:18

facilitate 107:25**facilitating** 97:13
168:1**facilities** 21:7,18
31:7,11,15 48:8
53:22 100:10,11
150:21 169:21,23**facility** 22:6 33:1,
3 48:10,25 51:23
106:25 111:19,
20,24,25 150:7
157:13 172:26
187:17**fact** 62:21 68:22
76:7 80:26 81:2,
21 101:17 155:11
162:23**factors** 44:3
57:14 152:5**fairly** 12:18
68:21 154:20

169:26 173:24 174:6,21 forward 134:25 187:25 190:20 191:17 forwarded 134:22 found 63:4 64:10 134:3 foundation 103:17 148:18 foundations 49:16 fourth 101:20 170:9 free 125:3 freeze 163:24 freezing 45:7 76:10 83:7 148:9 French 31:16 frequently 172:14 freshwater 10:7 18:13 44:10 98:18,23 147:6 168:20,25 friendly 25:21 front 88:7,26 127:15 138:22 frozen 147:19 158:14 FTP 20:21 fuel 48:1 54:7 full 19:12 87:10 99:4 133:9 136:14,15 163:13 functioning 33:20 110:24,26 111:15,25 future 25:25 34:3,17 35:12 36:6,26 37:25 39:8,9 54:18 56:24 57:3,6 58:3	86:16 88:3 92:3 117:10 135:21 139:14 142:10 144:7,10,26 145:2,5,7 146:14, 24 147:8 151:12 153:3,17 165:5 187:7 <hr/> G <hr/> G-O-D-W-I-N 95:16 G-R-A-H-A-M 113:4 garbage 158:26 gas 56:11,17 gathering 14:21, 22 gave 124:8 general 27:18 131:1 132:1 176:22 generally 18:9 132:8,11 133:20 134:6 generate 94:19 generated 104:22 generation 146:19 gentleman 156:15 158:9 giardia 43:6 50:16 149:14 give 23:4 24:11, 13,24 27:11 64:23 70:25 103:12 113:11 128:14 130:21 140:6 159:3 172:15 giving 61:9 Gjoa 11:16 127:20	glad 59:7 125:19 glasses 122:2 global 12:4 123:11 128:7 gloves 125:16 glycol 49:17 148:20 GN 24:26 25:18, 21,22,24 33:5 55:26 59:15 GN-CGS 8:26 9:7 10:11 18:15, 22,24 22:22 109:7 122:5,13 135:4,19 137:5 182:15 184:10 192:22 193:5 GN-CGS's 10:23 19:20 GN-GCS 192:1 goal 63:9 Godwin 26:11 60:10 66:8,10 95:16,23 96:24 105:9,11 119:15 167:7,12 169:26 173:11 189:13 good 8:21 96:24 110:26 114:12 121:23 130:19 140:13,18 154:15 155:17,24 173:3 176:15 191:18 193:7,8 gotta 154:11 govern 135:11 governed 116:19 177:21 governing 19:10 government 8:25 10:2,9,10 18:7,8 23:14,15 31:19,20 32:18 33:8 36:1,9,10 60:14 70:1 91:17,	18 97:3,4,14,15, 23,24,25 99:5,6 109:1,2 110:14, 15 114:20,21 116:19 121:26 122:1 124:14 128:21,22 131:17 135:3 140:15,16 141:24 142:1,7, 11,12,25,26 154:3 156:17,18 167:19 168:2,7,8 173:6 177:13 183:19,23,24 184:17,18,21 185:12 186:15,16 189:22,23,24 190:25,26 governs 136:12 grade 56:8 grading 52:5 150:13 gradual 164:24 gradually 147:20 Graham 26:25 27:2 69:22 72:18 112:7 113:3,13 114:11,12 116:7, 8 119:26 176:4,9, 14,16 190:9 grant 192:22,26 gravel 71:20 148:20 gravity 39:1 42:20 great 91:11 156:12 163:4 greater 55:4 151:24 greatly 89:9 107:14 green 146:20 grinded 38:19 grinding 38:18	ground 105:18 141:13 171:20 group 42:3 125:9 141:1 grouped 100:23 growing 74:20 80:13 growth 43:20 62:6 82:6 147:16 guess 73:1 87:24 154:8,11 guide 114:26 guided 176:26 guidelines 37:20 51:15 57:4 149:25 guys 173:20 174:4 gym 124:1 <hr/> H <hr/> habitat 47:2 93:2,4 habits 44:26 half 33:24 65:23 68:22 hall 12:22 13:8 16:20 hamlet 9:10,24 10:17 33:1 35:4 51:7 53:14 56:23, 26 57:7 85:10 87:1 88:1,13 96:11 104:13 114:21 122:17 135:6,12 142:4 149:21 150:21 157:24 167:23 170:23 184:8 189:20 192:9 hamlet's 53:22 102:2 170:16 hand 13:5 16:24
--	--	---	---	--

40:15 62:25 125:4,5 126:15 129:5 146:3 154:3 157:6 167:6 174:19 handle 21:21 62:15 86:8,19,22, 24 handling 52:24 hands 16:24 83:13,15 happen 71:10 76:8,12 131:9 192:13 happening 75:2 Happily 57:26 happy 173:10 191:16 hard 31:13 93:12 95:26 Haven 11:16 127:20 hazard 55:26 hazardous 47:8 48:5 56:11 hazards 56:5 he'll 61:9 head 35:21 56:3 heading 24:16 headquartered 33:12 headset 24:3 headsets 11:21 127:26 health 12:6,10, 11,24 13:20,21 16:13 47:19 56:4 71:7,9 72:2 121:5 123:13,17,18 124:15 126:10 133:23 167:1 178:26 181:3,15, 25 182:1	health-screening 124:8 healthy 155:16 hear 14:16,18 23:24,25,26 26:26 27:1 29:20 61:23 66:14 69:13,20 73:9 94:16 129:20 139:15 140:5 185:26 heard 130:2 155:15 hearing 8:22,23 9:5,6,16,20,26 10:8,25 11:15 12:1,19 15:25 16:16,22 17:16, 21 20:8,9,12,14, 16,18 21:2 22:17, 20 27:21 30:13, 19,24 59:2 61:24 63:10 73:9 81:6, 24 83:23 96:2,9 113:21 118:21 120:11,13 121:25 122:10,11,20 123:5 126:1,19 127:19 129:17,20 130:2,3 132:15 134:6,7,14,16,19 137:4,6,8 138:18 140:2 169:13 179:19 182:10 183:6,26 184:5 186:6 191:3,22, 25 192:8,15,23 193:4,10 heat 45:5 163:24 188:13 heat-trace 148:8 heater 55:19 heating 55:19 56:18 helping 162:24	high 38:25 40:7 163:20 165:25 high-quality 57:22 152:13 higher 86:18 highest 40:19,20 165:11,12 187:12 191:10 highlight 135:25 highly 39:15 141:5 hill 34:5 36:19,22 37:11,16 38:13 45:18 46:6,7,10, 25 48:17 50:1 51:13 66:1 67:24 83:26 102:4 108:17 118:13 144:18,21,22 145:15,18,24 146:15 147:7 148:25 149:24 164:14 179:13 historical 40:17 42:3 143:9,25 164:21 historically 160:7 161:13 history 18:18 130:22 131:6 135:24 141:7 166:11 hold 19:23 23:9 28:15 42:6 67:8 115:14 164:1 home 92:1 homes 104:5 124:5 hope 87:3 108:24 hopes 108:23 hoping 65:10,19 94:15 hose 162:1 175:14	hoses 175:18 hospitality 192:10 hosts 19:26 hours 166:5 house 45:24 46:18,25 47:21, 22 48:9,16,22 49:2,15,16 65:14 66:3 83:25 84:3 101:4,26 102:3, 16 103:4,9 106:4 108:17 118:13 146:15,25 148:13,18,19 171:1 179:12 187:20 household 34:13 households 141:23 housekeeping 12:1 123:6 183:13,21 189:1 houses 70:10 housing 162:15 huge 41:3 143:5 166:10 human 47:19 178:26 181:3,15, 25 182:1 hundred 55:7 143:4 152:1 hung 140:9 hydrant 35:22 37:5 157:19,20 158:21 hydrants 35:2 36:17 144:14 145:12 hydration 50:24 hydraulic 40:25 41:2 86:22 166:2, 9	hydrocarbon 102:23 hydrology 93:13 160:25 hypochlorite 50:3,22 54:5 149:2,20 151:3
I				
I-D-L-O-U-T				
29:5				
i.e. 52:25				
ice 175:14,19				
Ideally 45:25				
identification				
28:4				
identified 21:2				
56:6 98:6,10				
106:22 118:4				
179:7				
identify 14:5,8				
27:8,19 29:18				
107:22 108:22				
identifying 17:26				
Idlout 25:2 29:4				
30:3 127:21				
140:24 143:7,13,				
14,17 144:9,12				
145:15,17,21				
191:12				
Ikaluk 155:14				
Ikkutisluk 11:11				
20:24 127:15				
ill 124:16				
immediately				
185:17				
impact 39:7 54:4				
72:12 76:8 164:4				
impacts 46:23				
47:2,20 70:14				
102:22 151:2				
implementation				
13:23				

implemented 47:6,23 50:1 70:8 105:16 171:18 implementing 46:22 47:18 118:15 imply 17:14 important 12:1 14:8 99:1 125:21 129:17 135:25 imported 49:19 imposed 126:9 133:23 impression 68:5 improved 107:14 improvement 21:12 106:14 in-person 20:9 in-water 118:20, 23 179:21 inactivation 43:12 inch 161:26 162:1,2,6,19,20 163:13 include 50:20 53:1,13 54:3 56:17 57:4 70:16 108:12 118:4 168:14 included 25:8 43:19 62:7 71:15 106:20 107:2 129:8 186:21 188:5 includes 43:4 49:5,14 50:1 51:15 52:5 54:11 55:2 66:26 118:14 138:3 148:16 149:1,25 150:13 151:1,8 179:13 including 10:24 16:6 22:5 48:12, 14 52:6 55:20 100:9 102:22 103:14 105:7 106:5,10 108:6 115:7,10 116:13, 15,20 150:14,22 169:20 176:22 177:8,10,22 inclusion 51:16 inclusive 110:8 incorporate 51:21 150:5 incorporated 11:24 45:20 128:3 163:15 incorporating 118:8 incorporation 100:9 169:21 incorrect 63:23 incorrectly 90:16 increase 45:1 62:17,19,20 66:23 67:2 71:25 72:4 76:20,23 77:13 78:5,16,17 79:8,15 164:24 increased 21:21 32:11 55:10 68:3 101:10 141:15 144:6 increases 44:25 62:13,18 66:21 67:21 70:8,17 78:2,4 79:5 147:17,19 increasing 62:8 77:8,14 80:7 increments 164:24 indicating 117:12 indication 140:6	INDISCERNIB LE 143:16 162:13 individual 34:13 69:6 individually 16:26 125:2 126:17 individuals 104:4 127:10 indoor 14:22 indoors 82:4 induced 53:3 influent 85:11 86:24 87:21 88:9 90:13 186:19 influx 67:18 informal 137:21 information 16:8,12,14 54:8 62:4 63:3 64:24 67:7 81:5 91:10 104:14 106:20 117:22 120:9 126:6,12 129:19 131:1,15 132:23 134:3 137:24 138:11,13 151:6 172:15 178:21 179:17 180:22 182:24 188:21 192:18 informed 139:4 infrastructure 84:4 99:25 101:24 105:22 139:12 172:2 infrastructures 108:5 inherited 142:5 initial 132:26 135:8 136:4 initially 9:11 117:21 135:7 178:19 188:14	Inlet 33:12,13 insert 45:26 inside 13:8 34:21 38:19 64:16 93:8, 11 125:14 166:5 install 46:5 63:19 64:20 66:3 70:25 71:17,20 installation 49:5, 14 63:4 65:12,17, 22 101:3 148:16 187:5 installed 37:12 42:13 46:12,16 49:18 63:18 65:15,26 66:1 71:22 76:13 101:1 144:19 146:6 148:20 161:16 installing 57:8 76:8 81:1 100:26 instantaneous 44:6 67:26 institution 10:2 131:16 instruction 22:19 instructions 172:7 insulation 55:21 103:21 intake 21:9 22:13 36:20,22 37:6,9, 16 46:6 48:15,26 71:20 75:6 80:9 84:6,7,16,18,19, 22 93:6,10 100:25 102:16 103:16,21 108:8 111:1 144:15,17 145:22,23 146:12,25 170:5 intakes 49:22 144:20 148:23	149:5 integrated 24:6 integrity 103:20, 23 intended 70:13 72:26 73:2 intent 57:18 90:9 152:9 interconnecting 48:16 interest 14:12 135:15 interested 91:26 92:7 98:25 155:5 169:1 interesting 157:11 160:23 161:3 interestingly 32:10 38:26 interference 16:5 internal 18:24 interpret 14:16 interpretation 11:15 15:24 125:26 127:18 interpreter 14:13,15 15:24 42:7 59:21 192:4 interpreters 11:14 17:3 67:14 129:21,25 intervener 69:17 interveners 16:7 22:19 23:8 26:4 27:7 94:24 95:2 109:8 119:7 120:14 123:9 129:13 131:7 134:2 137:15 138:4,25,26 182:19 189:7 192:2
--	--	--	--

interveners' 19:17,20 95:13	26 174:8 175:11	158:1,2,18,22 159:10,26 161:22,23 162:7, 13,18,23 164:7,8, 15 173:16,19,26 174:8 175:11,20	kind 13:16 62:13 65:20 71:7 72:12 77:15 80:22 83:18 89:26 93:4 157:14 159:3,5 191:13	43:17 45:2,7,11, 13,24,25 46:3,7, 8,9,14,18,24 47:21,22 48:15, 17 49:2,4,13,19 50:7 51:1 61:15 65:14 66:3 68:20 70:9,12,26 71:16, 19 72:3,5,8,13 78:15 84:16,23 92:1,2,4,6,7,9,16, 18,19,20,25 93:1, 5,15,16,22,26 102:3,24 108:17 118:13,18 135:16 143:6 144:15 145:12,22 146:14,15,24 148:3,9,13,16,21 149:5 154:18,21, 24 155:9,13,21 157:15,16 158:10,12 159:7, 13,17,18,21 160:9,13,22,26 161:1 166:7 170:17,23,24 173:21 174:6,8, 11,13,23 175:1,5, 16 179:12
intervening 23:8	isolating 125:10	join 11:18 12:13 14:21 125:20	kit 54:9,11 151:6, 8	lakes 92:17 154:25 155:23,25
intervention 28:3 60:11 97:3 112:6,21 114:18	issue 98:13 99:21 104:2 122:14 127:22 132:3 133:26 134:13,20 139:3 142:13 157:18,25 192:24	joined 97:7 167:14	knowing 14:1 88:1	lakeshore 102:3
interventions 134:8	issued 19:11,16 20:4,11,14 32:25 33:2,4 36:2 136:24 137:3 139:5 142:23	joining 9:16 26:23 122:19 126:25	knowledge 92:8 94:20	land 47:11 48:3,4 71:17 98:19,22 99:3 168:21,25
introducing 17:26	issues 20:7 21:1 43:10 54:17 56:2, 6 83:11 98:6,9,10 99:2,24 102:1 110:19 131:4 134:5,13 137:2, 22,25 151:11 185:5	joint 166:3	Kuflevskiy 11:10 74:16,17 76:18 77:21,22 79:25 81:13,25 83:21 85:4 87:4,5 88:10 89:8 91:8 127:14 130:19,20 131:14 180:13 182:2 186:2 188:20	land-use 99:2
introduction 26:9 130:23	item 17:1 22:18 28:8 101:17,18 126:18 146:5	juice 115:24	L	landfill 142:3
introductory 123:6	items 12:1 61:11 84:10 190:20	July 19:25,26 20:4 99:17 136:19,23,24	Lab 53:12	LANGUAGE 92:9 167:11
Inuit 10:3		jump 90:15 162:1 164:22	labelled 53:2,4	languages 30:9
Inuktitut 15:25 16:2 30:8,25 31:12 96:5 113:19 114:6 126:4		June 19:13,14,16, 18,19,22 99:15 103:5 107:6,13 136:16	laboratories 53:7,11	large 43:5 50:15 82:9 92:4 149:13 163:14
investigate 56:14		justification 163:22	laboratory 51:24 53:6,8,10 150:8 153:1	larger 163:22 164:2
investigated 45:5 148:7	J	K		
investigation 133:13	J-A-N-I-S-E 29:5	Karén 11:9 127:13		
invite 13:26 128:26	Janis 25:2	keeping 166:21	labs 53:15,16 187:22	
invited 137:26	Janise 23:1 29:4 30:3 140:24 143:7,12,13,18 144:9 146:10,16 191:12	key 20:20 57:14 152:5 168:13	lack 160:13	
involve 48:10		Kharatyan 11:9 127:13	ladies 182:6	
involved 41:20 133:1,2 137:15 141:5 161:14 177:15	January 18:21, 23 136:1,2,3	kidding 97:10	lady 155:14	
involvement 177:18	Jaodamee 156:19	kids 127:22,23	lagoon 21:13 33:3 35:14 104:23 111:14,17 142:5	
Iqaluk 156:19 158:2,18,22 159:10 161:23 162:13,18,23 164:8,15 173:19,	jars 53:11	kilometre 32:20 34:21 36:16 141:22	lake 18:14 21:20 33:17,18 34:1 36:18,21 37:6 38:10,11 39:10 41:4 42:5,18	
	Joadamee 156:19 157:5	kilometres 32:17 145:11		

lateral 162:10,11 laterals 103:25 104:4,7 171:2 latest 106:18 Law 11:12 127:16 leachate 52:21 lead 23:3 26:13 97:8 140:4 167:16 lead-based 48:5 leader 140:23 leads 62:20 leak 41:1 157:14 165:14,20,26 166:2,8,11,20 leakage 157:2 165:17 leaking 40:23,24 165:18 leaks 103:25 104:2,4,7 156:26 171:2 188:9 leave 16:8 75:21 108:23 126:6 leaves 46:8 leaving 41:12,23 led 138:19 left 11:3 60:8 103:15,18 116:9 127:3,5 left-hand 24:4,9 51:1 legal 11:7,12 12:13,17 28:18 30:5 95:3,9,20,24 109:22 110:11 112:23,26 113:8, 15 120:6 121:14 123:19,24 126:13 127:9,16 183:12, 15 185:11 192:4 legislation 176:25	length 34:20 lessees 99:3 lethal 58:20 153:14 letter 30:10 level 38:22 40:8 58:10 152:26 153:19 liaison 23:3 licence 8:24 9:2, 3,11 10:13,14 18:5,6,10,12 19:10 21:5,6,14, 17 25:16,17 30:17,22 31:3,20, 23 32:24,26 33:5, 7 35:25,26 36:3, 4,6,7,10,14 38:23 41:8,9,22 60:25 61:17 96:7,12,16 97:5,6,14 98:2, 14,24 99:7,22,23, 26 100:4,6,18,20 101:7,16 104:24 105:8 106:6 107:18 108:11,14 113:26 114:5,19 115:4 122:6,7,14 131:5 132:9,12, 14,16 135:7,11 136:12 139:10 140:19,23 141:26 142:1,2,4,6,9,10, 13,15,20,21,22, 23,26 143:1,2 144:6 148:12 167:21 168:1,12, 14,26 169:15,18 170:2,4 172:7,10 177:4,15 180:20, 21 184:8,12 189:19 190:18 191:17 192:22 193:3,5 licensed 100:10 107:25 127:15	169:21 licensee 24:26 35:26 36:9 135:9 140:22 142:2,11, 24 licenses 131:3 licensing 11:11 20:24 26:1 130:24 132:19 137:16 life 42:17 51:18 150:2 light 48:6,7 146:20 lighting 56:18 limit 85:18 90:9, 12 101:13 170:8 limits 14:22 43:10 54:21 90:21,24 117:13 151:15 178:12,25 181:23 line/outfall 22:13 linear 34:20 55:1 151:23 lined 64:19 liners 157:17 lines 36:16 71:20 81:18,20 84:6,7 144:13 145:11 161:25 162:5 163:12,17,21 link 24:8 list 20:6,7 21:1 98:3,5 99:24 102:1 130:26 137:12 138:2 168:10 listed 98:20 136:26 168:22 171:22 177:22 literally 174:2 litre 35:18 58:8, 11,13,18 61:12	86:9,10 143:3 151:25 153:9,10, 12,14 litres 35:1 42:12, 14,19,22 43:21, 26 44:1,2,5,11 48:23 55:4,8 58:16 79:5,7 143:4 144:2,4 147:13 151:24 152:1,2 188:14, 15 local 12:10 23:7 26:4 33:15 123:17 138:3 155:14 located 15:26 16:9,19 32:5,19 34:4 38:1 126:2,6 138:15 location 40:3 64:14 locations 51:6 54:9 83:6 151:7 log 43:14 long 43:1,11 46:2, 4 64:7,11 93:17 142:6 155:9 longer 100:4 172:21 Lootie 9:4 122:9 loss 81:19 165:24 166:12 188:13 lost 40:23 81:22 lot 41:2 42:2 81:19 84:26 123:12 125:18 133:21 162:4 165:1 low 38:24 144:2 163:21 lower 68:9 78:18 lunch 59:19 60:8	<hr/> M <hr/> M-E-A-G-A-N 113:5 macerator 21:9, 25,26 22:13 35:5, 9 36:20,23 38:5, 18 39:24 42:21 54:22 55:18 56:3, 13 84:20,24 85:1 101:2 104:18 106:22,24 108:7 111:4,11 145:6, 18,26 146:5,7,20 151:16 170:8 171:8 machine 38:19 made 65:9 98:4 99:4 117:14,22 118:2 168:11 169:6,9 178:13 main 25:1 36:26 37:4 38:10,15 41:13 48:16 75:3, 4 131:22 134:11 140:22 141:18,19 144:12,13 maintain 13:3 24:17 52:12 106:16 124:21 162:24 maintained 157:19 maintaining 83:11 maintains 13:10 maintenance 22:5 51:25 53:22 101:21 105:15,22 106:2,25 150:8 151:16 157:18 170:10 171:17,23 187:22 Majesty 10:4
--	--	--	---	---

major 18:19 majority 120:10 make 14:26 16:3, 26 23:23 27:19 28:20 35:6 40:26 62:14 69:7 86:15 97:2 101:18 104:13 105:18 109:24 110:7 111:9 114:18 124:15 139:26 146:3 160:12 163:19 167:18 170:22 171:20 191:10 192:19 making 16:14 17:6,13 126:12 130:1 190:14 191:25 management 10:6 18:15 21:23 22:2,3 26:17 33:14 46:19,21, 26 47:8,12 48:19 70:6,16 71:3,15 73:2,20,21 97:8 98:15,18 102:20 105:13,14 118:1, 12 119:1 135:20, 22 142:3 167:15 168:16,21 171:16 179:2,11,25 manager 26:11 64:23 66:10 96:25 167:12 mandate 98:17 114:24 115:5,9 116:11,12,19 168:19 176:24 177:2,6,19,21 179:1 181:26 mandatory 125:15 manner 130:4 131:25	manual 22:5 106:3,9,11,13,18, 21 manuals 52:16 101:21,25 105:15,21,22 170:10 171:17, 23,26 172:1,3 manufacturers 86:20 Manuk 12:12 March 10:13 18:11 19:2,3,4,6, 9 32:26 33:2 36:2 87:18 88:12 99:10 136:9,11 142:14 169:9,10 186:25 mark 30:12 162:3 184:18 marked 183:25 184:2,4 market 64:11 marketing 95:5 marking 96:1 Martha 127:21 Martha's 11:17 mask 13:6,7 125:14 masks 13:3,5 125:8,11,12,16 massive 165:14 material 49:19 106:15 107:3 148:21 materials 30:7 47:8 48:5 52:9 95:4 96:1 98:12 113:19 matter 47:6 49:21 65:24 115:22 148:22 183:21	matters 10:22 17:10,21 28:20 30:15 95:7 96:10 113:21 183:16 184:24 188:26 189:1 Mavis 12:12 max 174:9,14,23 175:2,13,17 max-day 44:3 maxed 173:21,25 174:1 maximum 14:23 42:18 58:17 93:15 153:12 166:12 175:5 Meadow's 11:12 127:16 Meadows 11:12 12:14,16,17 23:11 28:17,18 29:6,24 30:4 95:8,9,19,24 109:21,22 110:10,11 112:25,26 113:7, 14 120:5,6 123:23,24 127:16 183:14,15 184:14 185:10,11 188:25 Meagan 27:4 69:24 70:3 72:20 73:26 113:5,13 114:16 115:1 116:26 176:19 177:1 178:1 180:3 181:12,18, 19 182:2 means 25:22 40:12 58:9 134:9 137:20 192:15 measure 71:23 measured 46:13 71:23 measurement	45:10,16,17,19 46:8 63:25 146:22 measures 12:5 14:1 46:22 47:23 54:1 72:11 118:15 123:12 150:25 179:14 measuring 45:11 mechanical 39:1, 3 48:14 57:8 65:15 82:24 187:20 media 17:9,12,22 50:13 149:11,12 meet 37:19 57:1, 12 101:9 133:19 144:7 meeting 9:14 12:5 14:4 19:24, 26 21:3 24:25 25:4,11,12 26:2 43:10 58:5 59:3 61:6 64:7 85:24 98:11 99:16 100:2 104:2,9,12 105:2 117:13 118:11 131:10 133:17,19,22,25 136:18,21 178:11 191:3,8 meetings 13:22 25:25 124:17 169:12 191:14 meets 48:25 melt 157:21 158:19 160:21 melted 174:11 175:4 melting 159:17 member 15:11 27:22 92:11,15 128:9 members 11:2,4 14:25 16:7 17:19	25:18 27:18 91:15 92:8 94:19 104:11 112:18 115:23 119:23 126:25 127:1,3,6 129:6 138:21,22 153:26 154:7 155:5 182:16,20, 22 191:5,8,24 192:7 memo 54:20,22, 24 87:17 88:12, 22 89:23,26 90:21 94:3 106:26 117:11 151:14,17,18 184:26 186:25 memorandum 99:9,15 mention 27:22 59:14 65:5 70:23 84:6 184:1 mentioned 48:21 71:1 72:4 83:26 86:25 87:23 103:16 108:15,19 121:15 126:14 138:1 139:18 146:16 169:8 170:16 181:21 mentioning 82:1 mercury-containing 48:6 met 170:3 metal 48:2,3 meteorology 115:12 meter 33:26 34:2 35:3 37:12 45:13, 22 46:1,11 63:5 64:6,8,11,25 65:3,17,26 66:4 144:19 145:18 146:5,7 187:5 meters 100:26
---	--	--	---	---

method 50:21 149:19 methods 22:9 metre 34:5,7 36:14 41:6 142:16,19 145:14,16 146:17 147:1 metres 18:13 36:4 44:15,16,18, 19 46:2 48:24 61:1 62:2 101:8 102:15 132:7,10, 13 135:18 143:2 144:6 147:21,23 148:2,3,11 187:18 mic 129:11 167:6 174:19 182:9 microbio 43:9 micron 50:19 149:16 microns 50:14 microorganism 149:4 microorganisms 43:6 50:5,9 149:7 microphone 9:18 15:17 16:3 17:3 23:23 24:3,4 27:16 122:22 123:7 128:13 129:2,7,22,24 130:4 131:13 154:4 155:7 156:15 middle 12:3 123:11 128:6 migratory 115:10 116:15,23 177:10,25 milestones 135:25 military 32:12,13 66:20 68:8,15	141:13,14 164:26 165:1 166:14 milligram 35:17 58:8,11,13,15,18 153:9,10,12,14 milligrams 55:6 86:9,10 151:25 187:2,14 millilitres 55:8 millimetre 145:19,20,21,23, 25 millimetres 55:11 million 143:4 mills 152:1 mindful 129:24 minimize 13:17 46:23 47:1,20 minimum 83:2 Minister 134:22 192:25 Minister's 193:2 minor 188:9 minus 82:6 minute 42:12,14, 19,22 48:23 minutes 115:25 121:7 130:13 missed 19:7 missing 18:25 78:7 105:22 mistake 101:18 mitigated 56:5 mitigation 72:7 118:15 mitigations 70:13 72:22,25, 26 mix 39:4 75:17 85:21 149:22 mixing 50:24 75:16	mode 33:10 34:19 model 34:3 modification 15:3 22:8 modified 44:12 modify 12:9 123:15 modifying 108:1 moment 65:4 83:16 88:8 94:23 115:8,15 130:10 176:6 monitor 70:17 73:16 monitoring 14:25 22:7 52:13 70:11,17,24 71:1 73:4,18 98:15 100:24 107:17 118:18,19,22,26 168:17 170:5 172:7 178:9 179:16,18,20,24 month 153:1 172:11 monthly 35:4 107:19 months 136:20, 26 morning 8:21 91:23 123:5 129:17 154:18,20 motion 28:5,6 move 11:25 13:11 21:1 41:7 51:2 81:24 83:23 85:6 124:25 139:25 161:16 175:25 moved 32:13,14 40:11 movement 47:24 moves 160:26	moving 42:1 94:24 167:4 187:25 Mrazek 11:3 15:11 127:4 128:9 182:17 Mullin 155:9 156:4,5 164:19, 20 166:19 multimedia 43:4 51:3 multiple 50:2 149:1 municipal 25:2 140:24 municipalities 181:5 municipality 25:7,19 31:7,11, 15 32:3,4 33:9 59:1 140:26 146:18 147:2 mute 9:18 15:16, 21 23:23 29:17 122:22 185:25 muted 109:14 140:6 <hr/> N <hr/> named 53:15 names 11:8 national 131:24 natural 115:6 116:13 174:13 177:8 necessarily 87:25 90:12 needed 93:21 160:10 needle 163:18 negotiate 115:15 nervous 156:4	network 25:23, 24 34:21 188:13 neuro- wastewater 104:20 nice 45:26 87:11 night 154:19 191:19 nitrogen 58:19 noises 9:19 15:17 122:22 non-accurately 58:20 153:14 non-applicant 69:10 normal 12:9 42:26 123:16 157:3 159:11 north 32:6 57:3,4 Northern 26:7, 12,18 60:10,13 66:11 95:11 96:4, 6,15,19,21,26 97:12,21 98:1 105:11 109:26 114:20 119:15 128:24 129:14 134:23 136:7 137:9,18 167:6,8, 13,23 168:6 173:17 189:9,10, 14,16 192:2,25 nose 12:26 note 9:15 14:10 99:1 106:16 120:10 122:19 125:26 179:15 noted 55:16,17, 26 107:9 118:17 151:24 171:25 175:21 notes 138:10 194:6 notice 12:20 13:2,8 20:11
--	---	--	---	---

124:7,18,23 125:1 134:6 noticed 160:17 November 194:9 NTU 43:2 number 18:10 24:8 28:19 36:8 43:26 44:14 54:16 55:9 56:12 57:14 62:3,4 68:7,18,21 79:17 85:5,6,7 89:10 98:13 105:21 125:1 142:22,23, 24 144:3 146:5 151:10 152:5 168:14,15,16,17 numbers 42:2 44:3 60:23 67:23 71:25 79:16 80:25 81:4,8 88:7 91:2 Nunavut 8:25 9:5,7,23,26 10:4, 5,7,9,15,19,20,21 12:17 13:21 14:22 15:12 18:7 20:12,13 23:14 24:1 28:18 30:5, 11,18,23 31:19 33:8,11 36:1,10 56:23,26 60:14 67:11 70:1 74:5, 8,13,14 91:17,18 94:13 95:9,20,25 97:1,3,13,15,24 98:19,20,24 99:6, 14,19 105:6 106:5 108:12 109:1,11,22 110:11,14 112:11,14,26 113:8,15,25 114:4,17,20 115:18 119:20 120:6 121:24,26	122:10,12,13 123:8,20,24 124:4,14 127:7 128:10,19,21 129:12,18 130:17 131:2,16,18,20, 22,24 132:2 135:3 137:11 138:12 140:15 142:2,7,12,26 154:3,12 156:17 167:17,19,26 168:2,8,21,22,24 169:1 180:11 182:18 183:15, 19,23 184:2,6,17, 21 185:11,22 186:16 189:17,23 190:25 193:4 Nunavut's 98:22 131:26 173:6 NWB 10:1,5 18:21,23,26 19:11,14,16,19, 22,23,26 20:4,11, 14,17 127:9 192:3,24 NWB's 20:21 127:7 <hr/> O <hr/> O&m 22:5 52:16 54:21 O-K-O-N-K-W- O 95:16 objection 28:5 objectives 57:2 131:22 obligations 21:17 obsolete 52:8 150:15 obtained 15:26 126:2	obvious 47:9 occupants 104:5 occur 43:1 47:13 50:10 53:21 63:12,15 70:18 149:8 150:20 occurred 63:14 ocean 42:21 57:23 104:19 106:11,19 107:20 146:21 171:9 172:9 October 20:14, 17 30:19,24 63:9 107:14 137:2,7, 11,13 185:1,3 offer 160:19 office 25:3,19 33:13,15 124:15 140:25 167:15 187:22 officer 13:21 25:3 140:24 141:1 offices 32:19 Official 194:15 offset 188:13 Okonkwo 26:10, 11 66:9 95:15,16, 22,23 96:23,24 105:10 119:14 167:10,12 189:12,13 older 188:11 onboard 71:2 73:18 110:9 one-way 13:16 ongoing 12:5 53:9 150:17 179:10 online 140:12 141:3 185:20 open 55:18	Opening 8:20 9:22 121:22 123:3 operate 35:24 106:15 operated 18:15 33:10 135:21 operating 56:9 71:2 operation 22:4 25:8 33:16 38:2 42:13,19 43:1,11 51:18 53:21 101:21 105:21 106:2,20 150:21 151:15 170:9 171:16,23 operational 33:10 34:19 35:14,22 38:4 51:17 57:20 150:2 152:11 181:1 operations 105:14 106:25 operators 56:1 opinion 81:16 100:21 170:12 opportunity 24:25 27:24 89:3 97:2 114:18 119:2 167:18 176:16 180:1 185:7 189:5,17 190:12 191:2 opposed 90:12 161:17 optimal 131:25 options 56:15 order 37:19 45:17 47:19 70:12 93:24 163:1 orders 13:20	organization 150:26 organizations 54:1 104:10 138:3 original 21:5 33:11,12 36:24 57:15 144:5 145:26 152:6 163:15 originally 11:16 21:15 127:20 Ottawa 53:15 outcome 179:10 outdoors 83:6 outfall 21:9,11,26 36:23 37:23 38:5, 20,24,25 84:19, 20,25 100:25 106:10,19 107:20 108:9 111:4,6,12 145:1,6,25 146:21 152:26 170:6 172:9 outflow 67:24 outliers 107:22 outline 73:3 115:1 177:3 outlined 47:10 51:14 149:24 outlines 46:26 181:23 output 42:18 outstanding 21:16 101:25 103:1 132:23 134:12 137:2 185:4,15 188:26 192:10 overflow 156:21 157:17 159:2 160:13 overflowing 157:21 159:12
--	--	---	---	---

<p>overflows 158:25</p> <p>overview 11:25 18:18 97:26 128:15 130:22 132:18</p> <p>oxygen 153:8</p> <hr/> <p style="text-align: center;">P</p> <hr/> <p>P21 10:26 138:24</p> <p>package 133:8, 10 136:14</p> <p>packed 16:26 126:17</p> <p>pages 194:3</p> <p>paints 48:5</p> <p>pandemic 12:4,7 65:8 123:11,14 128:7 133:24</p> <p>Panel 10:25,26 11:1,2 17:19 91:15 92:11 112:18 115:23 119:23 127:1,2 129:1 138:19,20, 23,24 139:2 154:7 156:9 182:16,24 191:23 192:18,21</p> <p>Panel's 138:23</p> <p>Pangnirtung 154:17</p> <p>paper 159:1</p> <p>par 36:15</p> <p>parallel 38:16 110:22</p> <p>parameter 56:22</p> <p>parameters 87:1,8,9,12 88:9, 16 89:11,15,22 135:14 153:16</p> <p>Pardon 173:4</p> <p>park 131:24</p>	<p>part 25:8 28:13 32:16 36:6 61:9 62:12 71:14 75:16 77:10 78:8, 16 83:12 84:21 100:13 101:17 105:23 117:19 141:19 150:17 162:11 178:17</p> <p>partially 25:5 165:10</p> <p>participants 9:17 15:16 122:21 124:1 182:24</p> <p>participate 119:3 137:26 180:2 189:17</p> <p>participated 99:16 137:21 169:11</p> <p>participates 98:23 168:26</p> <p>participating 22:20 124:4 169:13</p> <p>participation 130:1 189:21 190:15 192:7</p> <p>particles 43:5,9 50:14,15,20 149:18</p> <p>particulate 47:6 49:20 148:22</p> <p>parties 9:15 17:13,22 18:1 19:8,12 23:8 25:26 28:23 98:25 121:3,7 122:19 128:4 133:1,6,11,19 134:8,9 136:11 137:21 139:1,22 169:2 174:16 185:8 189:6 191:24,25 192:13</p>	<p>partly 87:6</p> <p>parts 97:18,19 100:13 177:24</p> <p>party 154:6 156:14 180:8</p> <p>pass 105:9 116:25 159:1 178:1</p> <p>passes 35:5 104:18 171:7</p> <p>passing 38:17 157:15</p> <p>past 45:8 74:26 148:10 160:8 175:15</p> <p>pathogens 43:12</p> <p>patience 192:11</p> <p>patient 15:5</p> <p>PCBS 48:6</p> <p>peak 67:23,24,26</p> <p>pending 17:10 118:25 179:23</p> <p>people 13:2 14:3, 12,14,16,25 23:13 29:7 32:8 65:16 125:9 127:11 141:10 171:20</p> <p>peoples' 12:23</p> <p>per-capita 44:26</p> <p>percent 14:24 33:25 40:24 43:12 76:22,23 77:26 78:2,3,4,5, 6,16</p> <p>percentage 78:26 79:1,3,11, 16,19 187:26</p> <p>percentages 74:25 76:22 79:13 188:3</p> <p>percolated 158:13</p> <p>percolating 159:6</p>	<p>perfect 81:18</p> <p>performance 57:13,19 152:10</p> <p>period 40:19 50:24 78:3 149:22 160:16 188:16</p> <p>periods 79:9</p> <p>permafrost 158:14 163:26</p> <p>permit 36:3,13 41:5,11 44:17 93:25 143:2 144:5 148:10</p> <p>permits 99:2</p> <p>person 23:2 26:7 43:21 55:4,8 133:19 151:25 152:2</p> <p>personnel 48:12 68:15 165:2 191:6</p> <p>perspective 68:4</p> <p>pertain 98:22 168:24</p> <p>pertaining 143:25</p> <p>petroleum 48:18 54:6 151:4</p> <p>phase 37:22</p> <p>PHC 20:2</p> <p>phone 24:8 29:7, 20,25 109:15</p> <p>phones 15:19 122:24</p> <p>physically 25:5, 6,11 124:20</p> <p>pick 16:18</p> <p>picked 50:6 149:5</p> <p>PIDO 11:20 127:25</p> <p>piece 45:26</p>	<p>pieces 62:4</p> <p>Piercey 25:6 59:2,4 104:12 140:26</p> <p>pinch 163:17</p> <p>pipe 22:1 34:14 40:5,26 45:26 65:25 80:2,4,5 84:20,22,26 93:8, 11 103:21 141:20 163:18 166:1,3,4 175:15</p> <p>piped 102:4</p> <p>pipes 49:18 76:10 80:11 92:22 148:20 165:20</p> <p>pipng 46:4 188:14</p> <p>place 13:20,24,25 14:22 49:20 56:25 73:16 90:25 91:26 150:18 161:12</p> <p>places 85:11 172:9 188:5,7</p> <p>placing 71:20</p> <p>plan 22:3,4 46:21,26 47:12, 16,17 53:19,25 54:3,8,21 65:20 70:6,16 71:15 72:1 73:2,20,21 83:18,25 84:1,2, 10 102:20 103:4, 6,8,13,14 105:13 107:2,5,6,8,9,10, 13 108:16,20,21 118:6,13,14 119:1 140:7 150:18,19,24 151:1,5,16 171:24,25 172:23 173:2 179:4,11, 13,25</p> <p>planned 104:20 105:18 171:21</p>
---	--	---	---	---

planning 22:11 82:7 84:9 98:16 108:5 168:18 172:19 plans 12:9 22:2,6 46:18,19,20 92:2 98:15 104:25 105:4,14,21,25 108:10,13 118:1, 7 123:16 168:16 170:26 171:12,16 172:25 179:2,5 plant 21:11,25 33:19 34:4,6,10, 12,16,17 35:8,12, 16 36:19 37:11, 17,19,21,24,25,26 38:2,6,14 39:14, 15,19,23,26 40:1, 4,12,13 41:16,18 42:25 43:3 45:18 46:6,7,11 48:17 51:12,20 54:16, 23,25 56:15,16 58:4,7,10,22,23 63:6 64:16,17 66:2 67:25 74:23 75:1,5,14,18,19 76:6,9,13 77:7,9, 12,17 82:1,16 83:26 84:4,18,24 85:7,9 89:15 90:1,23,25 91:3 101:26 102:5 103:9 104:20,21, 26 105:1,4 106:1, 3 108:3,18 111:5, 7,8,9,15 117:6,9, 12 118:14 135:22,23 144:21,25,26 145:2,4,7,17,24 146:12,16,26 147:4,5,7,9 148:25 149:23 150:4 151:10,18, 20 152:18,25	153:4,6,18 171:10,13 178:6, 9,11 179:13 180:26 187:16 pleaded 149:15 ploughed 160:15 plugs 56:18 plus/minus 58:19 PM 27:26 60:2,4 121:18,20 185:3 PMO 33:15 PO 33:13 point 21:11 37:26 38:21 39:2,3 40:10 58:10,21 84:8 89:1 91:1 100:12 103:24 130:7 134:11 145:3 146:22 147:4 152:25 154:1 160:10,11 162:25 163:1 169:24 174:26 187:11 points 22:9 151:22 160:3 Polar 155:22,23 policies 116:18 177:13 pollution 47:5 116:22 177:24 polymer-based 50:18 Pond 33:12,13 pop-up 24:5 population 32:7, 9,10,11,14 43:20 44:25 62:5,11,17 66:17,19,21,23 67:2,18 77:14 141:11,12,15 147:16 175:6 portion 82:3,8,	22,24 88:14 182:9 pose 165:7 positive 101:11 107:15 possibility 100:3 161:15 post-water 89:14 potable 33:17 potential 53:25 54:4 56:1 100:9 102:21 135:10 150:24 151:2 169:20 potentially 47:25 160:14 163:24 pours 49:16 148:18 power 10:22 48:13 151:5 powering 54:7 Powerpoint 30:16,21 113:23 114:2 184:11 practice 17:24 practices 42:2 70:7 pray 9:21 123:1,2 193:11 prayer 9:21,22 123:1,3 183:2,3 193:9,12 pre-wastewater 89:13 preceding 187:9 precision 53:5 predesign 57:9 105:1 171:11 prehearing 19:24 20:1,4 21:3 98:6 99:17,24 133:18,26 134:1 136:19,22,23 137:1 169:12	preliminary 18:24 19:1,4,6,7 82:16 99:8 137:5 prepare 89:26 prepared 46:14 50:24 54:19 80:24 87:17 90:20 120:18 149:21,22 151:14 presence 66:20 166:15 present 11:7 17:9 31:22 39:8,16 41:23,24 93:18, 19 96:4 112:23 127:8 131:8 140:9,19 142:10 176:16 181:3 190:12 presentation 26:8,24 28:9,13, 21 30:7,16,21 31:19,24 58:25 59:10,23 60:23 70:5,23 84:15 85:17 93:18 94:23 95:2,3,26 96:3,20,21 97:2, 17,18,19,20 100:14 109:6 110:5,17 112:20, 23 113:19,23 114:2,9,10 115:20,26 116:6, 25 119:25 126:24 128:19,20,26 130:8,11,17 137:5,10,14 139:6,7,8,15,19, 26 140:4,14,15, 21 142:9,17 153:22,26 167:2, 5,8,18 168:5 169:7 173:12 175:24 176:1,3, 12,22 178:1 180:4,7 182:7,20	183:22 184:3,7, 11,20 presentations 91:23,25 94:17 128:23 137:8 169:25 presented 28:14 30:7 45:15 66:19 139:1 184:2,17 190:18 presenters 95:10 154:15 presenting 12:25 28:23 38:8 95:5 114:23 140:7 presently 38:11 presents 53:25 150:24 preserve 115:6 116:12 177:7 pressure 34:25 164:13 presume 82:4 pretty 82:5 90:26 136:20 157:1,2 174:9 prevent 16:4 45:6 47:23 49:20 70:8 75:7 124:10 148:9,22 161:12 179:14 preventative 150:25 prevention 116:22 177:24 preventive 53:26 previous 19:9 41:5 71:24 87:19 101:7 142:15,17 previously 48:21 55:16,17 106:14 110:1 primarily 67:19 178:25 181:24
--	---	--	--	---

<p>prior 16:25 17:26 40:22 63:10 64:16 72:2 90:22 103:6 105:4 128:5 134:7 165:13 187:9</p> <p>private 162:15</p> <p>problem 24:12</p> <p>procedural 18:18,20 20:20 28:19 30:15 95:6 96:10 113:21 130:22 131:6 135:24 183:16 184:24</p> <p>procedure 47:10</p> <p>procedures 15:6 17:24 47:1,5,8,19 52:18,24 54:4,10 56:12 106:25 151:2,7</p> <p>proceed 8:22 9:20 16:18 18:1 24:18 26:4 28:8 95:6 110:13 121:15 122:26 126:23 140:14 176:11</p> <p>proceeded 133:3</p> <p>proceeding 11:22 12:8 17:7 27:12 123:14 128:1 187:10 192:25</p> <p>proceedings 8:19 60:2,4 121:18,20 125:21 129:4 184:4 193:15 194:5</p> <p>process 15:4 25:17 26:2 34:25 49:26 57:11,18 73:16 75:20,21 77:11 85:21 97:14 98:4,7 99:8 100:22 119:3</p>	<p>125:24 130:24 132:14,19 137:16,20 138:1 148:26 152:8,23 168:1,12 169:6 177:16 187:19</p> <p>processes 52:18 98:24 168:26</p> <p>processing 10:23 139:20,22</p> <p>produce 53:8</p> <p>produced 76:5</p> <p>productive 130:3 182:25</p> <p>program 22:7 52:12,17 118:3,4 179:4</p> <p>programs 52:13 72:7 116:18 177:13</p> <p>progressed 130:6</p> <p>project 27:4,5 132:6 134:24 139:9 147:12 150:17 151:13 161:14</p> <p>projected 60:22, 26 62:5 74:20</p> <p>projection 66:15</p> <p>projections 62:21 66:25</p> <p>promised 91:11</p> <p>proper 24:17 53:20 107:15 150:19</p> <p>properly 157:19</p> <p>proponent 84:9 134:10 137:23</p> <p>proponents 132:7</p> <p>proportional 79:15</p>	<p>propose 30:11 96:8 166:25</p> <p>proposed 35:8 36:7,11 46:11 50:17 57:11 75:14 83:5 86:21 118:18 147:3,12 152:7 179:18 187:16,18</p> <p>proposing 46:5</p> <p>protect 13:4 46:22 47:19 70:26 105:19 115:11 116:15 149:6 171:21 177:10</p> <p>protecting 42:17 93:11</p> <p>protection 50:5, 10 116:22 149:3, 8 177:23</p> <p>protects 50:8</p> <p>protocol 123:21</p> <p>protocols 13:20, 22,24,25</p> <p>provide 9:25 11:21 12:11 18:2, 17 27:23 50:4,9 72:2 81:6 83:22 87:7,20 90:2 91:10,11 123:18 125:17 129:1 131:23,25 133:13 134:9 138:14 139:9 149:3,7 161:2 173:2 185:8 189:6</p> <p>provided 16:15 30:11 31:26 37:8 45:24 47:15 87:10 89:10 90:11 99:10,13, 18 101:22 102:24 103:8 105:25 106:11 107:1 115:2 117:4,11,</p>	<p>21,23 118:7,12, 22 126:12 132:24 136:10 137:23 144:17 168:13 172:1,3,24 177:4, 17 178:4,19,22 179:11,20 180:22 181:17 183:23 184:16 186:9</p> <p>providing 20:5 26:8,24 28:23 57:22 98:26 103:6 106:2,8 108:9 152:13 169:2 171:12 172:25</p> <p>Province 194:8</p> <p>provision 48:13, 15 108:12</p> <p>Provisions 116:22</p> <p>proximity 13:18 47:22 125:11</p> <p>psi 34:26</p> <p>public 8:22,23 9:6,16 10:2,8,24 11:26 12:6,19 13:19,21 16:7,16 17:15 20:8,9,12, 14,15,18 22:17, 20 27:18,21 30:12,19,24 32:17 34:13 71:9 96:2,9 104:13 113:21 120:11,13 121:25 122:11,20 123:5,13,17 124:15 129:16,20 131:16 132:15 133:2,6,12 134:2, 6,7,14,16,19 137:3,6,8,26 138:4,6,18 139:3, 21 169:13 182:10,21 183:6, 25 184:5 191:3,</p>	<p>22,25 192:15,23 193:4,10</p> <p>publicly 17:18</p> <p>pull 24:5</p> <p>pump 21:8,20 22:12 33:17,18, 19,21,26 34:2,5 35:21 36:17,21, 22 37:7,9,10,13, 16 38:4,12 39:10, 12,13 41:15 42:4, 12,18 45:24 46:18,24 47:21, 22 48:9,16,22 49:2,15,16 63:6 64:9,10,12,15 65:14 66:3 70:10 83:25 84:3,17,23 85:1 92:20,22 101:3,26 102:3, 16 103:4,9 106:3 108:8,17 110:21, 22,24,25,26 111:1 118:13 144:15,18,20,21 145:5,12,22,24 146:15,25 148:13,18,19 164:9,12 165:22 170:26 172:22,23 174:3 179:12</p> <p>pumped 173:26 174:8,14,23 175:2,13,16</p> <p>pumping 21:20 45:6 175:5</p> <p>pumps 42:13,19 49:18 50:7 51:23 68:1 85:2 148:20 150:6</p> <p>purpose 10:8 45:11</p> <p>purposes 16:13 126:10 166:9</p> <p>push 38:12</p>
---	--	--	--	---

put 15:19,21
45:24 83:13,15
86:17 108:22
122:3,24 150:18
161:12 165:3
173:13
putting 13:3

Q

QA/QC 53:14
QC 53:1
Qitsualik 11:16
127:20 192:5
qualify 132:11
quality 21:18
22:4 27:5 45:12
52:11,17,18,22
53:6 58:23 69:24
70:14 72:24
85:21 89:23
92:24 107:8,10,
21 114:15 115:6,
7 116:12,14
118:3,5,17
152:21,22,23
153:7,19 171:24,
25 172:8 176:19
177:7,9 179:3,16
quantities 132:9,
12
quantity 21:19
43:16 60:24
61:13 64:18
66:13 75:19 77:8,
13,18 100:24
102:11,14 147:10
164:23 170:5,21
quarter 162:1,19
quarter-inch
161:25 162:5
Quarterly
107:23
quarters 162:2

Queen 10:4
question 17:23
27:23 31:26
58:26 59:16 61:5,
7,26 62:24 63:1,
3,16 66:4,12,13,
14 68:14,26 69:5,
7,10,25 70:4,15,
21,24 72:16 73:1,
8 76:16 77:6,23
81:14,17,24,26
82:17,23 83:12,
23,24 84:9 85:5,
6,23 87:3,6 89:2,
10,25 91:16
93:13,24 94:14,
18,20 109:12,17
110:6 112:3
119:10 128:11
154:8,9 155:4,6
156:1,7,11 157:6,
8,12,13 158:1,4,8
159:25 160:8,12,
23 161:3,22
162:10 163:3
165:7 166:18
173:22 174:16
180:25 181:6,7,
11 182:3 185:26
186:1,18 187:15,
23,26
questioning 60:7
94:22 119:7
questionnaire
12:24 16:11
121:5 124:8,9
126:8
questions 13:25
15:13 59:14
60:14,17 66:7
69:6,26 73:25
74:2,5,9,11,14,18
91:9,12,17 97:9,
16 109:7,13
112:5,9,12,15,18
119:4,8,13,16,18,
21,23 120:23

129:1,10,11,19
133:13,15 137:24
138:7,10,16,25
139:24 153:23
154:1,2,5,12,26
156:13,17 159:9
163:4,6 164:7,17
166:25 168:3
171:3 173:10,14,
17 174:17
175:10,23 180:2,
5,7,11 182:5,14,
20 183:17 184:20
185:14,24 186:5,
8,12,15 188:17,
18,21
quick 65:22
quickly 163:25
Qujannamiik
109:4 155:2
156:10,11 190:3

R

R-O-Y 29:23
rainfall 157:20
raise 104:11
129:5 154:3
raised 54:18
85:23 98:8
151:12
rate 42:20 44:8
163:20,21
rated 14:24
raw 49:21 72:5,
13 148:23 187:13
RB 185:5
read 120:17
reading 101:18
ready 134:12
153:23 180:26
reagent 34:15
real 66:23 182:23
realistic 65:19

reality 121:9
realize 12:18
realized 100:20
101:20
reason 75:4
80:12 124:13
157:23 166:6,8
188:3
reasons 75:4
recalculated
187:9
recall 155:13
receive 35:12
38:1 145:4
received 9:13
18:21 19:5,7,14
20:19 53:7 136:6
137:4,7 138:6
139:19 183:22
receives 132:20
133:5
receiving 40:5
85:9 152:19,20
recent 156:20
174:2
recently 60:21
100:17 104:1
107:18 170:2
recess 120:1
121:13
recirculation
34:25 51:8 148:7
reclaimed 108:6
reclamation
22:11,12 98:16
103:14 108:5,13,
20,24 168:18
172:19
recognized 129:5
recommence
72:7
RECOMMENC
ED 60:4 121:20

recommendatio
n 9:13 17:16 58:5
recommendatio
ns 19:21 99:13
102:19 115:2
118:2,8 138:26
139:1 169:10
177:3 179:6
190:2
recommended
35:17 45:4 49:26
56:12 87:20,21,
24 88:2 105:25
117:22 118:19
148:6,26 151:15
178:21 179:17
187:1,3 193:2
recommending
108:1
recommends
105:6 106:4
108:11 109:3
173:7 189:26
reconvene
183:11
record 11:22
17:7,15 27:17
28:26 29:10 35:3
64:3 77:2 95:14
113:2,11 120:17,
19 129:3,8,18
156:2,16 166:15
175:21 192:15,
20,24
recorded 17:7
recording 128:1
recycling 48:8
reduce 47:6
72:12 77:18
86:16
reduced 68:7
reductions 88:3
refer 10:1,11
97:20,23 122:5
168:5,7

referenced 117:20 178:18	179:2 180:5 181:22,24 187:23	reminder 23:18	report 17:18 57:9 80:24 85:12 87:19 88:25 99:24 136:23 137:1 155:17	178:7 180:22
referencing 101:15	relates 178:5	reminds 17:19		requesting 19:12,17 36:13 41:8 45:10 60:18 61:19 62:1 77:5 81:5 85:24 100:4, 6 169:17 186:12
referred 101:16	relating 117:8	remit 192:21	remotely 25:14, 16	requests 169:19
refers 10:26	relation 20:20 60:9 118:1	removal 50:5,20 57:12 149:4,17 160:18	reported 104:4 144:3 186:19,24	require 28:22 56:26 132:13 188:11
reflect 15:4 21:6 52:19 106:17	Relations 26:6, 12,18 60:10,13 66:11 95:11 96:3, 6,19,21,26 97:11, 21 98:1 105:11 109:26 114:19 119:15 128:23 129:13,14 134:23 136:7 137:9,17 167:6,8,13,22 168:6 189:13,15 192:2	remove 43:5,8 64:14 104:18 149:12 171:8	reporter 11:23 14:6,13 15:11 17:2 49:10 128:2, 8 129:21 174:18 192:5 194:15	required 16:12 20:12 22:8 48:25 66:25 188:13
reflected 44:4 55:1		removed 48:1,8 52:1,9 103:18 150:10,16	reporting 11:24 47:13 54:10,13 128:3 151:7	requirement 108:10 123:17 124:14 126:9
reflective 186:25		removes 50:13	reports 22:2 53:13,14 98:15 105:14 168:17	requirements 12:10 22:8,10 47:1,13 51:13 54:12 108:2 149:24 151:9 152:10
refrain 17:13	relationship 77:16	removing 108:26	representative 22:22 23:8 24:26 26:5 27:9 28:1 192:1	requires 107:19 172:10
refreshment 16:21 24:16,18 126:13	relay 15:14 128:12	renew 9:1 97:4 122:6 167:20	representatives 140:8	research 155:25
refreshments 13:12	relevant 114:25 137:22,25 176:25	renewable 115:9 116:14 177:9	represented 146:12	researcher 155:15
regard 71:19	remain 57:15 72:10 142:25 152:6	renewal 10:12,23 18:4,21 22:16 31:2 96:12 100:6, 22 109:2 113:26 114:5 117:19 127:8 130:6 168:12 169:17 170:13 173:6 178:18 182:15 189:18,26 192:16	representing 23:2	reservoir 51:5,6 52:1 150:9
regression 55:1 151:23	remains 43:2	renewed 108:10 122:14 193:3,6	reproducible 53:9	resident 141:17
regular 71:5 76:23 150:21	remarks 8:20 14:15 121:22 123:7 182:11 185:8 189:6,8,10 190:6,7,24,25 191:20	renovation 41:21	request 27:20 44:17 45:16 62:15 100:7 103:2 135:10 144:5 180:9 186:1	residents 94:16 131:26
regulation 10:6 41:7 93:9 142:18 181:22	remediated 84:8	repaired 81:20 165:26	requested 9:11 18:7 21:15,19 41:11 43:17 60:20,25 89:21 93:25 101:10 102:12,14 117:7 132:9,23 135:4,8, 13,14,19 143:1 147:11 148:11 164:23 170:21	residual 58:14 153:11
regulations 42:16 56:21,25 98:19 114:24 115:13 116:17,20 117:14 132:17 168:22 177:12 178:13 181:4,5,6	remediation 46:20 47:16 48:10,18 103:4	repeat 69:9 186:1		Resolute 8:23 9:10,24 10:18,26 11:18 25:7 30:18, 23 31:3,8,12,16, 23 32:4,5 33:9 34:14 43:22 56:23 57:7 59:2 65:8,10,11 66:17 83:9 96:11 100:18 106:24
regulatory 57:3, 6 98:21 168:24	remember 16:24 81:17 88:12 126:15 155:18,19 166:13	replace 45:6 148:8		
Rehabilitation 144:24		replaced 104:1		
reinstalled 72:9		replacement 18:10 41:13 45:2 56:18 111:19		
related 10:22 102:11 105:21 117:5 127:23 139:20 154:8 178:8,17,26	remind 12:3 15:18 95:2 121:3 122:23 123:10	replenishment 148:3		

107:4 113:26 114:5,22 122:18 135:7,12 138:23 140:20,26 141:6, 8,12,17 146:18 158:14 160:16 165:4 167:24 170:2 182:14,23 184:9,12,26 189:20 190:14 191:7 192:10 193:9 resolve 115:22 resolved 98:10 117:17,26 118:10,25 134:13 170:20 178:16 179:9,23 190:19 resolving 137:22 resources 26:12 66:10 96:25 98:18,23 115:10, 11 116:14,16 167:12 168:20,25 177:9,11 respect 17:17 20:5 27:11 98:2 110:1 113:16 180:16 185:13 respectful 130:3 182:25 respecting 113:25 114:4 respond 19:17 59:16 70:21 97:16 134:10 136:26 157:8 163:6,7 168:3 174:20,25 181:12 185:23 186:7 189:25 responded 183:18 responding 174:17	response 19:20 47:10 54:1 73:7 103:5 117:11 118:7,11 150:20, 26 178:10 179:5 184:20 186:15,22 187:17 188:6 responses 53:20 120:16,22 184:16 188:17 responsibilities 98:2 131:19 responsibility 104:7 173:14 responsible 10:6 127:2 rest 169:25 restrictions 12:7 124:3 133:23 resubmit 73:22 resubmitted 107:6,14 result 57:20 152:12 results 53:9 55:2 retains 99:26 return 121:4 182:8 193:8 review 10:8 11:6 18:24 19:4,6,12, 14 72:2 96:7,15 97:14 98:5 99:7, 9,11,12 103:12 105:17 114:26 117:21 127:8 132:26 133:4,9, 11,14 136:15,16 137:20 168:1 177:1 178:20 reviewed 13:21 19:19 132:21 136:2 reviewer 177:15 reviewers 117:23 178:22	reviewing 20:22 135:1 171:18 176:21 reviews 54:24 151:19 revised 42:24 revisited 187:9 Richard 31:1 Rights 10:15,21 20:13 rises 188:15 risk 106:22 181:3 risks 56:4 123:13 river 156:24 159:12,18 road 156:20,25 157:3,12,15,17, 18,21 158:10 160:7 161:12 165:18 174:13 roads 161:17 166:21 Robin 11:11 20:24 127:14 138:9,13 role 176:22 Roll 22:24 126:22 roof 52:7 150:14 room 14:14,17 16:1 41:23 52:7 60:8 140:8 141:3 Ross 11:3 15:11, 14 127:3,4 128:9, 12 182:16 roughly 32:8,14 34:26 141:16 rounding 79:3 188:4 routine 53:21 Roy 23:3,12 24:21,23,26 28:14 29:22,26 30:26 31:21 41:26 55:15	57:24 58:1 59:5, 13,25 61:4,24 64:1,4 69:3,16 70:22 73:9,13,15 75:12 76:25 77:3 78:12,23 80:17 82:13 84:14 85:16 89:20 90:6 92:13 94:9 109:16,24 110:3, 16 112:2 119:9 140:11,17,18 143:16,20,23 144:11 145:14,16 146:2 152:15 157:10 158:7,19, 23 159:23 160:2 162:9,15,22,26 163:2,8 165:9 175:1 185:4,25 186:11,17 191:1 rule 152:17,20 ruling 42:24 run 93:18 158:12 161:24 174:13 rundown 15:3 125:23 running 38:16,20 110:20 111:23 158:10 165:18 runny 12:26 runoff 158:16 160:6 174:12 runway 92:24 rushing 185:18 RUT-2 107:19 108:2 Ryan 11:19,21 26:21 127:24,26 192:6	safe 12:9 123:16 124:21 125:13 131:20 193:8 safely 48:1 safest 124:4 safety 12:4,11 56:4 123:12,18 sagging 188:9 Sakaisie 91:20, 21 94:14 Sakiasie 11:3 127:5 154:9,16 155:3 156:7 182:17 Sakiasie's 155:4 sample 52:24 152:26 172:10 187:12 samples 53:1,7, 10 107:19 172:8 sampling 22:7,9 52:24,26 107:23 108:2 152:24 172:14 sanitizer 13:5 16:24 125:4,5 126:16 Sara 11:23 15:10, 14 128:2,4,8,12 192:5 194:3,14 Sarah 26:13,16 60:10,16 61:5 66:13 95:17,23 97:7,19 100:12 105:10 108:21 167:7,14 169:24 173:11 174:19, 21,24 satisfaction 33:20 107:12 110:25 111:10, 16,25 158:5 satisfied 101:5 102:13,25 105:26 106:23 171:14
---	--	--	---	---

S

S-A-R-A-H
95:18

<p>satisfy 38:22 39:16 40:7,14 58:23 105:5 153:7 165:23</p> <p>satisfying 153:20</p> <p>saved 174:12</p> <p>scenario 62:14, 22</p> <p>scenarios 53:26 150:25</p> <p>schedule 63:14 132:17</p> <p>scheduled 136:18</p> <p>science 166:1</p> <p>scientific 159:3</p> <p>scope 18:9 21:5,6 48:9 98:13 99:21, 23 135:2 168:14 169:15</p> <p>screen 24:10 37:8 42:15 93:3,5,10 115:21 130:11 144:16 175:26 176:6</p> <p>screening 12:24 16:10 126:8</p> <p>sea 35:7 36:24 37:24 38:20 39:5 40:9,11 84:20,25 141:20 145:2,26 152:20,21,22 153:21 157:16 158:11 165:19</p> <p>search 155:25</p> <p>season 49:4,23 72:11 148:24 150:12</p> <p>seawater 152:23</p> <p>secondary 50:17</p> <p>section 10:19,20 35:19 165:16</p> <p>sections 32:15 84:25 107:3</p>	<p>sector 102:8 104:23</p> <p>securely 48:7</p> <p>sedimentation 118:16 179:14</p> <p>seeking 8:26 31:2</p> <p>seepage 81:19</p> <p>selected 48:24</p> <p>selecting 51:19</p> <p>selection 37:22 41:16 150:3</p> <p>send 97:9 153:1</p> <p>senior 25:10,13, 15 31:25 41:19 61:8</p> <p>seniors 141:2</p> <p>sensors 56:11</p> <p>September 99:20 101:14 103:7 106:12 107:1,7 169:11</p> <p>Sergey 11:10 54:14 55:13 74:17 77:22 79:25 81:14,25 82:14,23 87:5,16 88:11,22 103:15 127:14 130:8,15, 20 131:12 139:17,18 180:10,14 181:21 186:2,11 188:19</p> <p>Sergey's 77:6 89:25 185:14</p> <p>service 8:25 45:21,23 104:13 122:2,16 142:25</p> <p>services 10:10 11:6,10 18:8 23:15 31:20 33:8 36:1,9 53:15 60:15 70:1 91:18 97:15,25 99:6 102:9 110:15 114:21 127:14</p>	<p>128:22 135:4 140:16 142:12 156:18 167:20 168:3,9 183:20, 24 184:18,22 185:13 186:16 189:24 190:26</p> <p>Services' 97:4 109:2</p> <p>servicing 104:8</p> <p>session 16:17 20:10,16,18 22:17 27:25 60:6 94:15 120:3,7,9, 12,23 121:8,21, 22,24 122:26 123:3 126:20 128:15,18 130:18 140:16 154:13 156:18 167:9 173:18 176:13 180:12 182:9,11, 13,26 183:1,3,7 184:7,10 189:21 191:26</p> <p>set 9:25 55:3 132:16 149:15</p> <p>settlement 10:4,7 32:5,18 47:3 70:7 141:9</p> <p>seventy 147:15</p> <p>sewage 9:9 10:17 21:12 31:6,10,14 33:3 35:13,14 39:4,23 40:2,4,5, 6,23 42:20 74:22 75:8,17 80:12 85:9 88:13,14,16 104:21,22,23 106:24 107:20 111:13,14,17 122:17 135:5 142:5 145:4 172:9 180:23 188:12</p>	<p>sewer 34:22,24 35:5,21 36:16 37:4 38:15,17,26 39:2,18,21,22 44:10 144:13 145:11 147:19 148:1 165:21</p> <p>shallow 159:15</p> <p>share 59:15 104:14 129:10</p> <p>shared 31:24 103:10</p> <p>sharing 33:9 61:7 70:24 176:2 182:23</p> <p>she'll 11:18 12:13 138:15</p> <p>sheet 126:6</p> <p>sheets 16:9</p> <p>Shelf 155:22,23</p> <p>shipped 65:6,8</p> <p>shoreline 146:23</p> <p>short 24:15 32:13 115:21 122:5 135:4</p> <p>short-term 45:21 56:14</p> <p>shorthand 194:5, 6</p> <p>show 138:15</p> <p>showed 74:19 170:17,18</p> <p>shown 62:8</p> <p>shows 83:14 84:16</p> <p>sic 9:1 10:13 18:6 41:6 94:22 103:22 112:2 123:6 126:16 141:2 143:4 145:7,8,10 157:10 180:6</p> <p>side 13:12 16:20 24:5,9 51:1,26</p>	<p>88:2 152:17</p> <p>sign 16:8 124:13 126:5</p> <p>sign-in 12:21</p> <p>Signal 34:4 36:19,22 37:11, 16 38:13 45:18 46:6,7,10,25 48:17 50:1 51:13 66:1 67:24 83:26 102:4 108:17 118:13 144:18, 21,22 145:15,18, 24 146:15 147:7 148:25 149:24 179:13</p> <p>significant 49:3, 23 52:3 57:17 68:21 78:17 106:14 148:14 150:11 152:8 166:14</p> <p>silent 15:19 122:25</p> <p>silt 49:5,14 71:15 72:9 148:16</p> <p>similar 12:25 57:15 94:16 152:6 165:4</p> <p>simple 188:4</p> <p>simply 41:17</p> <p>simultaneous 11:15 162:14</p> <p>single 20:3 136:22</p> <p>single-man 56:7</p> <p>site 20:21,23 21:8 37:22 41:16 48:10,11,19,23 49:5,6 50:23 52:5 86:4 88:24 103:15 108:23 142:3 148:16 150:13 157:23</p>
--	---	---	--	---

site-specific 101:12 sites 46:25 67:19, 20 86:3 89:5 186:21 187:1 sitting 138:22 situation 64:20 67:20,21 86:17 141:8 sixteen 44:24 143:4 sixth 107:17 size 50:14,19 83:15 149:13,17 162:1 187:16,18 sized 83:19 86:7, 15 sizing 68:1 187:19 sketch 38:8 143:8 skill 194:7 slide 32:3 40:15 42:1,23 43:15 44:20 45:9,15 46:17 47:14 49:1 51:11 54:14 55:12 57:25 58:3, 24 63:4,7 74:19, 24 82:1 84:1 89:10 103:24 117:18 130:25 132:18 134:18 143:11,24 146:11 147:20 152:16 153:3,22 168:22 170:1,14 173:9 slides 55:13 66:18 84:15 97:23 98:20 108:15 143:9 slightly 79:17 slow 42:7 49:9 67:13 slowly 17:5 32:3 129:24 158:20	small 32:23 50:5, 20 149:4 158:24 164:13 smaller 35:6 43:8 149:18 164:3 smell 55:24 smooth 190:15 snack 16:21 125:1 126:13,16 166:26 snacks 13:15 16:25 125:2,3 snow 47:11 157:20 158:19 159:16 160:14, 15,18 174:11 175:4 sodium 54:5 151:3 soil 48:20 115:7 116:14 177:8 soils 47:26 102:23 sole 25:18 solid 33:1 38:19 52:15 53:24 100:11 142:3 150:23 161:4 169:22 solids 35:6 55:5 58:12 86:9 102:23 104:18 153:10 171:8 solution 58:7 son 155:15 sore 13:1 sort 15:2 68:7,18 90:24 120:21 125:23 137:1 155:15 163:16 sorted 133:15 171:4 sound 59:2 81:9 192:6	sounded 155:17 source 21:21 33:17 38:10 42:4, 11 48:22 50:9 52:23 64:8 80:10 102:2 149:7 170:17 sources 53:2 southern 83:6 117:13 125:9 178:12 Sowdlooapik 11:4 91:19,20 127:5 154:10,14 156:9 182:17 space 66:3 83:3 spaces 187:21 speak 14:6,9 17:4,24 27:8,13, 14,20 28:3 59:11 63:22,25 68:11 77:2 109:20 117:3 129:2,3,6, 22,23 178:4 speakers 16:5 speaking 14:7 16:2 60:17 78:24 88:22 90:19 94:4 116:10 128:5 174:21 special 93:9 182:22 specialist 26:17 97:8 167:15 species 92:6 Species-at-risk 116:24 177:26 specific 47:18 133:21 181:4 specifically 56:23 82:7 117:6 163:13 179:3 specifications 46:15	speculating 81:8 speculation 62:16 spell 28:26 29:9, 19 95:14 113:1 spent 93:23 spill 22:3 47:10, 13,17 53:18,19, 26 54:3,8,9,10,11 107:2 118:6 150:18,19,23,25 151:1,6,7,8 171:24 179:4 spills 47:11 53:20 54:5,6 150:20 151:3,4 spoke 114:15 171:2,6 SPOKEN 92:9 167:11 spread 124:11 spreadsheet 80:23 spring 160:6 174:12 staff 11:4 17:20 27:15 67:9 74:5, 10,13,14 79:24 81:12 91:7,14 94:11 112:11,15 115:16 119:18 121:14 123:8 126:25 127:6 128:20 129:6,12 130:5,17 132:22 156:10 180:9,11 184:15 190:14 192:4 stage 9:26 43:4,7 50:12 51:2,3 105:1 133:4,11, 25 134:11,15,17 136:6,17,25 149:10 161:4 171:11	stakeholders 54:19 151:13 stand 9:21 123:1 183:2 193:11 standard 37:12 54:11 144:19 151:8 standards 52:13 57:13 start 8:22 24:21 59:24 60:7 64:25 85:22 97:26 111:17 114:23 119:7 128:18 129:16 131:1 135:26 143:9 169:14 176:21 183:10 189:8 started 102:17 123:5 starting 27:25 103:6 120:8 189:7 starts 159:17 state 17:4 28:26 29:9 64:2,3 77:1 95:14 97:18 113:1 128:4 129:23 148:13 155:8 156:16 174:16 stated 108:21 statement 30:10 63:23 113:10 statements 17:11 30:9 120:13 station 21:8,20 22:12 33:19,21, 26 34:2,5 36:17, 21,22 37:7,9,10, 13,16 38:5,12 39:10,12,13 41:15 42:4,12,18 63:6 64:9,10,12, 15 84:17,23 85:1
---	---	---	--	---

<p>92:20,22 107:19 108:8 110:21,22, 24,26 111:2 144:16,18,20,21 145:6,12,22,24 172:22,23 status 21:16 35:25 36:6 142:9 144:12 stay 67:14 80:5 124:20 stays 159:17 stenographer 67:14 step 32:2 101:11 108:18 129:2 133:1,17 134:5 Stephanie 11:8 13:26 23:26 29:15 67:9,11 73:11 74:8 94:13 109:9,11 112:14 115:18 119:20 120:26 121:2 127:12 128:14,16 167:10 180:13 182:12 185:22 186:3 stepping 129:11 steps 18:20 20:20 50:2 138:17 149:1 Steve 25:6 59:2,8 104:12 140:26 stop 23:22 37:15 42:6 stopped 111:21 163:26 storage 18:12 34:6 36:18 37:18 38:13 39:13,14 51:24 52:25 102:5 144:22 145:13 146:17 150:7</p>	<p>store 41:1 stored 146:26 stories 182:23 strategies 105:15,16 171:18 stream 86:14 structure 47:26 studied 155:13 studies 117:20 154:25 155:20 study 41:17 93:4, 13,16 101:12 170:7 178:19 180:17 stuff 108:26 166:22 Subject 185:4 submerged 38:25 submission 20:6 60:21 99:19 101:16,19 106:24 115:3 117:4,15, 19 178:5,14,18 180:1 submissions 20:19 138:6 169:9 submit 28:2 133:7 138:5 submitted 8:24 18:25 46:21 54:20 72:1 82:17 84:1 98:12 100:5 101:14 103:10 106:13,15 107:5, 11,13 108:16 110:18 131:7 136:1,21 137:13 151:14 169:16 180:17,19 submitting 105:3 substance 17:20</p>	<p>success 191:26 successful 191:11 sufficient 45:3 62:15 66:2 93:26 107:24 148:4 166:9 suggested 65:17 suggesting 58:6 172:14 suggestions 160:12 suggests 133:7 suitable 50:4,15, 19 149:3,13,17 summarize 131:6 178:2 summary 30:9 31:5,9,13 88:26 96:6,14 131:9 147:20 summer 32:11 66:20,24 153:1 155:18 summertime 141:14 158:16 supervising 64:22 supplied 32:21, 22 34:8 53:10 141:20 supply 21:19 22:6 34:14 39:7 45:3,8 49:21 52:14 53:23 92:21 94:1 98:14 102:2,11 125:22 148:4,10,23 150:23 168:15 170:15 support 11:19 25:16 26:1 51:9 67:6 103:2 127:24 155:22 163:9 187:21</p>	<p>supported 140:25 141:1 supporting 41:21 supports 100:7 109:1 169:18 173:6 supposed 74:22 90:10 127:21 surface 10:15,21 20:13 47:1 158:16 surrounding 92:2,9 suspecting 28:6 suspended 35:6 38:19 55:5 58:12 86:9 102:22 153:9 sustain 45:7 sustainability 93:15 swear 95:4 swear-in 112:24 sworn 28:25 30:2 95:21 symptoms 12:25 124:10 system 9:10 10:17 18:15 24:6 25:22,23,25 30:18,23 31:4,6, 10,14,24 32:16, 22,23,25 33:10, 11,19 34:10,11, 20,21,22 35:1,14, 19,20,24 36:15, 24 37:1,2 38:4,26 39:1,3,7,8,9 40:5, 22 41:14 44:10, 11 50:11 51:7,10 57:8,21 68:9 71:2 73:17 82:25 84:22 85:19 86:7, 15,18 93:18,20</p>	<p>102:6 103:26 105:23 106:16 110:8,9 111:21, 22,23 122:17 135:6,12,20 140:20 141:6,20, 21,25 143:26 144:1,10,13 145:10 146:1,19 147:1,19 148:1,8 149:9 152:12 161:24 162:12, 17,21 165:13 166:11 170:18 180:24 184:9,13 188:11,13 systems 45:6 48:14 85:20 117:14 148:8</p> <hr/> <p style="text-align: center;">T</p> <hr/> <p>T-O-B-I-N 113:6 T-O-N-Y 29:12 Tabitha 155:9 156:4,5,6,10 164:18,19,20 165:6 166:18,19, 24 table 13:5 15:26 16:9 20:25 24:16, 18 43:19 60:11 76:20 77:25 87:12,21 95:13 125:1,4,7,16 126:2,7,14,20 138:22 188:4 takes 42:26 taking 12:22 14:1 58:1 108:25 140:3 talk 67:22 69:5 134:26 160:24 163:5 188:18 talking 14:17 39:6 64:6 77:7</p>
--	---	--	--	---

82:9 162:10 163:12 tank 34:6 36:18 37:18 38:13 39:13,14 48:1 50:25 52:1 65:24 102:5 144:22 145:13 146:17 147:1 149:22 150:9 174:1,7,10 Tapitia 11:16 127:19 154:8 192:4 targets 105:1 117:8 178:8 team 23:5 25:1,3, 9,18 59:16 140:21 153:26 191:9 technical 9:14 11:5,6,10 19:1, 12,14,24,26 21:3 25:3 31:25 54:17, 20,22,23 58:5 61:6,8 64:7 69:8 74:10,17 85:24 87:17 89:26 90:21 94:3 98:5, 8,11,26 99:12,16 100:2,13 102:10 103:12 104:9,12 105:2,20 115:19 116:26 118:11 127:7,13,14 128:19 130:5,10, 21 133:4,9,10,12, 17,18,22,25 136:15,18,21 137:24 140:24 141:2 151:11,14, 17 156:10 163:8 169:2,12,25 170:20 177:17 178:2 184:15 186:24 190:14 191:3,5 192:1	Technically 92:17 technologies 45:5 148:7 technology 45:14 51:19 57:11,18 83:4,5,9 86:21 152:9 teleconference 19:25 20:1 26:23 30:1 133:20,22 telephone 124:2 temperature 12:23 83:1 121:6 temperatures 82:6 83:2,7,10 temporary 45:16 67:2 ten 55:13 100:4 135:8 ten-minute 115:21 166:26 ten-year 79:8 164:24 tentative 20:8 Teresa 11:12 12:14,15,16 15:8, 13 23:10 28:18 30:4 31:17 59:11 95:6,8,15,19,24 96:18 109:19,21 110:3,10 112:25 113:7,14 114:7 120:4,5 123:19, 22,23 125:25 127:16 128:11 157:10 183:14 185:10 188:24 term 9:11 18:12 21:14,15 31:4 32:13 98:14 99:22 100:4,6,20 122:14 135:7,8,9 143:1 168:14 169:15,18 170:4	terms 14:11 21:14 62:16 77:16 86:5 107:25 territory 124:3,6 test 40:25 41:2 93:13 111:7 159:5 165:26 166:2,10 tested 52:21 71:5 testing 22:10 72:24 117:10,15 153:2 159:4 178:14 thankful 166:23 theoretically 80:5 thermostat 55:20 thing 124:7 160:20 161:10 165:5 things 56:17 65:6,8 68:2 76:10 105:18 125:18 146:11 171:20 172:20 thinking 158:9 thirdly 16:6 92:7 thought 67:6 165:3 thousand 44:1 143:3 three-water 145:13 throat 13:1 throttle 164:3 throttling 163:16 thumb 152:17,20 tide 38:24,25 time 13:17,24 14:4,14 17:18 27:12 35:20 40:2 42:13 44:6 60:7	62:13 63:14 66:15 67:12 68:1, 19 71:24 74:11 79:13,16 89:5 109:14 112:9,15 119:21 120:12 121:14 125:13 129:3 134:7 142:6 147:20 154:6 155:6 156:23 166:21 175:19 182:8 188:10 190:20 191:13,16 timeline 20:9 44:13 63:20 101:5,23 106:7 timelines 20:6 105:26 times 65:7 158:23,24 162:3, 20 173:21 timing 22:6 121:10 172:4 tiny 141:25 TM 20:2 Tobin 27:5 69:24 70:2,3 72:17,19, 20 73:26 74:1 113:5,13 114:16 117:2 176:20 178:3 181:11,19 today 11:1,18,26 12:11 14:21 18:1, 4 26:2 27:4 32:9 38:9 64:11 91:25 97:7 120:11 125:20 126:26 127:1,10 141:10 152:25 176:19 179:19 185:24 186:6 190:12,15 191:4,11 today's 9:6 131:10 183:5,11	told 25:21 tomorrow 26:2 38:9 tonight 27:25 94:14,18 120:3,8, 12,17,24 121:4 123:18 126:26 127:1,10 129:9 131:1,5 182:21 tonight's 122:26 128:15,18 131:10 182:13 Tony 25:13 29:11,26 32:1 61:7,18,19,21 63:22 64:22,26 65:2 67:5 68:11, 12 70:24,25 71:12 75:23 76:19,25 77:5,9, 20,22 78:18,20, 24 79:26 80:18, 20 81:13 83:21 90:15,18 91:8 94:2,4,9 141:4 160:2 161:6 163:2,9 186:13 191:9 Tony's 68:6 Toomasie 9:4 122:9 topic 101:6,12 102:1 106:26 170:15 172:18 topics 98:5 100:23 130:26 170:5,11 total 43:24 44:15, 21 55:5 58:12,14 61:15,16 79:1,2, 10,20 86:9 102:22 147:25 153:9,11 187:26 totalized 144:1 totalizer 45:25
--	--	---	--	--

totalizing 45:13 totally 158:14 165:10 166:5 touch 114:24 125:6 176:24 touched 170:15 touching 16:25 126:16 tough 45:24 town 32:10,13,15, 16,20,21,23 34:11,13,21 38:15 39:1,24 40:5 66:17,19,21 80:3 104:22 141:11,18,19,26 158:20 165:16 186:21,26 townsite 86:4 88:24 toxicity 117:10, 15 178:13 trace 53:2 124:16 tracing 16:13 45:5 track 67:14 tradition 27:11 traditional 92:8 94:20 traffic 13:16 training 32:12 66:21 141:13,15 transcribed 194:6 transcript 175:22 194:1,4 transition 111:18 translators 190:13 transmission 48:16 Transport 142:5 Transportation 33:6 142:8	travel 124:3 193:8 travelled 15:12 128:10 travelling 124:5 treat 40:7 104:21 151:4 152:18 treated 51:4 treatment 21:11, 24 31:6,10,15 34:4,10,12,16,17 35:8,11,12,16 36:19 37:17,19, 21,23,24,25,26 38:2,6,14 39:14, 15,19,23,26 40:1, 12,13 41:16,17 42:25 43:3 45:18 46:10 48:17 49:26 51:12,14, 20 52:14,15 54:16,18,23,25 56:15,16 57:8,19 58:4,22,23 63:6 64:16 66:2 67:25 74:23 75:1,5,13, 14,18,20 76:6,9, 13 77:7,9,11,12, 17 81:26 82:2,3, 8,16,24,25 83:4, 5,8,11,26 84:4,24 85:7,8,21 86:7,21 89:13,15 90:1,22, 24 91:3 98:15 101:26 102:5 103:9 104:16,20, 26 105:1 106:1,3 108:2,17 111:5,7, 9,15 117:6,8 118:14 135:22 144:21,24,26 145:1,4,7,17,24 146:12,16,26 147:4,9 148:25, 26 149:23 150:4, 22,23 151:10,12, 18,19 152:10,18,	25 153:4,6,18 168:16 171:6,10, 13 178:6,8,9 179:13 180:26 181:5 187:16,19, 21 trends 56:20 Tribunal 10:15, 21 20:13 trip 118:4 trouble 166:21 truck 32:23 34:9 35:13 40:2,6 48:2,12 51:8 68:18 85:18 102:8 141:25 145:4 truck-fill 51:10 67:20,21 68:4 truck-filled 68:9 trucking 143:14, 26 trucks 38:1 147:6,8 TSS 35:17 38:22 50:6 55:5,9 86:6 149:4 151:25 187:1,13 tubes 48:6 turbidity 42:24 43:1,6,10 47:3 49:20 50:6,15 70:8,11,16,17,23, 26 71:5,8,10,11, 18,22,23,25 72:5, 8,12,24 73:3,17 118:19,22,25 148:22 149:13 179:20,23 turbine 45:22 turn 15:18,22 22:18 28:4 47:3 95:1 122:24 123:7 128:13 130:4 185:7	turned 16:3 twenty 147:14 148:2 type 8:24 9:2 10:12,14 18:5,6, 10,11 19:9 30:17, 22 31:3,20,22 32:25 33:4 36:2, 10,14 41:7,8 83:4 97:5 113:26 114:5 115:3 122:6,7 131:4 132:11,13,15,19 136:11 140:19 142:12,13,19,20, 21,26 148:11 149:12 167:21 177:4 180:21 184:7,11 189:19 192:22 types 53:20 131:2 132:2,4 149:12 typical 86:12 typically 50:13	102:14,18,26 105:17 110:8 160:5 169:19 171:19 173:25 180:9 understanding 74:21 75:3 77:19 89:12 95:10 100:26 176:2 180:19 181:1,14 184:15 186:7 understood 130:2 undertaken 70:12 73:4 undertaking 19:10 unexpected 70:14 unionized 58:17 153:13 unit 21:9,26 22:13 35:5,9 36:20,24 38:5,18 39:25 42:21 55:18 84:20 145:6,18,26 146:6,7,21 units 44:4 55:7, 10 56:19 161:24 162:5 unmute 29:20 109:15 unmuted 23:24 unnecessary 9:18 15:17 122:22 unplug 24:2 unused 52:1 150:9 update 20:15 64:24 73:19,21 84:9 87:18 106:18 179:24
--	---	--	---	---

updated 9:12 22:5 35:20,22 70:16 73:3 80:26 98:11 100:5 101:21 103:2 106:19 107:5,12 118:7,12 169:17 170:9 179:5 updates 22:8 updating 40:22 upgrade 51:12, 15 148:25 149:23,26 upgraded 36:25 37:4,5,6 39:16 45:18 51:20 102:7 144:13,14 146:1 150:3 161:11 171:2 upgrades 105:24 106:9 172:2 upgrading 37:18 102:16 165:13 uprooted 158:9 upwards 44:2 usage 68:10 user 44:25 users 44:14 51:9 147:17 usual 12:8 123:15 utilidor 9:10 10:17 18:15 21:12 30:18,23 31:4,5,9,14,23 32:16,22,25 33:7, 11 34:20,22 35:1, 19,20 36:15,24 37:1,2 38:3,4 40:22 41:14 50:11 51:7 96:11 100:18 101:22 102:6 103:25,26 104:8,17 106:9, 16 122:17 135:6, 11,20 140:20	141:6,21,26 143:26 144:10,13 145:10,26 146:13,19 147:1 161:10,24 162:12,17 165:13 166:11 170:2 171:3,7 180:24 184:9,13 187:25 188:9 utilization 131:23 utilized 43:25 46:10 187:24 <hr/> V <hr/> vacuum 48:2 validation 117:10 valuable 137:23 valued 192:7 values 54:26 88:24 151:21 187:1,8,12 188:7 valve 163:17,18 164:3 variable 107:22 variables 79:18 vary 132:3 vault 35:2 39:22 145:12 vaults 36:17 37:5 144:14 vent 56:9 ventilated 56:7 ventilating 56:2 venue 13:1,13 121:4 verify 95:4 version 96:5 107:12 video 14:11	view 181:8 viruses 50:8 149:6 visitors 193:9 visual 87:12 visualize 87:9 volume 34:3 40:17,18,20 41:5, 10 60:19 61:15, 16 62:1 77:16,18 80:4,6 93:23 135:17 164:22 165:11 volumes 60:22 74:19,20 80:13 135:13 <hr/> W <hr/> W-H-A-L-E-N 29:12 wait 17:3 27:15 115:8 129:6,22 139:14 waiting 36:8 walk 130:5 wall 13:12 walls 52:7 150:14 165:14 wanted 72:23 75:4,5 77:23 109:24 170:22 180:15 wanting 27:14 warm 80:11 warning 120:22 warrant 160:24 wash 16:24 126:15 156:24 washed 48:2 156:21 157:3 washing 161:13, 17	washroom 51:23 150:7 187:22 washrooms 13:14 16:19 waste 21:18,23 33:1 52:15 53:24 100:11 142:3 150:23 165:19 169:22 wasted 75:7 162:4 wastewater 21:10,17,24 35:8, 10,12,16 37:21, 23,25,26 38:2,6 39:25,26 41:17 52:14,20 53:23 54:16,18,23,24 56:15,21 58:4 74:23 75:1,5,13, 15,18 76:6,8,13 77:17 81:26 82:15,25 85:7,8, 18 86:14 87:21 88:5 89:15 90:1, 22 91:3 98:14 104:16,17,26 106:3 111:5,6,9, 14 117:5,14 135:22 144:25 145:1,4 146:19 147:3,4,8,9 150:22 151:10, 12,18,19 152:18, 19,25 153:3,6,18 168:16 171:6,7, 10,13 178:6,9,12 180:25 181:5,23 186:19,26 187:7, 13,16 188:10 watching 157:13 water 8:24 9:2,3, 5,7,9,23,26 10:12,14,16 12:17 18:5,6,14 19:9 21:19,21	22:6 24:1 26:11, 17 27:5 28:19 30:5,11,17,19,22, 23 31:3,6,10,14, 20,22 32:21,22, 24 33:17,18,19 34:1,3,4,6,8,9,10, 12,14,16,22,26 35:2,3,25,26 36:3,14,16,18,19, 22 37:4,11,16,19, 20,23 38:11,13, 22 39:4,7,14,15, 17,19 40:9,11,12, 13,17,18,19,24 41:1,2,4,6,11,16, 22 42:4,11 43:1, 3,16,17,24 44:7, 8,9,12,21,23 45:1,3,6,7,10,12, 18 46:10,13 47:2, 4,11,24 48:16,17, 22,26 49:21,26 50:9,26 51:4,12, 13,14,20 52:14, 20 53:23 56:15 57:11 58:10,23 60:19,25 61:14, 17 62:18,19,20, 22 63:6 64:15,16 65:24 66:1,10,13, 16,25 67:11,22, 23,24 68:3,16,20 69:11,23 70:14, 18 71:10 72:5,13, 24 74:5,8,14,17, 19,20,21,23,26 75:6,7,13,16,20 76:5,9,11 77:6,9, 11,12 78:1,5,26 79:1,2,4,8,10,15, 24 80:4,6,8,9,10, 13 81:16,19,22 83:26 84:2,4,18, 24 86:13,17,23 87:2,5,11 88:3,6 89:24 91:17,21, 22 92:21,24
---	--	--	--	---

93:21,25,26 94:1,
13 95:9,20,25
96:7,12,15 97:1,
5,6,7,13 98:14,
24,25 99:6,14,19
100:24 101:6,26
102:2,4,5,7,11,
12,14,16 103:9,
20 104:24 105:6,
19 106:1,5,6
108:2,11,12,13,
17 109:11,22
110:11 111:9
112:11,14,26
113:8,15,25,26
114:4,5,15,17,18
115:4,7,11,18
116:13,16
118:13,17
119:18,20 120:6
121:2,25 122:6,7,
10,12,13,14,16
123:9,20,24
125:22 128:19
129:12,18
130:17,20,21,23
131:2,3,4,16,18,
20,21,22 132:3,5,
7,9,12,13,15,20,
22 133:5,9,26
134:5,19 135:5,
13,15,18 136:12,
14,18 137:3,4,7,
11,14 138:12
139:20 140:19
141:20,26 142:1,
15,18 143:5,9
144:12,21,24
145:1,6,11,17,21,
23,24 146:14,15,
17,24 147:10,18,
25,26 148:4,8,9,
10,12,23,25,26
149:7,23,25
150:4,22 151:4
152:21,22 153:1,
18 154:12,16
155:12 156:24

157:20,21 158:9,
12,16,25 159:1,4,
5,7,11,14 160:26
161:17 162:20
163:25 164:14,
21,22,23 165:10,
17,18,19,20,21,23
166:5,6,9,12,20
167:12,14,17,21,
26 168:12,15,20,
26 169:1,7 170:5,
7,15,17,21,22,24
171:21 172:7,8
173:20,26 174:10
175:4,8,15,18
176:19 177:4,8,
10,15 178:6,8
179:13,16
180:11,14,18
182:18 183:15
184:2,6,8,12,26
185:11,22 186:3,
5 187:24,26
188:12 189:17,
18,19 190:12,18
191:4 192:22
193:3,4,5
water's 93:23
102:6
water-use 60:22
watering 96:25
waterline 34:23,
24 35:21 38:16
39:20
waters 10:15,20
20:12 131:24,26
wave 11:8 127:11
wear 13:7 125:14
wearing 125:8,12
weather 115:12
116:16 177:11
website 134:4
138:12
wedge 42:16
week 63:9 65:11

138:18
week's 132:15
weeks 63:21
65:11,18
weigh 67:12
welcoming
167:24 189:20
well-served 57:7
west 32:7
Whalen 25:13
29:11,26 61:19,
22,25 63:22 65:1,
2 67:5 68:12,13
71:13 75:26
78:21,24 80:21
90:18 94:4 141:4
161:8
winter 159:22
160:9
wintertime
158:13,15 175:3
wire 42:16
wishes 129:1
withdrawal
46:13
withdrawn
45:12 135:16
witnesses 28:25
29:9,25 95:13,21
113:1,9
WLS 185:5
wondered
161:10
wondering
66:22,24 164:25
174:3
word 69:15
work 15:6 47:18
48:11 49:3,6,13,
23 52:3,6 64:23
71:16,26 72:3,7
97:13 102:16,19,
24 103:7 105:18
148:14 150:11

167:26 171:20
worked 170:19
working 23:5
26:1,19 46:15
64:25 65:13
70:13 71:18
72:26 110:8
111:10 140:21,25
173:1
works 56:3 63:19
111:8 118:20
worksite 49:15
148:17
worst-case
62:14,22
wrapped 125:2
written 99:9,15,
18 101:15 103:10
134:8
wrong 76:3
109:23
WSER 57:12
WWTP 21:25

X

X's 13:9 124:18

Y

year 37:14 43:19
49:24 52:4 71:21
73:17 77:25 78:2
101:8,14 102:15,
17,18 104:3
135:18 136:20
147:22 148:15
156:25 159:16
164:26 166:12
170:25 175:19
year's 72:10
150:12
years 9:12 18:12
21:14 31:4 36:11
37:2 62:6,9 78:6,

7 92:19 93:14
100:4,8 102:7
107:20 122:15
135:8,10 144:2,3
150:2 154:25
156:20 157:14
160:8,18 165:12
169:19 172:12
174:2 175:8
years' 36:3 41:8,
9 191:16
yesterday 55:22
young 156:15

Z

Zoom 9:16 14:3,
7,12,19 15:16
23:4,12,13 24:10
25:21,24 27:4
29:8,25 122:20
124:1 176:18